

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

ILLINOIS POLLUTION CONTROL BOARD

IN THE MATTER OF:)
)
 PETITION OF SOUTHERN)
 ILLINOIS POWER COOPERATIVE)
 FOR AN ADJUSTED STANDARD) AS 21-6
 FROM 35 ILL. ADMIN. CODE) (Adjusted Standard)
 PART 845 OR, IN THE)
 ALTERNATIVE, A FINDING OF)
 INAPPLICABILITY)

DAY ONE -- JUNE 10, 2025

(Pages 1 - 220)

Proceedings held on June 10, 2025, commencing at 9:59 a.m., at the Market Street Hall, 310 North Market Street, Marion, Illinois, before Carol Webb, Hearing Officer.

Reported By: Karen Waugh, CSR, RPR
 CSR License No: 084-003688

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

APPEARANCES

Board Staff Members present:

Essence Brown, Technical Unit

ARENTFOX SCHIFF LLP

BY: Ms. Sarah L. Lode
233 South Wacker Drive, Suite 7100
Chicago, IL 60606
On behalf of the Petitioner, SIPC

BY: Ms. Bina Joshi
233 South Wacker Drive, Suite 7100
Chicago, IL 60606
On behalf of the Petitioner, SIPC

ILLINOIS ENVIRONMENTAL PROTECTION AGENCY

BY: Mr. Gabriel H. Neibergall
Assistant Counsel
Division of Legal Counsel
1021 North Grand Avenue East
Springfield, IL 62794-9276
On behalf of the Illinois EPA

BY: Ms. Rebecca Strauss
Assistant Counsel
Division of Legal Counsel
1021 North Grand Avenue East
Springfield, IL 62794-9276
On behalf of the Illinois EPA

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

I N D E X

PUBLIC COMMENTS	PAGE
Phil Carson	6
Kevin Logan	8
Tim Marlo	10
Rick Steger	11
Sherry Sullivan	13
Andrew Rehn	16
Linda Linsin	17
Rick Whitecotton	19
Jane Cogie	21
Lucia Amorelli	23
Steve Belletire	26
Amanda Pankau	27
Jill Adams	29
Tabitha Tripp	31
OPENING STATEMENTS	
By Ms. Joshi for the Petitioner	32
By Mr. Neibergall for the Agency	38
WITNESSES	
WENDELL WATSON	
Direct Examination by Ms. Joshi:	42
Cross Examination by Mr. Neibergall:	78
Redirect Examination by Ms. Joshi:	99
Recross Examination by Mr. Neibergall:	101
Examination by Ms. Brown:	102
TODD GALLENBACH	
Direct Examination by Ms. Joshi:	104
Cross Examination by Mr. Neibergall:	158
Redirect Examination by Ms. Joshi:	212
Examination by Ms. Brown:	218

E X H I B I T S			
	Petitioner's	ID	REC
1			
2			
3			
4	1 Wendell Watson declaration	43	
	2 Todd Gallenbach declaration	106	
5	3 Andrews Engineering Site Map	139	
	29 Pond investigation report	164	
6	41 Jason McLaurin declaration	191	
	48 Wendell Watson Powerpoint	44	476
7	49 Todd Gallenbach Powerpoint	107	476
8			
9	Agency's		
10	3 March 1993 aerial photo	194	
	4 April 1998 aerial photo	183	
11	5 March 2005 aerial photo	196	
	6 September 2005 aerial photo	196	
12	7 August 2006 aerial photo	196	
	18 Summer 2021 aerial photo	186	
13	34 9-9-1981 permit	199	
	48 1-21-1986 permit	179	
14	BB Pond B-3 inspection memo	181	
	CC Permit #1981EN2776-2 map	208	
15	II 10-27-2021 permit application	205	
	NN 5-17-1989 permit	185	
16	OO 10-6-1969 permit	167	
	QQ 6-1-1970 permit	175	
17	RR 8-27-1982 permit	210	
	SS 9-14-1977 permit	190	
18	TT 7-12-1971 ash pond area map	189	
19			
20			
21			
22			
23			
24			

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

PROCEEDINGS

(June 10, 2025; 9:59 a.m.)

HEARING OFFICER WEBB: Good morning. My name is Carol Webb, and this is the hearing for AS 21-6, Petition of Southern Illinois Power Cooperative for an Adjusted Standard from 35 Illinois Administrative Code 845 or, in the Alternative, a Finding of Inapplicability for the Marion Generating Station in Williamson County. Joining me today is Board Scientist Essence Brown.

It is June 10th. We are beginning at 10 a.m. The Pollution Control Board members will make the final decision in this case. My purpose is to conduct the hearing in a neutral and orderly manner so that we have a clear record of the proceedings. This hearing was noticed pursuant to the Act and the Board's rules and will be conducted pursuant to Sections 101.600 through 101.632 and 104.422 of the Board's procedural rules.

At this time I would like to ask the parties to please make their appearances on the record.

MS. JOSHI: Bina Joshi of ArentFox Schiff here on behalf of Southern Illinois Power Cooperative.

MS. LODE: Sarah Lode of ArentFox Schiff

1 here on behalf of Southern Illinois Power Cooperative.

2 MR. NEIBERGALL: Gabe Neibergall on behalf
3 of Illinois EPA.

4 MS. STRAUSS: Rebecca Strauss on behalf of
5 Illinois EPA.

6 HEARING OFFICER WEBB: All right. Thank
7 you. We will begin this hearing with some public
8 comment. If you are unable to finish your comment during
9 the time allowed, you may submit written public comment
10 to the board clerk, Don Brown, in the Chicago office by
11 June 30th. That deadline assumes that we finish on
12 Thursday. If we do not finish on Thursday, that deadline
13 will be extended.

14 Written public comment carries the same weight as
15 oral comment, and I will reserve the right to limit
16 comment period this morning and add some time tomorrow
17 morning if we need it. So I'd like to maybe have you
18 come up in groups of three so we can keep things moving.
19 We'll start with Mr. Carson, and after Mr. Carson we'll
20 do Mr. Logan and Mr. Marlo, if you'd please line up and
21 speak at that microphone in front there. And please
22 state your name before you begin speaking, and spell it
23 if it's not common.

24 MR. CARSON: Good morning. My name is Phil

1 Carson, C-A-R-S-O-N, and I stand here before you this
2 morning -- these -- the experts will come later. I'm not
3 an expert. I will speak to you as a pastor of a church
4 up in Nashville, Illinois, Washington County, Illinois,
5 and I myself am a member of Tri-County Electric, which is
6 part of the Southern Illinois Power footprint. We
7 receive our power from them. A number of my parishioners
8 are also a part of Tri-County Cooperative as well, and
9 what I want to state is my concern with regard to what's
10 going on here. Every time there is -- there are moves
11 made, they have implications on bills that are paid, and
12 I know that some of my parishioners struggle with that.
13 I know that Southern Illinois Power covers six of the
14 poorest counties in the state of Illinois. Those issues,
15 these things matter economically. We are for
16 environmental, but we want to balance that with the
17 economic as well. I would ask you to consider that, if
18 you would.

19 As I say, I'm a pastor so I'm speaking as a
20 citizen, and I would ask you to listen to what SIPC will
21 prepare. I think there are millions of dollars, as I
22 understand it, on the table, and all of those ultimately
23 will flow back to us in terms of pricing on the bill. So
24 I thank you for the opportunity to speak and for your

1 attention here today. Thank you.

2 HEARING OFFICER WEBB: Thank you, sir.

3 Mr. Logan? Please state your name and spell it for the
4 court reporter.

5 MR. LOGAN: My name is Kevin Logan, and last
6 name L-O-G-A-N. I'm the -- I'm a member, owner, consumer
7 of power from Clay Electric, which is in northwest --
8 north of here. I live in the northwest corner of Clay
9 County. I'm a retired farmer. My son took over the
10 farm, has a lot of equipment on the farm that runs on
11 electricity, grain bins, dryers, shop equipment, a house.
12 Of course our homes are just as modern as homes in town.

13 But coming back up a little bit here in time,
14 maybe you don't quite understand electric co-ops, but
15 co-ops were built back in the '30s -- actually, FDR,
16 Franklin Delano Roosevelt, passed the New Deal back in
17 1936, signed the bill into law with the REA, Rural
18 Electrification Act, which allowed the USDA to loan money
19 to electric co-ops to build co-ops in rural areas because
20 they were left behind. Cities and towns received
21 electricity back in 1900 or in that time period. 1936,
22 nobody in the rural areas had electricity, so they built
23 co-ops.

24 And so Clay Electric is a small -- smallest co-op

1 in the state, and I'm a member of that, buy power from
2 them. I've been on their lines since I was born.
3 69 years old. I've been a member of them since I got
4 married 51 years ago, and so I don't have any other
5 choices. There's -- If I don't buy power from a co-op in
6 my area, there's nothing -- it'd be like go off the grid
7 and I'm going to buy a diesel generator to run my power,
8 which is going to pollute the air more than a power plant
9 would. So that's beside the point.

10 But anyway, I buy power from Clay Electric and
11 been a member of those, a consumer for 51 years, and so
12 my power bill will be affected by any actions that is
13 taken that will cause the power plants out in Marion here
14 more money. It's going to come right out of this wallet
15 right here to pay that fine or whatever costs they have
16 to pay to meet the standards that's being asked for, so
17 I'm the one that's going to pay the bill here, folks.
18 I'm the -- You're looking at the grassroots of the co-op
19 world, and we pay the bills, so whatever bills you charge
20 them, they pass it on, we pay for it, because it's a
21 non-for-profit organization. That's why co-ops exist,
22 because nobody else would come to Clay Electric to put
23 power in our area. It wasn't profitable. So when you
24 have three meters per mile of line, somebody has to pay

1 for that, and low-interest loans from --

2 HEARING OFFICER WEBB: Could you wrap it up,
3 please?

4 MR. LOGAN: I can. That's how things happen
5 with electric co-op. So anyway, appreciate your time.
6 Thank you.

7 HEARING OFFICER WEBB: Thank you.
8 Mr. Marlo, and next up will be Mr. Steger, Ms. Sullivan
9 and Mr. Rehn, if you'd like to move forward.

10 Please state your name and spell it for the court
11 reporter.

12 MR. MARLO: Hi. My name is Tim Marlo,
13 M-A-R-L-O, and thank you for letting me have this moment
14 to speak with you as well. I am a professor. I'm a CPA
15 PhD over at Southern Illinois University, and I'm taking
16 time out right now because I'm very concerned about
17 what's going on in this area. I'm not sure, but -- if
18 you're aware, but in this area, Williamson County, this
19 last year our property taxes increased 20 percent in this
20 area alone. This area is depressed in terms of monetary
21 support, and as was said earlier, this will be passed
22 along to the citizens of this area.

23 Whenever I looked at what was going on -- I
24 really first of all want to say I really appreciate what

1 the Illinois EPA does. I truly appreciate what you guys
2 do, but by not having a minimis in this situation, it's
3 creating situations where we are having to basically
4 front pay for that lack of information, and that's what
5 we have going on here. The costs that are basically
6 going to be passed to us, I quite honestly am quite
7 afraid for this area's low-income parts. And what I'm
8 also really concerned about is seeing what's happening
9 on, like, the federal government with what they're doing
10 with the EPA. I'm afraid if you guys make this
11 overreach, it's going to happen to you guys as well, and
12 basically we won't be able to cover some items that
13 really need to be covered because we're worried about
14 ponds that have de minimis CCR. So that was my comments,
15 and I really appreciate your time. Thank you.

16 HEARING OFFICER WEBB: Thank you.

17 Mr. Steger, please state your name and spell it
18 for the court reporter.

19 MR. STEGER: Yeah, good morning. I'm Rick
20 Steger, S-T-E-G-E-R. Yeah, I'm a concerned citizen
21 really committed to protecting the environment and public
22 health. I'm here to urge the Board to deny SIPC's
23 petition for adjusted standards that would exempt eight
24 coal ash ponds at the Marion plant from complying with

1 Illinois' coal ash rules. A final rule was finalized in
2 2021. These rules were put into effect to save our
3 water, our air and our communities from the
4 well-documented dangers of coal ash emissions. Allowing
5 SIPC to sidestep these intentionally sets a dangerous
6 precedent. The fact that simply filing a petition has
7 allowed these ash ponds to remain out of compliance is
8 already troubling. Granting a permanent exemption would
9 only worsen the risk of environmental damage and send a
10 message that communities can avoid accountability.

11 This issue also has a personal interest to me.
12 My family and I have friends that live on the Lake of
13 Egypt and we often spend time with them, enjoying the
14 water and the natural beauty of the area. The fact that
15 these ash ponds are located on the lake is really
16 ridiculous. It's a threat to the health of the lake, the
17 people who live and recreate there and the general
18 ecosystem. As you all realize probably, coal ash
19 contains a lot of harmful substances, like arsenic, lead
20 and mercury, which will leach into the groundwater and
21 the surface water, threatening both the environment and
22 human health. So we must not allow short-term
23 convenience for a single operator to evade or override
24 long-term protection for the entire community.

1 The Board has a responsibility to enforce the
2 rules as written and to ensure that all facilities,
3 including those operated by SIPC, honor safety and
4 environmental standards. Please do the right thing.
5 Deny SIPC's petition and require full compliance with
6 Illinois coal ash regulations. Our health, our
7 environment and future may need to depend on it. Thank
8 you.

9 HEARING OFFICER WEBB: Thank you.

10 Miss Sullivan, can we -- this is the most
11 important woman who has to hear what you're saying, so
12 please speak into the microphone, and if you could maybe
13 face this way, that would help a lot. Thank you. Thank
14 you. Go ahead. Please spell your name for the court
15 reporter.

16 MS. SULLIVAN: As the gentleman before me, I
17 am a retired college --

18 HEARING OFFICER WEBB: Could you please
19 state and spell your name?

20 MS. SULLIVAN: My name is Sherry Sullivan,
21 and like I said, I'm a retired college professor, and I
22 am a resident of Lake of Egypt. I have four adjacent
23 lots there, two of them are waterfront lots, so obviously
24 I'm part of the Southern Illinois Power Cooperative,

1 because that's, you know, our source of electricity and
2 so forth. So just by virtue of living at the lake, I'm a
3 part of this cooperative.

4 I can remember when I first moved there to Lake
5 of Egypt in 2006. I was more concerned about the smoke
6 that was coming out of the stacks there, because they had
7 all coal generators at that time, and I was thinking at
8 the time, wow, I'm glad I don't live up here, I live down
9 in Johnson County at the other end of the lake, and I was
10 thinking that. But now, with the recent finding out that
11 there -- the coal ash ponds, the eight of them that have
12 been exempted for I guess three different times now or
13 twice and they're trying to get it exempted for the third
14 time, is leaking into the groundwater, and so it doesn't
15 matter that I live down in Johnson County at the other
16 end of the lake, because if that groundwater is leaking
17 into the lake, it's affecting how -- you know, what I
18 drink, how I bathe, what I cook with and so forth, so
19 it's very concerning to me. I did think at the time that
20 I thought it was strange that the power cooperative
21 cooled their burnt coal in a pond next to the power
22 plant, but like I said, I didn't think too much of it
23 because I didn't live there. I'm trying to keep this to
24 three minutes, because, like I said, I'm a college

1 professor.

2 Okay. So why do we need regulation of these coal
3 ash ponds? I think the gentleman before me had something
4 to say about that, but as I've learned more about these
5 ponds, I found out that the water in the entire lake can
6 be polluted by this groundwater that flows into it. Coal
7 ash has serious contaminants in it. It has contaminants
8 such as chromium, cadmium, mercury, arsenic, boron and
9 more, and so it requires very strict monitoring of these
10 coal ponds to make sure that they're not leaking, and we
11 get annual reports about, you know, their monitoring, and
12 what I found out is that there are some very high levels
13 of some of these contaminants, not -- supposedly not more
14 than what the Illinois Environmental Protection Agency
15 allows, but they -- it is a -- still concerning.

16 HEARING OFFICER WEBB: Can you sum it up,
17 ma'am?

18 MS. SULLIVAN: Okay. So in conclusion, I
19 think that these eight ponds should be closed down
20 according to state law, and I very much am in favor of
21 endorsing that, that they do be required to shut these
22 eight coal ponds down.

23 HEARING OFFICER WEBB: Okay. Thank you very
24 much. Mr. Rehn, and next three will be Miss Linsin,

1 Mr. Whitecotton and Jane -- I'm sorry, I can't quite make
2 out your last name. You will be the next three if you
3 want to move up.

4 Mr. Rehn, would you go ahead and state and spell
5 your name?

6 MR. REHN: Andrew Rehn, R-E-H-N. I'm the
7 Director of Climate Policy at Prairie Rivers Network, and
8 Prairie Rivers has members that live near and recreate on
9 the Lake of Egypt. I want to say thank you for holding
10 this opportunity for public comment. We have already
11 submitted comments written with Earthjustice and Sierra
12 Club that have a lot more detail, but I just want to add
13 some quick highlights here of what we're all discussing.

14 Illinois' Part 845 coal ash rules provide
15 critical protections for our health and the environment.
16 They provide a clear process for the safe operation and
17 closure of coal ash impoundments, and operating permits
18 include review and approval of groundwater monitoring
19 plan, which is critical for the identification and
20 correction of pollution. Without an operating permit, we
21 are unable to understand the full scope of harms caused
22 by the coal ash impoundments in the Marion coal plant.

23 It's clear that Part 845 rules should apply here.
24 The evidence as laid out by the Illinois EPA in the

1 docket shows that the impoundments contain more than a
2 negligible amount of coal ash. The Illinois state
3 legislature has made it clear that the rules should apply
4 to inactive coal ash ponds from which water has already
5 been drained out, and whether the ponds here receive
6 indirectly, temporary or intermittent ash doesn't matter.
7 Likewise, whether or not any of the ash ponds at SIPC
8 were formally regulated as landfills does not matter.
9 What matters is that these ponds meet the definition --
10 the Board's definition of a CCR surface impoundment, and
11 they do.

12 So these ponds are covered under 845. They're
13 actively harming the environment. That harm grows as
14 long as the adjusted standard proceeding continues, so
15 please deny the adjusted standard. Thank you for your
16 time.

17 HEARING OFFICER WEBB: Thank you.

18 Miss Linsin? Would you please spell your name
19 for the court reporter?

20 MS. LINSIN: I sure will. I am Linda
21 Linsin, L-I-N-S-I-N. I'm a concerned citizen of Marion,
22 Illinois. I'm concerned for my daughter and son-in-law,
23 who own property here. I'm concerned for my son, his
24 wife and three daughters, who own property here. I'm

1 concerned for my golden retriever, who loves to swim in
2 the waterways of Marion.

3 As citizens of this community, we pay taxes and
4 follow rules that are in place to protect us. I feel
5 that it is imperative that the Southern Illinois Power
6 Cooperative comply with the Illinois coal ash rules as
7 the Marion -- at the Marion coal plant. The rules should
8 be applied to all eight of the coal ash ponds in
9 question. These ponds meet the definition of coal
10 combustion residual surface impoundment under Illinois
11 law. The Illinois Environmental Protection Agency agrees
12 that these ponds meet this definition. The IEPA has
13 explained that the ponds are likely holding a lot of coal
14 ash and have not been closed in accordance with Illinois
15 law. Coal ash at the SIPC Marion coal plant is polluting
16 groundwater. SIPC's own monitoring shows that its coal
17 ash ponds are polluting groundwater with antimony,
18 arsenic, beryllium, boron, cadmium, chloride, cobalt,
19 lead, sulphate, thallium and total dissolved solids.

20 My family and friends swim in the Lake of Egypt.
21 I don't want my three beautiful granddaughters to be
22 exposed to toxins while swimming and enjoying water
23 sports at the Lake of Egypt. My friends and I kayak and
24 paddleboard on the Lake of Egypt. As a citizen, I

1 deserve clean drinking, cooking and bathing water. Are
2 these toxins going to leach into that supply as well?

3 I implore you, the Illinois Pollution Control
4 Board, to deny SIPC's request to exempt eight of its coal
5 ash ponds at the Marion coal plant from complying with
6 regulations to clean up the pond. Respectfully, I thank
7 you for your time.

8 HEARING OFFICER WEBB: Thank you.

9 Mr. Whitecotton? Also coming up -- oh, we've --
10 Jane, Lucia and Steve, you will be the next group, so --

11 MR. WHITECOTTON: Hi.

12 HEARING OFFICER WEBB: Hi. Go ahead and
13 spell your --

14 MR. WHITECOTTON: Rick Whitecotton,
15 W-H-I-T-E-C-O-T-T-O-N. I live about three miles from
16 that main plant on Lake of Egypt Road. I live right off
17 of Lake of Egypt Road. I get my water from the Lake of
18 Egypt and I get my power from the power company. I
19 appreciate that. I have some questions -- I should say
20 this. I retired from a major utility, DTE Energy, so
21 that's same thing as Ameren up in the Detroit, Michigan,
22 area. So I've worked in both the fossil side, the
23 nuclear side and the gas side.

24 So at any rate, I have questions about your

1 monitoring, about the levels of contamination. So I read
2 in the report that it measures from de minimis to
3 negligible or non-existent in certain ponds, but we have
4 eight ponds. I would really like to know what de minimis
5 means. You know, it's a term, it's a legal term, but is
6 it really below all levels? I'd just like to know
7 quantitatively what that means and what happens at that
8 level or what happens above that level. How often do we
9 monitor for this level of contaminants that are in the
10 ash ponds? Are there measures in place if there were to
11 be an escape from the ash ponds such that we mitigate
12 them in some fashion immediately, inform the public? I'm
13 seeking transparency. What is the risk to the area, how
14 far around the area is this risk pattern, and what would
15 we as a public do to respond to that? Thank you very
16 much.

17 HEARING OFFICER WEBB: Thank you.

18 Jane -- I'm sorry. I'm not sure what your last
19 name --

20 MS. COGIE: C-O-G-I-E, Cogie.

21 HEARING OFFICER WEBB: C-O-G-I-E?

22 MS. COGIE: Yes, Jane Cogie.

23 HEARING OFFICER WEBB: Okay. Thank you. Go
24 ahead.

1 MS. COGIE: Yeah. Thank you very much,
2 Illinois Control Board, for this time to comment on the
3 Illinois Power Cooperative's petition to exempt eight of
4 its coal ash ponds from the Illinois coal ash rules. In
5 my comments this morning I'm asking the Board to deny
6 this petition by SIPC. Illinois coal ash rules must
7 apply here. Indeed, SIPC needs to be held to the
8 standards set from the rules, and I did list some of
9 them, but I think you probably know some of the things
10 that are in there, so I'll skip that.

11 SIPC has argued, as I understand it -- I'm not a
12 scientist, but I have read a fair amount about this --
13 that these coal ash ponds should be exempt because some
14 of them are already closed and because they hold
15 de minimis -- and that's been brought up recently, of
16 course, too -- amounts of coal ash. Yet as I understand
17 it, the -- some of the IEPA findings, again, as I
18 understand it, have called these arguments to some extent
19 into question. Coal ash ponds haven't been closed as far
20 as I can tell from what I've read. All of them have been
21 assessed as holding at least a significant amount of coal
22 ash, and according to SIPC's own findings, these ponds
23 have been found to some extent to be contaminating
24 groundwater with toxic pollution, arsenic, boron and

1 cadmium, among others.

2 I'm citing these facts -- they've been cited
3 already -- because they make clear the certainty of harm
4 to public health that would result should SIPC's
5 exemption be granted, and some of the folks who live
6 closer have cited their concerns about the health and
7 just being close to that water, drinking it, recreating
8 in it. Any contamination of water from toxic coal ash
9 should not be permitted, but that's especially true for
10 the Lake of Egypt. It's a public water source and a
11 destination for family outings and tourism. Families
12 have a right to know if their drinking water or lakes
13 were -- where their children swim are toxic and harmful
14 to their health, and that's, again, transparency, and how
15 is transparency going to be brought forward if there's no
16 monitoring? And monitoring seems to be one of the rules
17 that may not apply if the exemption is granted.

18 If these eight ponds are exempted from Illinois
19 coal ash rules, not only will the public be denied a
20 voice in closure and cleanup process -- which is one of
21 the rules, as I understand it, of the Illinois coal ash
22 rules -- but they won't even know if the toxins in the
23 water they swim in and drink every day are toxic. They
24 won't have a way that it's measured, and that seems to be

1 very much needed.

2 Thank you again for your time, and again, I'm
3 urging the Board to deny SIPC's petition for an exemption
4 to the Illinois coal ash rules. Thank you.

5 HEARING OFFICER WEBB: Thank you.

6 MS. COGIE: Thank you very much.

7 HEARING OFFICER WEBB: Ms. Amorelli. Please
8 spell your name for the court reporter.

9 MS. AMORELLI: My name is Lucia Amorelli,
10 L-U-C-I-A, A-M-O-R-E-L-L-I. I'm a resident -- long-term
11 resident of southern Illinois and a teacher, and a couple
12 years ago I bought two lots of Lake -- at Lake of Egypt
13 with the intention to build there for retirement.
14 Therefore, I'm a citizen with equity in William -- or
15 Johnson County and a personal stake in this matter of the
16 coal ash ponds. I also have several close friends that
17 live there, so I'm very concerned. My water, if I were
18 to build there, of course would be coming from Lake of
19 Egypt. I'm a swimmer and a kayaker. I swim as much as I
20 can in the summer. So I'm very concerned about the
21 pollution that coal ash ponds have already caused and
22 will continue to cause now and into the future, so I'm
23 asking the Pollution Board to deny this petition and not
24 allow them to be exempt from coal ash rules. Okay. This

1 is supposed to be a country with rules. We're supposed
2 to live by the rule of the law, and letting them be
3 exempt is an abomination.

4 Okay. Coal ash ponds are coarse and toxic. They
5 are a result and byproduct of burning coal, which we all
6 know are toxic. That's why we're trying to get rid of
7 and move away from coal. Coal ash pond -- and we already
8 know that it's full of all these chemicals, the arsenic,
9 lead and more.

10 Second, coal ash ponds, these eight that I read
11 are -- most of them are unlined, and of course the toxins
12 are going to leach into the ground. That is common
13 sense. We don't even need to know all the science. Any
14 child would understand that. And they're man-made. It's
15 man-made. It will fail. They always do. Anything
16 man-made is going to fail.

17 These coal ash ponds should have never even been
18 built to a source of drinking water, or if they had to
19 use the water to cool, they shouldn't have allowed the
20 homes to be built there and people to be swimming and
21 recreating all these years, but it's all about money
22 probably. So they should be closed. They should be
23 regulated. And we're talking about small children here
24 are swimming in these lakes, in this lake with lead and

1 all these other chemicals, and they're the most
2 susceptible, and so are the pregnant women that may be
3 using that as well.

4 The EPA simply must do its job as the
5 Environmental Protection Agency to not let these be
6 deregulated and to not allow these exemptions. The
7 Southern Illinois Power Cooperative needs to be held
8 accountable, and I will be getting power from there and I
9 appreciate that we need energy and all that, but they
10 need to be held accountable for the safety of our land,
11 our earth, our water, our air, so that we're not
12 polluted, because in Illinois it is a constitutional
13 right for a healthy environment, and if I'm not mistaken,
14 we are still trying to uphold the constitutions in this
15 country, in the state and in our country. It is in our
16 constitution, so if you deregulate them as the Illinois
17 Pollution Control Board, you're not doing your job.
18 You're not following our constitution.

19 HEARING OFFICER WEBB: Can you wrap it up,
20 please?

21 MS. COGIE: I will wrap it up that I am
22 seriously considering selling my lots, and I'm telling
23 all my friends -- which I do, all my friends from
24 southern Illinois, and I have many -- that this is what's

1 happening at the Lake of Egypt; do not buy there, do not
2 build there if you want to be polluted.

3 HEARING OFFICER WEBB: Thank you.

4 Mr. Steve Belletire, and after that we will have
5 Amanda, Jill and Tabitha, if you want to move up to the
6 front.

7 Please spell your name for the court reporter,
8 sir.

9 MR. BELLETIRE: Steve Belletire,
10 B-E-L-L-E-T-I-R-E.

11 HEARING OFFICER WEBB: Thank you.

12 MR. BELLETIRE: I reside with my wife,
13 Kathy, at 6710 Wards Mill Road. Since '97 we have been
14 members of the Southeastern Electric Co-Op, part owner of
15 Southern Illinois Power Cooperative, located at Lake of
16 Egypt. We also obtain our drinking water from Lake of
17 Egypt Water District. We're approximately five miles
18 from both entities.

19 First I'm going to go briefly off topic. We'd
20 like to thank all the power crews and related personnel
21 who went out the night of the EF4 tornado that struck
22 approximately two-thirds of a mile from our home. They
23 did a magnificent job leading in rescue efforts and
24 quickly restoring power to many thousands of customers

1 that were impacted by outages. Their efforts were
2 nothing short of heroic.

3 Next I'd like to briefly comment on the ongoing
4 consideration of the Board regarding the SIPC's efforts
5 to waive state law. These rules must be applied to the
6 eight ponds in question. If allowed to be set aside,
7 this will only result in ongoing needs to establish yet
8 more ponds, as this facility's likely to stay in use
9 beyond the State's 2030 sunset deadline.

10 I have a minor thought on a solution. As a co-op
11 member/owner, we would also like to recommend that SIPC
12 invest all or part of the members' accrued capital
13 credits for full conversion to an all-gas-fired facility
14 and/or add solar arrays, thus ending the need for coal
15 ash ponds. Thank you.

16 HEARING OFFICER WEBB: Thank you.

17 Miss Pankau, would you please spell your name for
18 the court reporter?

19 MS. PANKAU: Amanda Pankau, A-M-A-N-D-A,
20 P-A-N-K-A-U.

21 Good morning, and thank you for this opportunity
22 to speak. As I said, my name is Amanda Pankau, and I'm a
23 member/owner of the Southern Illinois Electric
24 Cooperative, which is a member or co-op of SIPC. I also

1 work for Prairie Rivers Network, where I help communities
2 across Illinois clean up coal pollution and explore new
3 clean energy opportunities.

4 Southern Illinois already bears deep and
5 permanent scars from coal. The region will live with the
6 legacy of coal mining for generations to come. We're
7 still cleaning up the damage from mine sites that were
8 abandoned before 1977, before basic regulations were in
9 place. In Williamson County alone, we've cleaned up over
10 5,000 acres of these pre-1977 abandoned mine lands, and
11 an estimated 55 million dollars is still needed to clean
12 up the thousands and thousands of acres that remain.

13 Abandoned coal mines have degraded lands,
14 polluted water and left dangerous public health hazards.
15 One of the most toxic AML sites is located just 13 miles
16 east of the coal plant. It's called Will Scarlet, also
17 known as the Red Sea or Demon Waters by those who live
18 nearby. We've learned the hard way what happens when
19 cleanup is delayed or ignored, and we cannot afford to
20 make the same mistake again with coal ash. That's why
21 I'm asking the Board to deny SIPC's petition for adjusted
22 coal ash standards. Illinois' coal ash rules were
23 created to prevent exactly the kind of long-term damage
24 that we're still dealing with from past coal activity in

1 southern Illinois. Their own -- SIPC's own data shows
2 these eight ponds are leaking dangerous contaminants into
3 groundwater, and the Illinois EPA has twice made
4 recommendations that these ponds are not closed and are
5 not exempt under the law.

6 I cannot speak for every SIPC co-op member, but I
7 know southern Illinoisans care about clean water and
8 about protecting the land for future generations. Our
9 co-op has benefited for decades from the electricity
10 generated at the Marion coal plant. With that benefit
11 comes responsibility. We must now meet the coal ash
12 cleanup standards and ensure that Lake of Egypt property
13 is safe, healthy and suitable for future development when
14 that time comes. I urge the Board to deny SIPC's
15 petition and require full compliance with the Illinois
16 coal ash standards. Thank you.

17 HEARING OFFICER WEBB: Thank you.

18 Miss Adams? Please spell your name for the court
19 reporter.

20 MS. ADAMS: I'm Jill Adams. I live in
21 Makanda, Illinois. I am a -- I get my electricity from
22 Egyptian Electric, which is one of the cooperatives that
23 is an owner of SIPC, and I'm asking that you deny the
24 request for exemption that SIPC is asking for.

1 You have heard some speak today about the
2 economic impact of denying that request, but the standard
3 set by the State is not a balancing act. It is that coal
4 ash ponds must be cleaned up. The question is, is this a
5 coal ash pond that fits under the statute? The Illinois
6 EPA, which has twice found that it is, that these ponds
7 meet the requirements of the law, they are the agency
8 with expertise on this, and they have found as -- that
9 there is contamination from these ponds and that they
10 meet the definition of being CCR surface impoundments,
11 that they are -- that there is probably large amounts of
12 coal ash within these ponds.

13 As a southern Illinoisan, I have friends who live
14 on Lake of Egypt. I have boated on Lake of Egypt. I
15 have swam in Lake of Egypt, and I anticipate that I will
16 at other times. I have drunk water of -- at those
17 friends' houses that come from Lake of Egypt. And it's
18 not a balancing act. These are coal ash ponds. The
19 State of Illinois has a policy that these ponds should be
20 closed and monitored. There's no safe level of lead for
21 children, and lead is one of the things that is leaching
22 out. I ask you to deny the request for exemption.

23 HEARING OFFICER WEBB: Thank you.

24 Miss Tripp? Please spell your name for the court

1 reporter.

2 MS. TRIPP: Hi. Tabitha Tripp,
3 T-A-B-I-T-H-A, T-R-I-P-P. I am a user and owner of SIPC
4 in Dongola. I live 15 miles south of the coal ash
5 impoundments and I rely on groundwater for my only source
6 of drinking water and farm use. I am concerned about
7 what I see in the reports that have been posted by SIPC's
8 own reporting that show that there is groundwater
9 contamination by pollutants.

10 It was stated in the SIPC's petition dated
11 5-11-21, page 191 through 194, table 2, groundwater
12 monitoring wells showed several ponds exceed Class 1
13 standards of arsenic, lead, selenium, cobalt, cadmium,
14 thallium, iron, magnesium and zinc. In the SIPC amended
15 complaint dated on 12-20 of '24, Exhibit 37, tables 3.2
16 and 3.3 display groundwater monitoring well results at
17 the Marion Station with exceedances of antimony, arsenic,
18 beryllium, boron, cadmium, chloride, cobalt, lead,
19 sulfate, thallium and total dissolved solids. And not
20 only this -- this is really concerning to me --
21 additionally, out of 11 samples analyzed, they included
22 radionuclides in nine samples and had detectable levels
23 of water-soluble radioactive particles of radium-226 and
24 228. This is bioaccumulative.

1 According to the IEPA 2025 recommendations on
2 page 7, Section 16 clearly states that the Petitioner's
3 exhibits demonstrates that there's an environmental risk
4 posed by the storage pond even though the existing
5 groundwater monitoring well system is inadequate. It's
6 time for SIPC to clean up their mess and stop polluting
7 the groundwater that I rely on for my family and for my
8 farm. Please deny the permit. Thank you.

9 HEARING OFFICER WEBB: Thank you.

10 Okay. Well, that is everybody who signed in. Is
11 there anybody here who would like to make an oral public
12 comment who did not sign in? No? I don't see any hands.

13 Okay. Well, let's go ahead and proceed with --
14 would the Petitioner like to make an opening statement?

15 MS. JOSHI: Yes, please. And this is Bina
16 Joshi on behalf of SIPC.

17 This case involves Southern Illinois Power
18 Cooperative's -- or SIPC's, as we'll call it for
19 shorthand -- petition for a finding of inapplicability
20 or, in the alternative, an adjusted standard for two
21 categories of units located at its Marion Generating
22 Station. The first category of units are those SIPC
23 refers to in its petition as the de minimis units. The
24 de minimis units consist of pond 4, former pond B-3,

1 pond 3 and 3A, pond 6, sometimes also referred to as S-6,
2 and the south fly ash pond.

3 As SIPC's witnesses will discuss at this hearing,
4 SIPC's petition requests a finding of inapplicability for
5 the de minimis units on the basis that they contain a
6 de minimis amount of CCR and therefore are not intended
7 to be regulated as CCR surface impoundments. If the
8 Board finds that a finding of inapplicability is not
9 appropriate for these units, SIPC's petition requests a
10 limited adjusted standard that mostly involves
11 adjustments to the compliance schedules for these units.

12 SIPC's corporate witnesses, Wendell Watson, Todd
13 Gallenbach and Jason McLaurin, will explain how the
14 operation of the Marion Station and use of the de minimis
15 units result in these units being de minimis and unique
16 from the CCR surface impoundments intended to be
17 regulated under Part 845. In particular, they will
18 explain how the de minimis units consist of several small
19 current and former ponds at the Marion Station used
20 primarily as secondary, tertiary or final finishing ponds
21 for stormwater management and for coal pile runoff
22 management.

23 These units never directly receive CCR for
24 storage with the exception of former pond B-3, which

1 received CCR for a period amounting to no more than a few
2 weeks in the entirety of its operation. Any CCR that
3 entered these units would have been insignificant amounts
4 that entered through decanted water that flowed through
5 the ponds as part of the polishing process for the
6 water's ultimate discharge out of an NPDES-permitted
7 outfall or through stormwater runoff, including in some
8 cases stormwater runoff management of the on-site CCR
9 landfill.

10 SIPC's expert witnesses, Dave Hagen, Ari Lewis
11 and Andrew Bittner, will further explain how these units
12 present characteristics that make them de minimis and how
13 they do not pose a risk to human health or the
14 environment. Mr. Hagen and Miss Lewis will explain how
15 the sediment and potential CCR in each pond is less than
16 one would expect to see in a CCR surface impoundment.
17 Mr. Hagen will further explain how an investigation on
18 these ponds provides evidence that they contain sediment
19 sources other than CCR and that they are not contributing
20 to groundwater contamination.

21 Miss Lewis will explain the finding of her human
22 health and ecological risk assessment, which demonstrates
23 the de minimis units do not pose a risk to human health
24 or the environment as well as how these units are

1 different from those CCR surface impoundments that USEPA
2 has found may pose a risk.

3 Mr. Bittner will focus on pond 4, where I think
4 you see it has requested a finding of inapplicability and
5 requested a longer compliance timeline as far as
6 alternative relief for an adjusted standard. He will
7 explain how his closure impact assessment demonstrates
8 that continued operation of pond 4 would not result in an
9 adverse impact to human health or the environment
10 compared to closure and, in fact, that closure could
11 result in greater negative impacts to human health and
12 the environment compared to the pond's continued
13 operation.

14 The second category of units at issue in this
15 proceeding are those in what SIPC refers to in its
16 petition as the former landfill area. As SIPC's
17 witnesses will explain, SIPC's petition requests a
18 finding of inapplicability for this area because it is a
19 landfill, not a surface impoundment. In the alternative,
20 SIPC's petition requested an adjusted standard that would
21 allow for the area's closure in place or by removal with
22 the CCR being used for a beneficial use. In either
23 instance, under the adjusted standard, the ultimate
24 closure will be consistent with Part 845 performance

1 standards.

2 As SIPC's company witnesses and expert witnesses,
3 Ken Liss and Dave Hagen, will explain, the former
4 landfill area consists of an area where dry CCR was
5 conveyed for disposal upon dry land. The southern
6 portion of it includes former surface impoundments that
7 stopped operating decades ago, that have been dewatered
8 and that have been topped or overfilled with the dry
9 conveyed landfill material.

10 The company witnesses and Mr. Liss will further
11 describe how this area does not exhibit the
12 characteristics of a surface impoundment and how it was
13 treated for decades as a Part 815 landfill under the
14 Illinois landfill regulations, including by IEPA.
15 Mr. Liss will further explain why the entirety of the
16 former landfill area, which includes the former
17 impoundment that now serve as structural fill for the
18 landfill and the CCR landfill located on top and -- on
19 top of and adjacent to that area, should be closed
20 together.

21 Finally, with respect to SIPC's alternative
22 relief for an adjusted standard, for all of the units
23 subject to this petition, Mr. Liss will explain why a
24 year or more as requested in SIPC's petition for adjusted

1 standard is required to collect the groundwater data
2 necessary for a thorough operating permit application for
3 each of these units.

4 And I would also like to address here at the
5 opening one administrative matter before we start with
6 SIPC's witnesses. SIPC received the Board's filing of
7 Friday, June 6, that included hearing questions for SIPC,
8 and we appreciate the Board providing these questions in
9 advance. The Board question number 1 asks for records.
10 SIPC will briefly address that during the hearing today
11 but also when the hearing is finished would like to
12 consult with the Hearing Officer to propose a time period
13 by which to complete a search for any such documents that
14 exist or -- and provide those documents or otherwise
15 notify the Board that no such records exist.

16 For the remaining questions, SIPC intends to
17 address those questions as part of the direct examination
18 of its witnesses. As the Board is aware, there are
19 several witnesses here at the hearing on behalf of SIPC,
20 and various witnesses are responsible for the various
21 topics raised by the Board. In some instances there may
22 be multiple witnesses with the information required to
23 respond to a particular question or covering different
24 parts of a single question, which is all to say, we're

1 very appreciative of getting the questions in advance and
2 we're going to try to address the Board's questions
3 during our witnesses' direct examination testimony and
4 will also call out when any of the Board's questions are
5 being addressed, of course welcoming any additional
6 follow-up questions the Board may have for each witness.

7 We're also happy to address a response to
8 additional questions from the Board in panel style if
9 that would be necessary because multiple witnesses are
10 covering the topic. I should note that this afternoon we
11 should have present all of the witnesses for the topics
12 that are the subject of the Board's questions if that
13 panel style questioning becomes required. And that's all
14 I have. Thank you.

15 HEARING OFFICER WEBB: Okay. Would the
16 Agency like to make an opening statement?

17 MR. NEIBERGALL: Yes. Thank you. Can you
18 hear me?

19 All right. My name is Gabe Neibergall. I work
20 for the Division of Legal Counsel for the Illinois
21 Environmental Protection Agency, along with Rebecca
22 Strauss, my co-counsel, and Mr. Lynn Dunaway, our
23 technical expert. I wanted to thank the Board for
24 holding the hearing today. I wanted to thank all the

1 members of the public who came and made public comments.
2 We appreciate those comments and we definitely consider
3 them carefully as we review this case.

4 So one thing I wanted to note from the outset
5 here is this is Southern Illinois Power Cooperative's
6 burden to prove two things in the adjusted standard
7 proceeding. One, they're seeking inapplicability from
8 Section 22.59 of the Act and Part 845 which resulted from
9 that, and two, they're seeking an adjusted standard in
10 the event the Board applies those two laws. It's not the
11 Agency's burden to prove anything, and I expect that it
12 will hear a lot today and the next few days about the
13 Agency's recommendation's alleged flaws and things
14 like -- of that nature. What's important is that it's
15 SIPC's burden to prove that the ponds in question, nine
16 of which by the Agency's count, are not by definition CCR
17 surface impoundments, and also that some of those ponds
18 which they term de minimis units contain a truly
19 de minimis amount of CCR. The Agency doesn't have to
20 prove anything. We don't have to prove what the material
21 is. It's SIPC's burden to prove that, so remember that
22 throughout the case. They also need to prove the
23 adjusted standard factors that are required by the
24 statute and the regs.

1 And as the public commenters mentioned, a couple
2 other things that are important to note is that Lake of
3 Egypt is adjacent to this power plant and the subject
4 ponds in the petition, nine. There's also three other
5 ponds that are left out of this petition and there's one
6 other CCR surface impoundment that SIPC has acknowledged
7 to be a CCR surface impoundment. Everybody already
8 mentioned that there's boating, fishing, swimming, and
9 people live on that lake.

10 Also it's important to note that SIPC as a
11 not-for-profit electric cooperative is not required to
12 maintain financial assurance under 22.59(f), as in Frank,
13 of the Act or Subpart I, as in Ida, of Part 845, so
14 there's no money set aside to clean this up in the event
15 something goes wrong.

16 At the end of the hearing, the Agency will come
17 back, likely in the briefing phase, and ask that the
18 Board deny SIPC's petition for inapplicability and also
19 for the adjusted standard. Thank you very much for your
20 time.

21 HEARING OFFICER WEBB: Thank you.

22 I did forget to mention one thing. Please put
23 your phones on silent if you have not already done that.

24 UNIDENTIFIED AUDIENCE MEMBER: Excuse me,

1 ma'am. Is there any way the microphones can be louder?

2 HEARING OFFICER WEBB: I can talk to the
3 facilities manager tomorrow or -- but I -- or I'll try to
4 call him during a break, but not right now, I can't.
5 There's nothing I can do about it right now. I'm not
6 sure where the controls are.

7 Okay. So we are ready for Petitioner's first
8 witness. Do you think the direct examination might go
9 more than an hour?

10 MS. JOSHI: I think that it will be
11 approximately an hour.

12 HEARING OFFICER WEBB: Okay. Well, let's
13 just take a five-minute break before we start our first
14 witness. Thank you.

15 (Brief recess taken.)

16 HEARING OFFICER WEBB: All right. We'll go
17 back on the record. The Petitioner may call their first
18 witness. The witness could come up here, please, and sit
19 next to me.

20 MS. JOSHI: Yes. SIPC calls Wendell Watson.

21 HEARING OFFICER WEBB: And would the court
22 reporter please swear in the witness?

23 (Witness sworn.)

24 WENDELL WATSON, produced, sworn and examined on

1 Q. How long have you been in this role?

2 A. Since 2018.

3 Q. And can you please briefly describe your
4 work history prior to joining SIPC?

5 A. I'm sorry. I didn't hear that.

6 Q. Yeah. Can you please briefly describe your
7 work history prior to joining SIPC?

8 A. I worked for Illinois Power, which also
9 became Dynegy and then later Vistra, for over 30 years in
10 the environmental department, generally in the air
11 regulations.

12 Q. And, Mr. Watson, what was your involvement
13 in helping to prepare SIPC's petition in this matter?

14 A. I helped to gather the facts surrounding the
15 use of the ponds and just information that we required
16 for this proceeding.

17 Q. Thank you. And did you prepare a
18 declaration in support of SIPC's petition?

19 A. I did.

20 Q. I'm going to show you what's been marked as
21 revised Exhibit 1 to SIPC's petition. Do you recognize
22 this document?

23 A. Yes.

24 Q. Is this the declaration you prepared in

1 support of SIPC's petition in this matter?

2 A. Yes.

3 Q. Do the statements in this declaration remain
4 true and correct?

5 A. I'm sorry. I didn't hear that.

6 Q. Do the statements made in the declaration
7 remain true and correct?

8 A. Yes.

9 Q. And I understand you have a Powerpoint to
10 accompany your testimony today. Is that correct?

11 A. Yes.

12 Q. Okay. Once again, we may approach. We're
13 going to hand you a copy of a Powerpoint that I marked as
14 SIPC Exhibit 48 where the title slide reads "Testimony of
15 Wendell Watson," which is also displayed as slide 1 on
16 the screen that's in the room. Mr. Watson, do you
17 recognize this document?

18 A. Yes.

19 Q. Is this a true and correct copy of the
20 Powerpoint prepared to accompany your testimony?

21 A. Yes.

22 Q. Did you assist in drafting or otherwise
23 review and approve the contents of this Powerpoint?

24 A. Yes.

1 Q. And just generally, what does the Powerpoint
2 contain?

3 A. It contains information regarding the ponds
4 that are under -- in this proceeding and what we are
5 asking of the Board.

6 Q. I'm going to walk you through some facts
7 first related to SIPC and the facility, the Marion
8 facility itself. SIPC is a power cooperative; is that
9 right?

10 A. Yes, it is.

11 Q. So pulling up slide 3 of your Powerpoint
12 presentation, what is a power cooperative?

13 A. It is a non-profit that provides power to
14 the lesser served areas, the less -- the lower population
15 areas of the state which are not served by the other
16 utilities of the state, the for-profit utilities.

17 Q. Who makes up the SIPC power cooperative?

18 A. There are seven distribution cooperatives,
19 which include Clinton County Electric Cooperative,
20 Egyptian Electric Cooperative Association, Monroe County
21 Electric Cooperative, Southeastern Illinois Electric
22 Cooperative, Southern Illinois Electric Cooperative,
23 Tri-County Electric Cooperative and Clay Electric
24 Cooperative.

1 Q. Thank you. And of these seven individual
2 cooperatives you just mentioned, who make up the members
3 of those individual cooperatives?

4 A. Just regular people in -- homeowners, small
5 businesses, some larger businesses, but just generally a
6 good cross-section of different types of people.

7 Q. So who would you say owns Marion Station?

8 A. Just normal, ordinary people like the people
9 that were up here commenting. Those are the members and
10 owners of the cooperatives which are the member/owners of
11 SIPC.

12 Q. And how would you describe the economic
13 condition of the area served by SIPC?

14 A. Southern Illinois is one of the poorest
15 areas in the state, is actually the poorest area in the
16 state, and it's a large -- large rural, a lot of farming,
17 some mining.

18 Q. How are the members of SIPC impacted by
19 expenditures that may need to be made at the facility?

20 A. Since we're a non-profit, all expenditures
21 pass down to the member/owners, so whatever rates that
22 they pay will be reflected by whatever expenditures that
23 we have to make.

24 Q. Okay. And again, I think you've covered

1 this already, but is SIPC a for-profit company?

2 A. It is not.

3 Q. Moving on to the facility itself, what is
4 Marion Station?

5 A. Marion Station consists of a coal-fired
6 unit, a -- which generates a little over 100 megawatts.
7 We have approximately 77 employees, and it is the -- Lake
8 of Egypt is the cooling pond for the coal plant.

9 Q. Are there any units located at Marion
10 Station other than the one coal-fired generating unit you
11 just mentioned?

12 A. There is a retired coal unit, and we have
13 two combustion turbines which run on natural gas or
14 diesel.

15 Q. You mentioned Lake of Egypt, which is
16 located next to the plant and used as cooling water.
17 Approximately when was Lake of Egypt constructed?

18 A. It was constructed in the early 1960s in
19 preparation for the construction of the coal plant.

20 Q. Who owns Lake of Egypt?

21 A. Lake of Egypt is owned by SIPC.

22 Q. And where do wastewater discharges from
23 Marion Station operations occur?

24 A. Wastewater discharges?

1 Q. Yes.

2 A. So there -- we have the water from the plant
3 drains and -- that go to the ponds, the NPDES -- National
4 Pollution Discharge Emission System -- permitted ponds
5 that are used to polish the water before it is
6 discharged.

7 Q. And where is the NPDES discharge point? To
8 what body of water?

9 A. It is discharged into Saline Creek.

10 Q. Mr. Watson, are you familiar with whether
11 there are any drinking water wells in the vicinity of the
12 Marion Station?

13 A. There is one well that is at the golf
14 course, which is uphill from the plant.

15 Q. Is there any reason to believe that this
16 drinking water well would be impacted by Marion Station
17 operations?

18 A. If there -- There's no reason to believe
19 that there's any impact.

20 Q. And why not?

21 A. We have monitoring wells around the
22 property, and the wells between the golf course and our
23 property show there's no contamination.

24 Q. And is this -- the drinking water located

1 upgradient or downgradient from the station?

2 A. It's upgradient.

3 Q. And has SIPC ever investigated the drinking
4 water quality of Lake of Egypt?

5 A. Yes, we did. We did sampling of the water
6 closest to the power plant and did have that analyzed for
7 any contamination.

8 Q. And what did that analysis show?

9 A. It showed that there was no appreciable
10 contamination. Everything was within drinking water
11 quality standards. And that data, I might add, was also
12 provided to the IEPA.

13 Q. Thank you. All right. Mr. Watson, I'd like
14 to move on to talk a little bit more about the facility
15 itself. Now, you mentioned the generating units that
16 currently operate at the facility, including the one
17 coal-fired unit that currently operates. What unit is
18 that again that currently operates at the station?

19 A. Unit 123.

20 Q. Does unit 123 generate any CCR?

21 A. Yes, it does.

22 Q. You also mentioned two additional gas-fired
23 units at the facility? Do they generate any CCR?

24 A. No, they do not.

1 Q. Let's talk a little bit more about unit 123
2 or 123. When was it constructed?

3 A. The original construction of unit 123 was in
4 19 -- I believe it was finished in 1963. It was also
5 reconstructed. The boilers were replaced -- The three
6 boilers were replaced with one boiler in 2000.

7 Q. Okay. And why was the replacement of
8 unit 123 as it's called right now, instead of historic
9 units 1, 2, 3 -- why was replacement of unit 123
10 constructed in early 2000, or in the early 2000s?

11 A. Well, I wasn't directly involved in the
12 decision-making for the reconstruction, but I believe
13 it's because the age of the boilers, they needed to build
14 something that was more reliable and efficient.

15 Q. And what type of CCR does unit 123 generate?

16 A. It generates bed ash and fly ash.

17 Q. How does SIPC manage the CCR generated by
18 unit 123?

19 A. It is handled dry and used for mine
20 reclamation.

21 Q. Has CCR from unit 123 been managed in any
22 other way since you started at the facility?

23 A. No.

24 Q. And you mentioned that it produces fly ash

1 and bed ash. What is bed ash?

2 A. I'm sorry. I didn't hear that.

3 Q. What is bed ash?

4 A. What is bed ash?

5 Q. Yes.

6 A. It is the ash that is collected at the
7 bottom of the boiler and includes coal ash and limestone,
8 which is used for removing emissions such as sulfur
9 dioxide and nitrogen oxide.

10 Q. Is there currently any wet handling of CCR
11 at Marion Station?

12 A. No.

13 Q. Is any CCR currently disposed of on site at
14 Marion Station?

15 A. No.

16 Q. And for background, you said that unit 123
17 replaced historic units 1, 2 and 3 in the early 2000s; is
18 that right?

19 A. Yes.

20 Q. And were those coal-fired generating units
21 as well?

22 A. Yes, they were.

23 Q. Besides currently operating the 123 and
24 historic units 1, 2 and 3, what other coal-fired units

1 has SIPC's Marion Station operated during the life of the
2 plant?

3 A. We had unit 4, which was retired in 2020.

4 Q. And to your knowledge, what type of CCR did
5 unit 4 generate?

6 A. Unit 4 generated fly ash and bottom ash, and
7 as well, it had a scrubber which generated gypsum.

8 Q. During your time at the facility, how did
9 SIPC manage the CCR generated by unit 4? Let's start
10 with the fly ash.

11 A. The fly ash was handled dry and used for
12 mine reclamation.

13 Q. And what about the scrubber, the scrubber
14 sludge?

15 A. The -- While I was there, that was collected
16 and sold for the use in production of concrete.

17 Q. And how about the bottom ash? How was that
18 disposed of?

19 A. We collected the bottom ash and sold that
20 for different purposes, such as asphalt shingles and -- I
21 think that was predominantly what we sold it for.

22 Q. And where was the bottom ash collected?

23 A. It was collected in ponds 1 and 2.

24 Q. And where was the fly ash collected before

1 it was sent for beneficial use?

2 A. I didn't understand the question.

3 Q. Where was the fly ash collected before it
4 was sent off site?

5 A. For unit 4?

6 Q. Yes.

7 A. Yeah, it was collected -- are you talking
8 about before I worked there or --

9 Q. No, while you worked there.

10 A. Okay. Well, yeah, it was always collected
11 dry and sent for mine reclamation.

12 Q. Okay. Thank you. So now I'm going to turn
13 to slide 5 of your Powerpoint and move to discussing the
14 units at issue in SIPC's petition in this matter. Which
15 units has SIPC been calling or designating the de minimis
16 units in its petition?

17 A. They would be pond B-3, pond 3/3A, pond 6,
18 pond 4 and the south fly ash pond.

19 Q. And are those the ponds that are depicted
20 with the red arrows here on slide 5?

21 A. Yes.

22 Q. Let's start with the south fly ash pond and
23 move on to slide 6. What materials does this pond
24 receive?

1 A. We have not sent any materials directly to
2 that pond. It is -- But we do -- we have sent -- well,
3 we are sending water from Emery Pond, what's the former
4 Emery Pond, which is now our stormwater basin, to the
5 south fly ash pond, and the decant water from that pond
6 goes to the south fly ash pond.

7 Q. Has the south fly ash pond ever received
8 materials from anywhere else during your time working at
9 the Marion Station?

10 A. No.

11 Q. When you say the south fly ash pond was a
12 secondary pond to Emery Pond, what does that mean?

13 A. It's a pond to receive the water from that
14 pond and is like a polishing pond for that. It's part of
15 the NPDES pond system that we have.

16 Q. And what kind of water -- or what is the
17 quality of water that is sent from -- was sent from Emery
18 Pond to -- or is sent from Emery Pond to the south fly
19 ash pond?

20 A. Only the water is sent over to south fly ash
21 pond. We allow the solids to settle out in Emery Pond
22 before they're -- the water is sent to the south fly ash
23 pond.

24 Q. And what's the current status of Emery Pond?

1 A. Emery Pond was closed and retrofit with a
2 liner now and is only used for stormwater and some plant
3 drain water that is collected in the stormwater basin.

4 Q. And to your knowledge, what was Emery Pond
5 used for prior to its closure?

6 A. It -- Again, it was also used for
7 stormwater, plant drains, and it did receive some
8 scrubber sludge.

9 Q. Does it receive that scrubber sludge
10 anymore?

11 A. It does not.

12 Q. And previously you talked about the quality
13 of the water going from Emery Pond to the south fly ash
14 pond. I'd just like to hone in on the details. How
15 would you describe the quality of water going from Emery
16 Pond to the south fly ash pond before Emery Pond's
17 closure?

18 A. The -- Well, it was -- again, it was decant
19 water so that the solids were separated from the water
20 before it went to the south fly ash pond.

21 Q. Thank you. And how would you describe the
22 quality of water going from Emery Pond to the south fly
23 ash pond after Emery Pond's closure?

24 A. It would be about the same. There's

1 still -- There's -- Whatever solids -- although there's
2 no solids being sent to the basin now -- whatever would
3 be in there would be separated from the water and only
4 the water would be going to the south fly ash pond.

5 Q. All right. So returning to talking about
6 the south fly ash pond itself, did it ever directly
7 receive CCR from boiler operations?

8 A. It did not.

9 Q. And is the south fly ash pond currently
10 being regulated as a CCR surface impoundment under
11 Part 257, Subpart D, otherwise commonly referred to as
12 the federal CCR rule?

13 A. No.

14 Q. Moving on to pond 3/3A in slide 7, what
15 materials has pond 3/3A received during your time at the
16 facility?

17 A. Pond 3 is another finishing pond, and it
18 received stormwater runoff and water from the facility's
19 floor drains.

20 Q. And does 3/3A also receive water from the
21 south fly ash pond?

22 A. Yes, it does.

23 Q. Was the unit used for anything else other
24 than what you've already described during your time at

1 the facility?

2 A. No.

3 Q. How would you describe the quality of water
4 flowing from the south fly ash pond to pond 3/3A?

5 A. It is decant water, so whatever solids were
6 in the previous would be separated and only the water
7 would be going to the pond.

8 Q. To your knowledge, did pond 3/3A ever
9 receive CCR from boiler operations?

10 A. No.

11 Q. And can you please explain, how are 3 -- how
12 are the 3 and 3A portions of this unit related?

13 A. It's -- It is -- They are the same pond.
14 There was a berm -- and this was done before I began
15 working there, but there was a berm that was constructed
16 in the pond to help facilitate the separation of solids
17 from the water.

18 Q. Is pond 3/3A currently being regulated as a
19 CCR surface impoundment under Part 257, Subpart D,
20 otherwise more commonly referred to as the federal CCR
21 rule?

22 A. No.

23 Q. Moving right along here to slide 8, I'd like
24 to talk about pond 6. What function does pond 6 serve?

1 A. It serves as a stormwater runoff collection
2 for the landfill and it also receives water from
3 pond 3/3A.

4 Q. What is the purpose of pond 6 receiving
5 water from pond 3/3A?

6 A. It's receiving the decant water from pond 3
7 so that that water then can be conveyed on further to the
8 discharge -- NPDES discharge point.

9 Q. Was pond 6 used for anything other than what
10 you've already described during your time at the
11 facility?

12 A. No.

13 Q. Is pond 6 sometimes also referred to as S-6
14 in documents and figures related to the facility?

15 A. Yes.

16 Q. To your knowledge, did pond 6 ever directly
17 receive CCR from boiler operations?

18 A. No.

19 Q. And is this unit currently being regulated
20 as a CCR surface impoundment under Part 257, Subpart D,
21 otherwise commonly referred to as the federal CCR rule?

22 A. No.

23 Q. The next unit I'd like to talk about is
24 pond 4, and turn to slide 9. What function does pond 4

1 serve?

2 A. It is -- also receives stormwater runoff.
3 It's a -- It's the final finishing pond for the NPDES
4 system. It received decant water from ponds 1 and 2 when
5 they were in operation. It received coal pile runoff at
6 one time, receives decant overflow from pond 6, and I
7 believe that's it.

8 Q. Thank you. Does pond 4 continue to receive
9 water from ponds 1 and 2?

10 A. No.

11 Q. When did that stop?

12 A. When unit 4 was retired in the fall of 2020.

13 Q. Has pond 4 been used for anything other than
14 what you've just described during your time at the
15 facility?

16 A. No.

17 Q. How did water travel from ponds 1 and 2 to
18 pond 4 back when water from ponds 1 and 2 did go there?

19 A. It -- There's a drain that feeds into a pipe
20 that runs into pond 4.

21 Q. What was the quality of that water that went
22 from ponds 1 and 2 to pond 4?

23 A. It was decant water that had -- the solids
24 had settled out of and separated from the water so that

1 only water went to pond 4.

2 Q. And what leads you to the conclusion that it
3 was decant water?

4 A. Well, I've seen the water.

5 Q. Was it likely that that water would have
6 contained any appreciable amounts of bottom ash from
7 ponds 1 and 2?

8 A. Not appreciable, no.

9 Q. And why not?

10 A. The characteristics of the bottom ash, it's
11 a very coarse particle, very dense, heavy, so it's very
12 difficult to keep that suspended in the water. It falls
13 out very quickly and it's very easy to separate the
14 bottom ash from the water.

15 Q. To your knowledge, has pond 4 ever received
16 CCR directly from boiler operations?

17 A. No.

18 Q. And again, taking a step back, you said that
19 pond 4 receives water from pond 6; is that correct?

20 A. Yes.

21 Q. Okay. And what is the quality of water
22 flowing from pond 6 to pond 4?

23 A. Again, it's very clear. There's not any
24 visible particulate. The -- It's decant water,

1 basically, and by -- usually by the time the water gets
2 to pond 6, it's already been decanted, and so it's very
3 clear.

4 Q. And to your knowledge, has pond 4 ever
5 received CCR directly from boiler operations?

6 A. No.

7 Q. And is pond 4 currently being regulated as a
8 CCR surface impoundment under the federal CCR rule?

9 A. No.

10 Q. I'd like to now turn to the last of the
11 de minimis ponds in slide 10 of your Powerpoint and
12 discuss former pond B-3. To your knowledge, what
13 function did former pond B-3 serve?

14 A. It was a secondary finishing pond to
15 pond A-1.

16 Q. Was former pond B-3 in operation when you
17 arrived at the facility?

18 A. No.

19 Q. Is this unit being regulated as a CCR
20 surface impoundment under the federal CCR rule?

21 A. No.

22 Q. What was the status of former pond B-3 when
23 you arrived at the Marion Station?

24 A. Well, I wouldn't even really call it a pond.

1 It was completely cleaned out and empty. It is overgrown
2 with weeds and basically empty.

3 Q. And what is the current status of former
4 pond B-3?

5 A. That is the current status.

6 Q. Since you arrived at the facility, has
7 pond B-4 or pond B-3 been used for any operational
8 purpose?

9 A. No.

10 Q. To your knowledge, is there currently any
11 sediment in this unit?

12 A. No.

13 Q. Is there currently any water in this unit?

14 A. No.

15 Q. All right. Let's move on to slide 11 of
16 your Powerpoint and the former landfill and former fly
17 ash holding units. Are you familiar with an area
18 referred to in SIPC's petition as the former landfill
19 area?

20 A. Yes, I am.

21 Q. I see that there is an excerpt on page 5 of
22 SIPC's response to IEPA's recommendation shown here on
23 slide 11, which is a map. Looking at this map, what area
24 does the former landfill area encompass?

1 A. That would be the area within the red line.

2 Q. Moving to the next slide, slide 12, what
3 units make up what SIPC is calling the former fly ash
4 holding units?

5 A. Those would be the fly ash holding area
6 extension, the replacement fly ash holding area and the
7 initial fly ash holding area.

8 Q. And are those the areas depicted in green on
9 the map located here on slide 12?

10 A. Yes.

11 Q. When did you first become aware of the
12 former fly ash holding area?

13 A. It was just a few years ago when the IEPA
14 first said that they were surface impoundments.

15 Q. What is the current status of the former fly
16 ash holding area? What's the current status of this
17 area?

18 A. The current status is it's completely
19 underneath the landfill.

20 Q. And how would you describe the extents to
21 which the former landfill covers this former fly ash
22 holding area?

23 A. It -- That area in green -- All those areas
24 in green are completely covered with material that was

1 put in the landfill.

2 Q. And are any of the units we just discussed,
3 meaning the former CCR landfill and the former fly ash
4 holding areas, currently subject to federal regulations
5 for CCR surface impoundments?

6 A. No.

7 Q. Turning to slide 13 and discussing the CCR
8 landfill a little bit more that you just referred to,
9 what is the former CCR landfill?

10 A. What is the what?

11 Q. What is the former CCR landfill?

12 A. That is the landfill that was used to take
13 the scrubber sludge. Unit 4 had a scrubber that was used
14 to remove air emissions, and so the scrubber sludge was
15 sent by a conveyor belt over to the area that was
16 identified by the red line to store the sludge that was
17 produced from that operation. There was also some fly
18 ash that was also mixed in with the scrubber sludge.

19 Q. And I think you just mentioned that the
20 scrubber sludge was conveyed over. Was the fly ash
21 conveyed over as well?

22 A. Yes.

23 Q. And how were they conveyed over?

24 A. There was a conveyor belt that was used to

1 remove it from the power plant. It was taken across the
2 street to the landfill, and from that point it was
3 distributed across the landfill using a bulldozer.

4 Q. And what is the current status of the former
5 landfill area?

6 A. It is inactive. It has not received any
7 materials since 2015.

8 Q. To your knowledge, prior to the passage of
9 Part 845, how did IEPA treat or regulate the former
10 landfill area?

11 A. It was operated as a Section 815 landfill.

12 Q. And what is your basis for the -- what is
13 the basis of your understanding that it was a Section 815
14 or Part 815 landfill?

15 A. Every year we receive a request from the
16 IEPA to submit an annual report for 815 landfill.

17 Q. Has IEPA continued to request these annual
18 landfill reports post the promulgation of Part 845?

19 A. Yes, they do.

20 Q. Now, we will have Mr. Liss address this in
21 more detail later, but with respect to the Board's
22 question number 9b, to your knowledge -- again, I just
23 wanted to reiterate -- what are the landfill regulations
24 under which the former landfill was operated?

1 A. It would be under 815.

2 Q. Did you ever have any interactions with IEPA
3 regarding this landfill area?

4 A. Yes. We had an inspector come out to look
5 at it in 2019.

6 Q. And what were the results of that
7 inspection?

8 A. The results of the inspection was we
9 received a notice of violation because we had not closed
10 the landfill.

11 Q. Were any steps -- And what did the notice of
12 violation allege, to your knowledge?

13 A. That we had a land -- an inactive landfill
14 that should have been closed in accordance with the state
15 regulations, but we had not as of that moment done that
16 yet.

17 Q. And you said in accordance with the state
18 regulations. What state regulations are you referring to
19 there?

20 A. 815.

21 Q. What -- Were any steps taken to resolve the
22 NOV?

23 A. We began to prepare a closure plan -- We
24 submitted a closure plan to the IEPA and we had contacted

1 contractors to initiate the closure of the landfill.

2 Q. And what did that closure plan cover? What
3 area did it cover?

4 A. It covered the area that was encircled by
5 red on the diagram that was discussed earlier.

6 Q. Did SIPC proceed with closing the landfill
7 under that closure plan?

8 A. We did not. The IEPA withdrew the notice of
9 violation and we were informed that we were going to --
10 they were going to regulate it under a different statute.

11 Q. And approximately when did that occur?

12 A. I'm not 100 percent sure, but I believe that
13 was in 2020, or it may have been 2021.

14 Q. Up to that point, had IEPA ever indicated to
15 SIPC that it believed the landfill was a surface
16 impoundment, to your knowledge?

17 A. No.

18 Q. To that point, based on your knowledge and
19 experience, had IEPA ever treated that former landfill
20 area as a surface impoundment?

21 A. No.

22 Q. All right. Thank you. Next I'd like to
23 address SIPC's requested relief in this proceeding and
24 move on to slide 14 of your Powerpoint. Now, Mr. Watson,

1 you're not an attorney, correct?

2 A. Correct.

3 Q. So here I'm just going to ask you to walk
4 through your non-attorney layman's understanding of what
5 SIPC is seeking as relief in this proceeding, okay? So
6 what relief is SIPC requesting in this proceeding?

7 A. We're requesting to find that the ponds that
8 do not contain CCR, what we are calling the de minimis
9 ponds, are inapplicability of the Part 845 regulations,
10 and also to the former CCR landfill and those units
11 that -- the former ash holding units as well. In the
12 alternative, SIPC is requesting the Board to adopt SIPC's
13 proposed adjusted standard for the de minimis units and
14 the former fly ash holding units and the former CCR
15 landfill.

16 Q. If SIPC's finding of inapplicability is
17 granted for the former landfill area, will this area
18 still be closed in accordance with Part 811 and any other
19 regulatory requirements that may apply to it as a
20 landfill?

21 A. Yes.

22 Q. Would that closure be conducted with IEPA
23 oversight?

24 A. Yes.

1 Q. If not for the Agency changing the way it
2 viewed the former landfill area, would SIPC have already
3 closed this area in accordance with the Part 811 landfill
4 regulations?

5 A. Yes.

6 Q. If a finding of inapplicability is granted
7 for one or more of the de minimis units, will these ponds
8 still eventually be closed in accordance with other
9 Illinois regulatory programs?

10 A. Yes.

11 Q. And would that closure occur with IEPA
12 oversight?

13 A. Yes.

14 Q. Moving on to SIPC's alternative relief for
15 an adjusted standard, will SIPC's requested adjusted
16 standard require SIPC to comply with the groundwater
17 monitoring and corrective action requirements in Part 845
18 for the units that are at issue in this proceeding?

19 A. Yes.

20 Q. And will SIPC's requested adjusted standard
21 require SIPC to close all of the units in compliance with
22 Part 845 performance standards?

23 A. Yes.

24 Q. SIPC narrowed the scope of what it was

1 requesting in the adjusted standard in its second amended
2 petition; is that right?

3 A. Yes.

4 Q. Why did SIPC do that?

5 A. I'm sorry. Could you repeat that?

6 Q. Yeah. Why did SIPC narrow the scope of its
7 requested adjusted standard?

8 A. Oh, okay. I'm sorry. Because these ponds
9 are going to be closed anyway, and so that we would agree
10 to go ahead and close them in accordance with the
11 regulations.

12 Q. Thank you. And now I'm just going to at a
13 high level walk you through the adjusted standard
14 requested for each unit, again, at a high level,
15 beginning with pond 3/3A and the south fly ash pond.
16 SIPC -- which I think we've got addressed here on your
17 slide 15. SIPC is requesting the same adjusted standard
18 for both of these units; is that correct?

19 A. Yes.

20 Q. What are the primary adjustments SIPC is
21 seeking for pond 3/3A and the south fly ash pond?

22 A. We're looking for time frames for submitting
23 operating and closure construction permit applications,
24 and that would specifically be operating permit

1 application due 12 months after adjusted standard entry
2 and closure construction permit application due 16 months
3 after adjusted standard entry.

4 Q. And through the adjusted standard, would
5 SIPC be proposing or committing to closing pond 3/3A and
6 the south fly ash pond in any particular way?

7 A. We would agree to close by removal, so
8 closure alternative assessment would include only looking
9 at closure by removal with on-site or off-site disposal.

10 Q. All right. So next let's move to slide 16
11 and talk about former pond B-3. What are the primary
12 adjustments SIPC is seeking for this unit?

13 A. We are seeking a time frame for submitting
14 the operating permit application, specifically the
15 operating permit application due 12 months after the
16 adjusted standard entry. We're seeking an exemption from
17 closure construction permit application requirements
18 except for a final closure plan, which will due -- be due
19 within 16 months, and exemptions from location
20 restriction, design criteria and other operating criteria
21 that do not make sense given the former pond B-3's
22 current physical state.

23 Q. And what is it about the nature of former
24 pond B-3 that makes it unique compared to pond 3/3A and

1 the south fly ash pond?

2 A. It currently does not hold water and it does
3 not have any sediment. The only thing that is in that
4 area is the naturally-to-be-found clay and other
5 materials that you'd find in -- anywhere.

6 Q. Thank you. Moving on to pond 4 and slide
7 17, what are the primary adjustments that SIPC is seeking
8 for this unit?

9 A. We're seeking time frames for submitting the
10 operating and closure construction permit applications,
11 specifically the operating permit application due
12 12 months after adjusted standard entry and closure
13 construction or retrofit permit application due upon the
14 earlier of the following occurrences; one, within
15 12 months of a finding that CCR within pond 4 is the
16 source of groundwater protection standard exceedances, or
17 the end of the life of the Marion Generating Station, and
18 SIPC will agree to close by removal, so the closure
19 alternatives assessment would include only looking at
20 closure by removal with on-site or off-site disposal.

21 Q. Thank you. And why is it that SIPC is
22 requesting additional time to close pond 4 in the event
23 it's confirmed that it's not contributing to any
24 groundwater protection standard exceedances?

1 A. Pond 4 is an integral part of our NPDES
2 discharge system and is needed for that purpose.

3 Q. Will there be any CCR flowing to pond 4?

4 A. No.

5 Q. What would be its continued use?

6 A. What would be going to it?

7 Q. Yes.

8 A. Just stormwater runoff, plant drain waters
9 and possibly coal pile runoff.

10 Q. Thank you. Moving to slide 18, the final
11 set of units for discussion are the former landfill area
12 and pond 6. Is SIPC requesting one adjusted standard for
13 the former landfill area and pond 6?

14 A. Yes.

15 Q. Why are the former fly ash holding areas
16 being grouped together with the former CCR landfill for
17 purposes of an adjusted standard?

18 A. They're not separate from the landfill.
19 They're all together as one continuous unit.

20 Q. And why is pond 6 being grouped together
21 with the former landfill area for purposes of the
22 requested adjusted standard?

23 A. Because pond 6 is the stormwater runoff
24 collection area for the landfills. It's part of that

1 system.

2 Q. And what are the primary adjustments that
3 SIPC is seeking for the former landfill area and for
4 pond 6?

5 A. We're looking for time frames for submitting
6 operating and closure construction permit applications,
7 operating permit and construction permit application due
8 in 18 months, and which will allow time to determine if
9 beneficial use of the CCR is viable.

10 Q. And what if beneficial use is not viable?
11 Then what does the adjusted standard propose for the
12 former landfill area?

13 A. Then we would close it within -- with -- in
14 compliance with the regulations.

15 Q. Okay. Is that with the Part 845 closure --
16 in accordance with the Part 845 closure in place
17 requirements?

18 A. Yes.

19 Q. So the petition and requested adjusted
20 standard discusses potential use of CCR from the landfill
21 for beneficial use. Can you explain in more detail what
22 that means?

23 A. Yeah. The material in the landfill is
24 valuable because it can be used in other ways if it is

1 harvested, and it can be recycled and reused in other
2 ways such as production of concrete. There are some rare
3 earths metals that can be harvested. There's a -- quite
4 a few different things that can be done with that
5 material other than just leaving it in the landfill.

6 Q. And why is it that SIPC is proposing removal
7 by beneficial use as an option under its proposed
8 adjusted standard?

9 A. We just believe that it makes sense to use
10 those materials in some manner rather than just leaving
11 them.

12 Q. Does SIPC believe that there would be a
13 market for those materials?

14 A. Yes. If that -- those materials can be
15 separated and removed, then there definitely is a market
16 for them.

17 Q. What makes you say that? What leads you to
18 say that?

19 A. Well, we've had the material sent to a lab
20 and tested, and so it's verified that those materials are
21 of commercial use.

22 Q. Thank you. Okay. And going -- And
23 commercial use, and also is it verified that they would
24 qualify as CCBs under the Illinois regulations?

1 A. Yes.

2 Q. And by CCBs, I mean coal combustion
3 byproducts. You agree that --

4 A. Yes.

5 Q. Okay. Thank you. And going back, the first
6 relief SIPC is requesting with respect to all of the
7 units at issue in this proceeding is a finding of
8 inapplicability, correct?

9 A. I'm sorry.

10 Q. So just going back, the first relief SIPC is
11 requesting with respect to all of the units at issue in
12 this proceeding is a finding of inapplicability, correct?

13 A. Yes.

14 Q. I'd like to address, to the extent that you
15 can, the Board's questions 10b, 10c and 10d. For unit 4,
16 under the adjusted standard that is being proposed as an
17 alternative to the finding of inapplicability, is SIPC
18 proposing to install a Part 845 compliant groundwater
19 monitoring system which would then be used to determine
20 whether pond 4 is causing or contributing to exceedances
21 of Part 845 groundwater protection standards?

22 A. Yes.

23 Q. And does SIPC believe an interim adjusted
24 standard would or could be appropriate to allow for the

1 collection of reliable groundwater monitoring data using
2 the enhanced groundwater monitoring network to better
3 characterize the environmental impacts of the units at
4 issue in this proceeding?

5 A. Yes.

6 Q. And can you just explain a little bit
7 further your position on that?

8 A. Yeah. We believe that pond 4 is de minimis,
9 but if the Board finds in the alternative, we'd be
10 willing to monitor the pond to determine whether or not
11 there's any groundwater exceedances being caused by
12 material in pond 4.

13 MS. JOSHI: All right. Thank you,
14 Mr. Watson. I have no more questions.

15 HEARING OFFICER WEBB: Thank you.

16 MR. NEIBERGALL: We have quite a few, I
17 believe, so I didn't know if the Board wanted to --

18 HEARING OFFICER WEBB: Well, it's 10 to 12.
19 I was hoping to finish with this witness before we break
20 for lunch, but if public consensus is that we break now,
21 I will do that. Any thoughts?

22 MR. NEIBERGALL: I think it'll take at least
23 an hour.

24 HEARING OFFICER WEBB: Would you -- people

1 want to break for lunch?

2 MR. NEIBERGALL: I think it would be smart
3 probably.

4 HEARING OFFICER WEBB: All right. It is
5 11:50. Why don't we convene at 12:50, 1 o'clock. Does
6 that sound good?

7 MR. NEIBERGALL: Yes.

8 HEARING OFFICER WEBB: All right. Thank
9 you. We're off the record.

10 (A recess was taken from 11:50 a.m. to 12:51 p.m.)

11 HEARING OFFICER WEBB: We are back on
12 record. We are back from lunch and we are picking up
13 with the cross examination of Mr. Watson, and I will
14 remind you, sir, you are still under oath.

15 CROSS EXAMINATION

16 BY MR. NEIBERGALL:

17 Q. Good afternoon, Mr. Watson. Can you hear
18 me?

19 A. If you could speak up a little louder. I am
20 hard of hearing.

21 Q. How is this? Is this better?

22 A. A little bit.

23 Q. All right. First of all, I want to go over
24 some of your testimony on direct. One of the first

1 things you said is that you helped gather the facts for
2 SIPC to use in the petitions in this case; is that
3 correct?

4 A. Yes.

5 Q. And by the facts, you mean, like, permitting
6 record?

7 A. Like -- I'm sorry -- what kind of records?

8 Q. The record of permits for the various
9 impoundments?

10 A. I mean, can you be more specific?

11 Q. So there's a lot of different permits in the
12 Agency's exhibits for nine impoundments. Did you look at
13 those?

14 A. I'm still not clear on what permit you're
15 referring to.

16 Q. So for -- like, for example, construction
17 permits?

18 A. I don't remember if I have or not.

19 Q. Okay. In a lot of your questions and
20 answers with counsel, you specified that your knowledge
21 was for the time you worked there; is that correct?

22 A. Yes.

23 Q. So you started work in 2018 for SIPC?

24 A. Yes.

1 Q. So basically, all of your testimony about
2 the operations at SIPC to the various impoundments in
3 question are from 2018 to present.

4 A. Yes.

5 Q. You stated in direct examination numerous
6 times that the various impoundments are not subject to
7 the federal rule, Part 257; is that correct?

8 A. Yes.

9 Q. Whose decision was it -- Who made the
10 decision that you weren't subject to that rule?

11 A. I don't think I was working there at the
12 time that decision had to be made. That was -- would
13 have been in 2015 or prior.

14 Q. Okay. And so you don't know who made the
15 decision prior to you working there?

16 A. No.

17 Q. But it would have been somebody at SIPC that
18 made that decision?

19 A. I can only assume.

20 Q. And you would assume that because it's a
21 self-implementing rule? It's not one where they --
22 actually the USEPA says, you follow under our rule,
23 right?

24 A. I believe that's true.

1 Q. Okay. I want to go back to your role. You
2 said you were the director of environmental services?

3 A. Yes.

4 Q. What -- You said your responsibilities are
5 environmental compliance, which included maintaining
6 compliance with the regulations?

7 A. Yes.

8 Q. Are you familiar with Section 22.59 of the
9 Act?

10 A. Well, not from memory.

11 Q. Okay. Do you understand that that's the
12 coal ash regulations in the state of Illinois, or the
13 coal ash statute in the state of Illinois?

14 A. I have read it.

15 Q. Okay. Are you familiar with Part 845, the
16 subject of these proceedings?

17 A. Yes.

18 Q. Are you familiar with the definitions?

19 A. Yes.

20 Q. Do you remember the definition for CCR?

21 A. Not -- I couldn't quote it from memory, no.

22 Q. Would it refresh your recollection to see a
23 copy of it?

24 A. You want me to say it from the best of my

1 recollection?

2 Q. No, would it refresh your recollection what
3 it is if you saw it?

4 A. Oh, yeah. Go ahead.

5 Q. So, Mr. Watson, I'm on page 2 of 7, the
6 definition for coal combustion residuals, CCR. Do you
7 see that?

8 A. Yes.

9 Q. It says it "means fly ash, bottom ash,
10 boiler slag and flue gas desulfurization materials
11 generated from burning coal for the purpose of generating
12 electricity by electric utilities and independent power
13 producers"; is that correct?

14 A. Yes.

15 Q. Okay. If you go three down from that one,
16 do you see the definition of CCR surface impoundment?

17 A. Yes.

18 Q. It says, "CCR surface impoundment or
19 impoundment means a natural topographic depression,
20 man-made excavation or diked area which is designed to
21 hold an accumulation of CCR and liquids, and the surface
22 impoundment treats, stores or disposes of CCR"; is that
23 correct?

24 A. Yes.

1 Q. Regarding that CCR surface impoundment
2 definition, in your direct testimony I heard you say a
3 few times or in response to your counsel's questioning
4 that -- I'll quote you here -- various ponds never
5 received CCR from the boiler operations. Is that
6 correct?

7 A. I'm sorry. Could you repeat that?

8 Q. So in response to your counsel's questions
9 about whether or not certain impoundments received CCR
10 from boiler operations, you continually answered that
11 they did not. Does that sound fair?

12 A. Well --

13 MS. JOSHI: I'm sorry. Can you repeat the
14 question, please?

15 MR. NEIBERGALL: Sure.

16 Q. (By Mr. Neibergall) Your counsel asked you
17 whether or not various impoundments received CCR from
18 boiler operations.

19 A. Yes.

20 MS. JOSHI: I'd just like to object to the
21 extent that it's mischaracterizing counsel's previous
22 question, which should be in the record, but I believe
23 the question was whether they directly received CCR from
24 boiler operations.

1 HEARING OFFICER WEBB: I didn't hear the
2 whole -- I have to admit I didn't hear everything you
3 said.

4 MS. JOSHI: I'd just like to object to the
5 extent that that's mischaracterizing counsel's previous
6 question on direct. He's stating that it's a quote.
7 Obviously the record or the transcript will have the
8 actual question that was asked, but my recollection of
9 what I asked was not whether they'd ever received CCR
10 from boiler operations, but whether they ever directly
11 received CCR from boiler operations.

12 HEARING OFFICER WEBB: Would you like to
13 amend your --

14 MR. NEIBERGALL: Sure. Yeah, that sounds
15 good.

16 HEARING OFFICER WEBB: -- question? Okay.

17 Q. (By Mr. Neibergall) Does that make sense,
18 sir, what she just stated?

19 A. Honestly, I can't say that I heard
20 everything.

21 HEARING OFFICER WEBB: Why don't you re-ask
22 the question the way she would like.

23 Q. Did -- I believe the question was, did any
24 of these impoundments directly receive CCR from boiler

1 operations.

2 Is that correct?

3 MS. JOSHI: I have no objection to that
4 characterization.

5 HEARING OFFICER WEBB: Okay. Thank you.

6 A. I don't remember that question specifically,
7 but we're -- I was asked questions about each pond
8 individually with regards to what they received, so --

9 Q. (By Mr. Neibergall) So for pond 3/3A, did
10 it ever directly receive CCR from boiler operations
11 during your tenure at SIPC?

12 A. No.

13 Q. Okay. Going back to the definition of CCR
14 surface impoundment that's in front of you, can you point
15 me to where direct receipt of CCR is in the definition?

16 A. I apologize. I didn't hear that.

17 Q. I didn't hear you. I'm sorry.

18 A. I didn't hear you either. I'm sorry.

19 Q. The definition there for CCR surface
20 impoundment that's in front of you --

21 A. Oh, okay. Yes.

22 Q. -- does it require a CCR surface impoundment
23 to directly receive CCR from boiler operations?

24 MS. JOSHI: Objection. Counsel's asking for

1 a legal conclusion.

2 HEARING OFFICER WEBB: What was -- Can you
3 say your question again?

4 MR. NEIBERGALL: The definition of CCR, I'm
5 asking whether it includes any mention of direct receipt
6 of CCR from boiler operations.

7 MS. JOSHI: That's a slight rephrasing of
8 the previous question.

9 HEARING OFFICER WEBB: Well, I mean, he's
10 reading it. I don't think it calls for a legal
11 conclusion.

12 MS. JOSHI: No, I -- the previous question
13 had asked for an interpretation of what it said. I'm
14 fine with that last question as raised.

15 A. So the question, just so I understand, is
16 does the definition ask if they have to receive it
17 directly from the boiler.

18 Q. (By Mr. Neibergall) Correct.

19 A. I do not see the word "boiler" in the
20 definition, so --

21 Q. Do you see the words "direct receipt"?

22 A. No.

23 Q. Does that definition have any time factor
24 for how long water and CCR must be accumulated together

1 in the impoundment?

2 A. Well, the tense of the verbs may imply that
3 there's time, yes.

4 Q. Which verbs?

5 A. "Treats, stores or disposes."

6 Q. I was asking about that second factor, the
7 "designed to hold an accumulation of liquids." Is there
8 a time factor for that one?

9 A. Well, I would assume it's not instantaneous,
10 so there would be some time factor, yes.

11 Q. But it doesn't say how long?

12 A. Not specifically, no.

13 Q. Does the definition contain a volume factor
14 for how much CCR must be treated, stored or disposed of
15 to qualify as a surface impoundment?

16 A. It does say an accumulation.

17 Q. Does it say any amount of, like, percentage
18 or anything like that?

19 A. I don't know how much an accumulation is, so
20 I can't answer that.

21 Q. Thank you. I want to move to your knowledge
22 of fuel procurement at the SIPC facility. Do you have
23 knowledge of how it buys its fuel?

24 A. My involvement in my declaration of fuel

1 procurement relates to the environmental factors of fuel
2 that we purchase for the operation of the facility.

3 Q. So are you aware of the -- for example, the
4 British term, and that's the BTU values of the fuel that
5 you purchase?

6 A. I do not review the BTU value of the coal on
7 a continuous basis, but I do know what it is and -- I
8 mean, I do know what a BTU is.

9 Q. Okay. Your coal is from the Illinois basin;
10 is that correct?

11 A. The -- I don't have an expert level of
12 understanding of where we get our fuel. Like I said, my
13 involvement when I put that in the declaration was to
14 communicate that I am involved in the environmental
15 aspect of it, like percent sulfur, those kind of things,
16 for environmental compliance.

17 Q. So you don't know the source of the Illinois
18 basin coal?

19 A. Not specifically, no.

20 Q. Do you know if the coal is run through a
21 preparation plant?

22 MS. JOSHI: Objection. This is going beyond
23 the scope of direct examination. We didn't talk about
24 fuel sources as part of Mr. Watson's direct examination,

1 and nor does his declaration or the facts that he
2 supports in the petition specifically discuss fuel
3 procurement.

4 HEARING OFFICER WEBB: What --

5 MR. NEIBERGALL: He's the director of
6 environmental services.

7 MS. JOSHI: I understand, but cross is
8 supposed to stay within the scope of direct.

9 HEARING OFFICER WEBB: I don't recall
10 discussing it, but if you were going to call him as a
11 witness and do direct, I mean, we can --

12 MR. NEIBERGALL: If he doesn't know --

13 HEARING OFFICER WEBB: He doesn't --

14 MR. NEIBERGALL: -- that's fine, but I'd
15 like to know if he knows.

16 HEARING OFFICER WEBB: Okay.

17 A. I don't know.

18 Q. (By Mr. Neibergall) Okay. As far as the
19 definition that's in front of you for CCR, one of those
20 listed possible CCR sources is flue gas desulfurization
21 materials; is that correct?

22 A. You said for which definition?

23 HEARING OFFICER WEBB: Coal combustion
24 residuals.

1 A. Oh, I'm sorry. Yes, that is in the
2 definition.

3 Q. SIPC installed a unit 4 scrubber, SO2
4 scrubber, in 1978; is that correct?

5 A. Yes.

6 Q. Is a scrubber the technology that creates
7 flue gas desulfurization materials?

8 A. Yes.

9 Q. I'd like to move to SIPC's Exhibit 29. I'm
10 going to bring you a copy to look at, sir. It's
11 Exhibit 29 on page 13.

12 Is this going to have any room up there or shall
13 I bring the page?

14 HEARING OFFICER WEBB: It's up to you.

15 MR. NEIBERGALL: I'll bring him the page.
16 Just one moment, please.

17 Q. (By Mr. Neibergall) So I'm looking at the
18 fourth paragraph down on that page 13. Are you seeing
19 that paragraph, sir? It starts with "The scrubber
20 sludge"?

21 A. Yes.

22 Q. It says, "The scrubber sludge sample has no
23 identifiable fly ash, bed ash, bottom ash and slag
24 components; all particles are classified in the 'other'

1 category." Is that what you read as well?

2 A. That's what it says.

3 Q. So your understanding is that this document
4 is classifying scrubber sludge as "other" instead of some
5 form of CCR?

6 MS. JOSHI: Objection. Foundation. Counsel
7 hasn't established that this witness has any familiarity
8 with this document or its underlying facts.

9 MR. NEIBERGALL: Sure.

10 Q. (By Mr. Neibergall) Mr. Watson, back in
11 2020, 2021, there was a pond investigation that was done
12 regarding de minimis units at SIPC; is that correct?

13 A. Yes.

14 Q. Okay. And as a course of that
15 investigation, there was a bathymetric survey performed;
16 is that correct?

17 A. I didn't hear you.

18 Q. There was a bathymetric survey performed by
19 SIPC?

20 A. Yes.

21 Q. There was also what's called a PLM -- I want
22 to make sure I don't butcher the -- polarized light
23 microscopy, which is a technique that SIPC had its
24 consultant use to identify the material; is that correct?

1 A. Yes.

2 Q. Were you familiar with this pond
3 investigation?

4 A. Yes.

5 Q. And have you read this report?

6 A. Yes.

7 Q. Okay. So my question is, regarding page 13,
8 paragraph 4, is it true that this report classifies
9 scrubber sludge as "other"?

10 A. I don't believe that's what it's saying
11 here.

12 Q. Okay. What does it say?

13 A. I think they're -- I'm really not qualified
14 to speak on this particular thing, but I don't think it
15 is equating, in other words, X equals Y, like what I
16 think you're implying there with that.

17 Q. Earlier when I asked you about the
18 definition of CCR and it included flue gas
19 desulfurization materials, do you remember that?

20 A. Yes.

21 Q. And do you remember that in 1978, unit 4,
22 the scrubber that was installed creates those materials?
23 Is that correct?

24 A. Yes.

1 Q. And the scrubber sludge we're talking about
2 would be those materials; is that correct?

3 A. Produced by the scrubber, yes.

4 Q. So are we talking about a different
5 substance or are we talking about a component of CCR?

6 A. I don't understand by -- what you mean by
7 we're talking about another substance.

8 Q. Well, I guess I'm just asking, this report
9 says that scrubber sludge is "other" and listed as a
10 different percentage than slag, fly ash and bottom ash,
11 but the definition of CCR contains FGD materials as well.

12 A. Well, it doesn't specifically in that
13 sentence that you read say what those particles are, so I
14 really don't feel qualified to answer that.

15 Q. Okay. I'm going to turn to the same
16 exhibit, 29. It's at PDF page 205 if anybody's on the
17 PDF document. It's a letter from RJ Lee Group, and I'm
18 going to bring you a copy in just a moment.

19 MS. LODGE: Do you have the attachment,
20 please?

21 MR. NEIBERGALL: It's your Exhibit 29.

22 MS. JOSHI: Yeah. Do you have the
23 attachment?

24 MR. NEIBERGALL: It's in the appendix. It's

1 after attachment D as in dog. May I approach? Just one
2 moment. Thank you.

3 (Discussion held off the record.)

4 Q. (By Mr. Neibergall) Sorry for the delay
5 there. Mr. Watson, are you familiar with that document
6 at all?

7 A. Well, I can't say that I remember seeing it
8 before. I probably have, but I can't say for sure.

9 MS. JOSHI: I'm just going to raise an
10 objection here. Again, outside the scope. Mr. Watson
11 was not asked about this report, its contents, PLM
12 analysis, as part of his direct testimony.

13 HEARING OFFICER WEBB: Well, I don't know
14 what it goes -- I'm assuming you're leading to something,
15 but I'm not sure what it goes -- what you're going
16 towards.

17 MR. NEIBERGALL: I think I just need him to
18 acknowledge that scrubber sludge is classified as
19 100 percent "other" in their pond investigation report.

20 MS. JOSHI: And Mr. Watson's not the author
21 of this report. The witness who did author this report
22 is going to be a direct witness here in this proceeding
23 later, and he will have an opportunity to cross-examine
24 the author of the report.

1 MR. NEIBERGALL: If he doesn't know, then
2 that's fine.

3 HEARING OFFICER WEBB: Okay. Well, go
4 ahead. If you don't know, just say you don't know and we
5 can move on.

6 Q. (By Mr. Neibergall) Sir, do you know
7 that --

8 MS. JOSHI: I kind of -- I don't know
9 what -- Could counsel clarify the question that they're
10 asking?

11 HEARING OFFICER WEBB: Well, I guess -- I
12 mean, as the director of environmental services, I don't
13 know what he knows. Maybe he can tell us, I don't know,
14 shed light on this. I mean, we did talk about -- he did
15 talk about what was in the ponds, right? He did talk
16 about CCR.

17 MS. JOSHI: Yes, but this is a report
18 analyzing the ponds --

19 HEARING OFFICER WEBB: Yeah, I don't --

20 MS. JOSHI: -- and part of our expert report
21 that -- and that expert will be testifying later in the
22 hearing.

23 HEARING OFFICER WEBB: I mean, maybe we can
24 just -- you can just ask one or two questions quickly and

1 save the bulk of your questions for the --

2 MR. NEIBERGALL: Sounds fair.

3 Q. (By Mr. Neibergall) Mr. Watson, basically
4 just -- have you reviewed this report before today?

5 A. I believe I have.

6 Q. Okay. And does it classify SIPC sludge as
7 100 percent "other"?

8 A. I'm sorry. You're going to have to speak
9 up.

10 Q. At the bottom of the page there's a table,
11 table 2. SIPC sludge is the second thing listed and it's
12 classified as 100 percent "other"; is that correct?

13 A. It is in the column that you state. It's in
14 a column as 100 percent under the "other."

15 Q. Thank you. You said earlier you're not
16 familiar with the history of construction for the various
17 ponds you testified about before 2018; is that accurate?

18 A. That's correct.

19 Q. So you don't know anything about when they
20 were created, back in the '60s, '70s, '80s?

21 A. I -- Yeah, I'm not familiar with the dates
22 of the --

23 Q. In your direct testimony you were explaining
24 the relief that you were seeking, SIPC was seeking; is

1 that correct?

2 A. Yes.

3 Q. You testified that one thing you're seeking
4 is inapplicability from the regulations, Part 845?

5 A. Yes.

6 Q. And the other thing you're seeking is an
7 adjusted standard in the event that the regulations are
8 applicable.

9 A. In the alternative, yes.

10 Q. So your comments about cleaning up and
11 groundwater monitoring, everything, were if
12 inapplicability is not granted.

13 A. Could you repeat that?

14 Q. Well, you testified earlier that there were
15 various things that you were doing pursuant to Part 845
16 closure for all the different ponds that Miss Joshi went
17 through; is that correct?

18 A. Currently doing?

19 Q. No, you would be doing if you were granted
20 an adjusted standard.

21 A. Yes.

22 Q. But if inapplicability is what you're
23 seeking first, you would never get to all those other
24 things to clean up the ponds; is that correct?

1 A. If we get the inapplicability, we would
2 still proceed with closure on some of the ponds as we
3 discussed. It would not necessarily be under 845, but
4 whatever the relevant standard would be, we would still
5 be closing it.

6 Q. What would the relevant standards be?

7 A. Right off the top of my head, I couldn't
8 tell you. I mean, we -- I'm just saying that we would do
9 it in accordance with the standards that are applicable.

10 MR. NEIBERGALL: Moment to confer?

11 (Off the record.)

12 Q. One last question about pond 4 as far as
13 current operations. Does coal pile runoff go to pond 4
14 always?

15 A. Always?

16 Q. Yes.

17 A. No. I think that was -- I'm not real sure.
18 Somebody else would probably be more qualified to answer
19 that question. I think right now the coal pile runoff
20 goes to pond 3.

21 Q. Is it pumped there?

22 A. Is it what?

23 Q. Pumped?

24 A. A pump?

1 Q. Yes, sir.

2 A. Somebody else would be better qualified to
3 answer that.

4 MR. NEIBERGALL: No further questions at
5 this time.

6 HEARING OFFICER WEBB: All right. Thank
7 you.

8 MS. JOSHI: I have just a brief redirect.

9 REDIRECT EXAMINATION

10 BY MS. JOSHI:

11 Q. Mr. Watson, did you prepare SIPC Exhibit 29,
12 which IEPA counsel just asked you about?

13 A. I'm sorry. Could you repeat that?

14 Q. Yeah. IEPA counsel just asked you about
15 SIPC Exhibit 29, which is a pond investigation report.
16 Do you remember that?

17 A. Yes.

18 Q. Okay. Did you prepare that report?

19 A. No.

20 Q. That report discusses PLM or polarized light
21 microscopy analysis. Are you an expert in PLM analysis?

22 A. No.

23 Q. Did you conduct the PLM analysis that's
24 presented in that report?

1 A. No.

2 Q. You were asked a couple of questions about
3 scrubber sludge. Where is scrubber sludge generated from
4 unit 4 at the facility disposed of?

5 A. It was generated in the scrubber of unit 4.

6 Q. And then where was it disposed?

7 A. When I was there, it was sold for beneficial
8 use of the production of cement.

9 Q. So while you've been at the station, has it
10 ever been disposed of on site?

11 A. I'm sorry. Could you repeat?

12 Q. While you've been at the station, has it
13 ever been disposed of at the Marion Station?

14 A. Yes, in the landfill.

15 Q. And was it ever disposed of anywhere other
16 than the landfill? Let me go back and clarify. From the
17 time you started at the station, you started working at
18 the station, has it ever been disposed of at the Marion
19 Station, the unit 4 scrubber sludge?

20 A. No.

21 Q. Prior to your time at the station, to the
22 best of your knowledge, was the scrubber sludge ever
23 disposed of on site at the Marion Station?

24 A. It was my understanding that that was sent

1 to the landfill.

2 Q. Okay. And then let's talk about unit 123.
3 Does unit 123 also have scrubber sludge generated from
4 its operations?

5 A. It does not.

6 Q. Okay. And I believe we talked about this
7 before, but any CCR that's been generated by units 1, 2
8 and 3, has it ever been disposed of at the Marion
9 Station? Not historic units 1, 2, 3. Let me clarify.
10 Current unit 123.

11 A. No. At the best of my -- from 2018 on, it
12 was not, and I -- yeah, I'd be hesitant to comment before
13 that time period.

14 Q. Okay. So to the best of your knowledge, has
15 CCR -- any type of CCR from unit 123, including scrubber
16 sludge, if it existed, ever been disposed of on site at
17 the Marion Station?

18 A. Not since I've worked there, it has not.

19 MS. JOSHI: Thank you, Mr. Watson. That's
20 all I have.

21 RE CROSS EXAMINATION

22 BY MR. NEIBERGALL:

23 Q. I just had one follow-up. One of the
24 questions Ms. Joshi just asked was about whether sludge

1 from unit 4 was ever disposed on site, and I want to make
2 sure that you're -- you said it was not, but you're
3 speaking only from 2018 on.

4 A. Yeah, just from 2018 on, it was never
5 disposed on site.

6 MR. NEIBERGALL: That's all I have. Thanks.

7 MS. JOSHI: Nothing further.

8 HEARING OFFICER WEBB: Okay. Does the Board
9 have any questions for this witness?

10 MS. BROWN: Yes.

11 EXAMINATION

12 BY MS. BROWN:

13 Q. Earlier in your testimony you stated you
14 were sampling the Lake of Egypt. Is that sampling on the
15 record? If so, do you know where the attachment is?

16 A. I'd have to defer to counsel to answer that.

17 MS. JOSHI: There are some drinking water
18 quality results in the record, and I believe -- let me
19 confirm. So SIPC Exhibit 4 does include an annual
20 drinking water quality report for the Lake of Egypt. I
21 am not sure whether those are the specific results
22 Mr. Watson was referring to or not, but we can certainly
23 go back, confirm and provide the Board with a more
24 fulsome response.

1 MS. BROWN: All right. Thank you.

2 Q. (By Ms. Brown) I also have another
3 question. I wanted to ask you for clarification. Do you
4 know when pond B-3 was cleaned and/or dewatered, what
5 year?

6 A. Well, all I can say, it was done before 2018
7 when I began working there.

8 Q. Okay. And last question, I wanted to
9 clarify, are the de minimis units proposed to be closed
10 under Part 811 as well, or is that just the former CCR
11 landfill area?

12 A. I'm sorry. Could you say that again?

13 Q. So I wanted to clarify, all the units at
14 issue were going to be proposed to be closed under
15 Part 811 even with a finding of inapplicability, or is
16 that just the former CCR landfill area?

17 A. Just the landfill.

18 MS. BROWN: Okay. Thank you. Nothing
19 further.

20 HEARING OFFICER WEBB: Thank you,
21 Mr. Watson. You made it.

22 THE WITNESS: Thank you.

23 HEARING OFFICER WEBB: All right.
24 Petitioner, you may call your next witness.

1 MS. JOSHI: We call Todd Gallenbach.

2 HEARING OFFICER WEBB: And would the court
3 reporter please swear in the witness?

4 (Witness sworn.)

5 THE REPORTER: Would you spell your name for
6 me, please?

7 MR. GALLENBACH: Todd, T-O-D-D, Gallenbach,
8 G-A-L-L-E-N-B-A-C-H.

9 TODD GALLENBACH, produced, sworn and examined on
10 behalf of the Petitioner, testified as follows:

11 DIRECT EXAMINATION

12 BY MS. JOSHI:

13 Q. And I think the court reporter took my first
14 question. So moving on, Mr. Gallenbach, what is --

15 A. Were you --

16 Q. Yes. Can you hear me okay?

17 A. But my slides --

18 Q. Oh, yes, we'll get them to you in a moment.

19 A. Okay. Thank you.

20 Q. Mr. Gallenbach, what is your educational
21 background?

22 A. I have a bachelor's in science from Southern
23 Illinois University in mechanical engineering.

24 Q. Are you currently employed?

1 A. No, I am not.

2 Q. Are you currently retired?

3 A. Yes, I am.

4 Q. Prior to retirement, where did you work?

5 A. I worked at Southern Illinois Power
6 Cooperative.

7 Q. How long did you work at Southern Illinois
8 Power Cooperative?

9 A. I was hired April of '91.

10 Q. And --

11 A. And I retired --

12 Q. When did you retire from there?

13 A. February of 2022.

14 Q. What was your role when you worked at SIPC?

15 A. I was originally hired as a plant engineer,
16 and then I was promoted to a maintenance supervisor and
17 eventually to vice president of power production.

18 Q. In your past role as vice president of power
19 production, what were your core duties for SIPC?

20 A. I was responsible for the safe, reliable
21 operation of the Marion Generating Station.

22 Q. And what were your duties at the Marion
23 Station prior to becoming vice president of power
24 production?

1 A. I ran the maintenance department.

2 Q. And what were your duties as part of the
3 maintenance department?

4 A. Responsible for all the equipment in the
5 plant.

6 Q. Do you or did you carry any professional
7 licenses?

8 A. Yes. I was a licensed professional engineer
9 in the state of Illinois.

10 Q. And were you a licensed professional
11 engineer while working for SIPC?

12 A. Yes, I was.

13 Q. And what was your involvement in preparing
14 SIPC's petition in this matter?

15 A. More for historical basis.

16 Q. Can you expand on that? Did you help
17 collect some historical facts and information?

18 A. Yes.

19 Q. Thank you. Did you prepare a declaration in
20 support of the petition?

21 A. Yes, I did.

22 Q. I'm now, if we can approach, going to show
23 you Exhibit 2 to SIPC's petition in this matter. Do you
24 recognize this document?

1 A. Yes, I do.

2 Q. Is this a copy of the declaration you
3 prepared in support of SIPC's petition?

4 A. Yes, it is.

5 Q. Other than the change in your employment
6 status, do the statements in this declaration remain true
7 and correct?

8 A. Correct.

9 Q. I understand that you had a Powerpoint to
10 accompany your testimony today. Is that correct?

11 A. Yes.

12 Q. Again, if we can approach, we're going to
13 hand you a copy of a Powerpoint marked as SIPC Exhibit 49
14 where the title slide reads "Testimony of Todd
15 Gallenbach," which is also displayed on the screen in the
16 room. Do you recognize this document?

17 A. Yes, I do.

18 Q. Is this a true and correct copy of the
19 Powerpoint prepared to accompany your testimony today?

20 A. Yes, it is.

21 Q. Did you assist in drafting or otherwise
22 review and approve the contents of this Powerpoint?

23 A. Yes, I did.

24 Q. Did you have some edits or corrections to

1 the version of this demonstrative Powerpoint that was
2 circulated yesterday?

3 A. Yes, I did.

4 Q. Okay. Can you walk us through those changes
5 or corrections that you made?

6 A. On page 3, from '78 to '85, the words "may
7 have" have been added, and also from '85 to 2003.

8 Q. Okay. Are there changes --

9 MR. NEIBERGALL: Can he say that one more
10 time? I'm sorry.

11 Q. Oh, sure. Can you please repeat the changes
12 that have been made?

13 And I should just note for the record that the
14 changes Mr. Gallenbach is referring to have been made by
15 hand on the copies that have -- the hard copies that have
16 been handed out in the room, and they have been made
17 electronically on the version that's being displayed on
18 the screen.

19 MR. NEIBERGALL: Thank you.

20 MS. JOSHI: Would you still like for him to
21 repeat?

22 MR. NEIBERGALL: No. I see them now.

23 MS. JOSHI: All right. Great.

24 Q. (By Ms. Joshi) Mr. Gallenbach, can you

1 please point us to the next edit that you've made?

2 A. On page 5, the removal of bed ash being
3 similar to bottom ash.

4 Q. Thank you. And are there any additional
5 changes? Let me help you. Is your next change on
6 page 17?

7 A. Yes. Not two to three days. It's two to
8 three weeks.

9 Q. Thank you. And do you have a final change
10 on page 20?

11 A. Yes, the way it's written now.

12 Q. The way it's been edited?

13 A. Yeah.

14 Q. So the removal of the words "during SSM
15 events"; is that right?

16 A. Uh-huh.

17 Q. Thank you. And, Mr. Gallenbach, what does
18 the Powerpoint contain, just generally?

19 A. You'll have to speak up. Will you pull that
20 mic a little closer?

21 Q. Mr. Gallenbach, can you just describe
22 generally what this Powerpoint contains?

23 A. It's a historical of the Marion operating
24 plant.

1 Q. All right. Thank you. I'd like to start
2 with some questions that focus on the units and waste
3 production at the facility, so moving on to slide 3 of
4 your Powerpoint, are you familiar with the operation of
5 former units 1, 2 and 3 at the Marion Power Station?

6 A. Yes, I am.

7 Q. To your knowledge, when did these units
8 operate?

9 A. From 1962 to June of 2003.

10 Q. And what types of units were historic
11 units 1, 2 and 3?

12 A. They were a B&W cyclone unit.

13 Q. To your knowledge, what kind of CCR did
14 those units produce?

15 A. They made a bottom ash and a fly ash.

16 Q. Did they produce scrubber sludge?

17 A. No, they did not.

18 Q. What volume of fly ash did units 1, 2 and 3
19 as cyclone units produce when operating compared to other
20 types of coal-powered generating units?

21 A. So the cyclone units produced predominantly
22 boiler slag, bottom ash, like, 70, 80 percent, and around
23 20 to 30 percent fly ash.

24 Q. I'd like to talk about how fly ash from

1 units 1, 2 and 3 were disposed of throughout these
2 boilers' operation. So let's start with when the units
3 first started operating in 1962 through 1975. How was
4 fly ash generated from units 1, 2 and 3 disposed of
5 during that time period?

6 A. So it was collected in Multiclones at the
7 time and then was transported to the initial fly ash
8 holding area.

9 Q. And then SIPC states in its petition that
10 electrostatic precipitators were installed on units 1, 2
11 and 3 in 1975. Is that correct?

12 A. Yes.

13 Q. After the installation of the electrostatic
14 precipitators in 1975 and through 1977, how was the fly
15 ash from units 1, 2 and 3 disposed of?

16 A. So it was also collected wet and disposed of
17 in the initial fly ash holding area.

18 Q. And I understand that in 1978 the hydroveyor
19 system at the plant was modified. Is that right?

20 A. That's correct.

21 Q. What is a hydroveyor system?

22 A. So a fly ash silo was installed, and on top
23 of that then there's dry collection separators and a
24 baghouse, so then the ash was separated. It never came

1 in contact with the water. Then it went into the fly ash
2 silo.

3 Q. Is 1978 also when unit 4 started operating?

4 A. Correct.

5 Q. Once the hydroveyor was modified in 1978 and
6 through 1985, how was fly ash from units 1, 2 and 3
7 disposed?

8 A. For mostly it was into the fly ash silo, but
9 the plant expansion going from just the three small units
10 which produced a total of maybe 100 megawatts to adding
11 unit 4 increased, you know, almost -- from 100 to almost
12 300 megawatts, so they kept the wet fly ash storage also
13 available so it could go to either place.

14 Q. Okay. And when that fly ash was disposed of
15 wet from 1978 through 1985, where would it have been
16 disposed of?

17 A. Into the replacement fly ash holding area.

18 Q. Okay. Thank you. And so we just talked
19 about how unit 4 also started operating in 1978. Once
20 unit 4 started operating, how often were historic
21 units 1, 2 and 3 actually used?

22 A. So several things happened when unit 4 was
23 built. We went into -- The economy went into a recession
24 and so our generation -- our prices went up, the

1 generation went down, so units 1, 2 and 3 really did not
2 run after unit 4 was built for many years except when
3 unit 4 was offline, and then they would try to start
4 them.

5 Q. So you mentioned that some fly ash from
6 units 1, 2 and 3 went to the replacement fly ash holding
7 area from 1978 through 1985, but you also mentioned that
8 some of it was disposed of dry; is that correct?

9 A. Correct.

10 Q. Okay. And can you -- where was -- or how
11 was that fly ash disposed of dry?

12 A. So we had a pugmill which would take the
13 scrubber sludge and the fly ash out of the bottom of the
14 fly ash silo and mix them together, and it was disposed
15 of in the landfill.

16 Q. And was there any spent water coming from
17 the operation of the boilers at this time?

18 A. No. Well, yes. I'm sorry. The -- We did
19 not install the dry collection till later. I mean,
20 they're actually called vacuum pumps. We did use sluice
21 pumps. So the water -- the lake water from the sluice
22 pump did go to the holding area, but the ash did not.

23 Q. So again, just to clarify for the record --

24 A. Yeah.

1 Q. -- where did that ash go that was collected
2 dry?

3 A. The ash went to the landfill.

4 Q. And where did the water go?

5 A. Into the fly ash holding area.

6 Q. And that's the replacement fly ash holding
7 area that you're referring to?

8 A. Yes.

9 Q. And would this spent water that you just
10 referred to have contained CCR?

11 A. It should not have.

12 Q. All right. So let's move on to 1985 to 2003
13 when these former fly ash holding area -- sorry. Let's
14 move on to 1985 to 2003 when historic units 1, 2 and 3
15 stopped operating. During this time period, how was fly
16 ash from historic units 1, 2 and 3 disposed of?

17 A. It could have either been combined with the
18 unit 4 scrubber sludge or then it could have went to
19 pond A-1.

20 Q. Okay. So again, when you say it could have
21 gone to pond A-1, are you saying it could have been
22 disposed of with water in pond A-1?

23 A. It could.

24 Q. Okay. And for -- And you also mentioned it

1 could have been mixed with scrubber sludge. Can you
2 describe where the fly ash would have ultimately been
3 disposed of that was mixed into the --

4 A. To the landfill.

5 Q. Okay. And was that -- again, was that fly
6 ash collected wet or dry?

7 A. Dry.

8 Q. And was there spent water from the dry
9 collection process of this fly ash?

10 A. Yes.

11 Q. Okay. And where was that spent water sent?

12 A. To pond A-1.

13 Q. And again, would the spent water have
14 contained CCR?

15 A. It should not have.

16 Q. And when you say it should not have, can you
17 just explain what you mean by that?

18 A. I mean, I want to say no, but, I mean,
19 there's -- you know, yes, it should not have had fly ash
20 in it because it would have been separated and went into
21 the silo.

22 Q. Is it possible that there could have been a
23 few particles of CCR or fly ash that --

24 A. Correct.

1 Q. -- stayed in the water? Okay. Thank you.
2 All right. And then you also mentioned that historic
3 units 1, 2 and 3 generated bottom ash; is that right?

4 A. That's correct.

5 Q. Okay. Where was the bottom ash from
6 units 1, 2 and 3 disposed of?

7 A. Ponds 1 and 2.

8 Q. And what happened to the bottom ash after it
9 went to ponds 1 and 2?

10 A. It was sold.

11 Q. And can you just describe operationally how
12 the process worked of the bottom ash being sold from
13 ponds 1 and 2?

14 A. So the way we handled it, we had a
15 contractor then that took care of it. They bought it
16 from us. They loaded it into trucks, hauled it off and
17 then paid us for it.

18 Q. And about how frequently would the bottom
19 ash be collected from these units?

20 A. Back then there would not have been very
21 much.

22 Q. So moving on to generating unit number 4
23 that Mr. Watson referred to earlier and I believe slide 4
24 of your Powerpoint, are you familiar with the operation

1 of former unit 4?

2 A. Yes, I am.

3 Q. When did unit 4 operate?

4 A. From 1978 until October of 2020.

5 Q. And what type of CCR did unit 4 produce when
6 it was operating?

7 A. So it produced scrubber sludge and bottom
8 ash and fly ash.

9 Q. So again, starting with the fly ash, I'd
10 like to ask you chronologically where the fly ash
11 generated from unit 4 was disposed, okay? So from 1978
12 when it first started operating to 1985, how was fly ash
13 from unit 4 disposed?

14 A. Disposed of?

15 Q. Yes.

16 A. It would have went to the fly ash holding
17 area.

18 Q. Sorry. So this is unit 4 I'm talking about,
19 starting in 1978. Okay. Is 1978 also when the
20 hydroveyor system was modified?

21 A. Yes.

22 Q. Okay. So where was fly ash from unit 4
23 disposed of --

24 A. Yeah.

1 Q. -- yeah, from -- starting in 1978 when it
2 started operating through 1985?

3 A. Yeah, I apologize. The fly ash was mixed
4 with the scrubber sludge and went to the landfill.

5 Q. And was there any spent water generated from
6 this method of disposal of the fly ash --

7 A. Yes.

8 Q. -- from unit 4? Sorry. Can you reply again
9 just so it's clear for the record?

10 A. Yes.

11 Q. Okay. And where would the spent water have
12 gone?

13 A. So that would have went to the replacement
14 fly ash holding area.

15 Q. Okay. And just generally, for any spent
16 water that we're discussing here today, what amount, if
17 any, of CCR would you expect that water to have in it?

18 A. It would have been de minimis. It would
19 have been very little.

20 Q. From 1978 to 1985, was fly ash from unit 4
21 ever disposed of with water?

22 A. If -- It could be, yes.

23 Q. Okay. Under what circumstances?

24 A. Some startup or shutdowns or freezing

1 conditions, malfunctions.

2 Q. And during those periods, where would -- how
3 would the fly ash have been disposed of from 1978 to
4 1985?

5 A. It would have went to the replacement fly
6 ash holding area.

7 Q. And can you just describe in a little more
8 detail under what circumstances the fly ash would have
9 had to be sent to the replacement fly ash holding area?

10 A. Because we relied on mixing it with the
11 scrubber sludge, during extreme cold weather
12 conditions -- it was an overland conveyor -- if that
13 scrubber sludge froze, rather than shut the plant down,
14 we would then have to transport the fly ash wet.

15 Q. So freezing conditions --

16 A. Freezing conditions.

17 Q. -- is really when that would occur?

18 A. Yes.

19 Q. Okay. And about -- again, I wouldn't expect
20 you to have an exact number, but approximately how often
21 would freezing conditions occur in a year?

22 A. Those conditions were usually maybe three to
23 five days a year.

24 Q. Thank you. Moving on, starting in 1985 to

1 2003, how was fly ash removed or disposed?

2 A. It was collected dry, mixed with unit 4
3 scrubber sludge and sent to the landfill.

4 Q. Was there any spent water generated from the
5 collection during this time period?

6 A. Yes.

7 Q. And where did that spent water go?

8 A. To pond A-1.

9 Q. Was fly ash from unit 4 ever disposed of
10 with water during this time period?

11 A. Again, for the same conditions, freezing
12 conditions, if the overland conveyor was not operating.

13 Q. And during these freezing conditions, where
14 would the fly ash be disposed of?

15 A. Pond A-1.

16 Q. And how was fly ash from unit 4 disposed of
17 between 2003 and 2009?

18 A. They remained the same except that's when
19 the CFB was built, and so when the CFB was built, we no
20 longer used the water at all. We had vacuum pumps that
21 created a vacuum to pull the fly ash.

22 Q. Can you just explain what a CFB is?

23 A. I'm sorry. A CFB is a circulating fluidized
24 bed boiler.

1 Q. And how did that allow you to no longer use
2 any water in the ash collection process?

3 A. So the ash off of CFB has calcium oxide in
4 it, quicklime. It cannot come in contact with the water.
5 It's exothermic. So in the design of it, we had to pull
6 all our ash completely dry. It could not come in contact
7 with water.

8 Q. So as a follow-up, was there any spent water
9 to manage or dispose of during this period?

10 A. No.

11 Q. And were the materials -- or the fly ash
12 during this time still disposed of -- mixed with scrubber
13 sludge and disposed of in the landfill?

14 A. Correct.

15 Q. And then how was fly ash from unit 4
16 disposed of from 2009 until the unit stopped operating in
17 2020?

18 A. Repeat that.

19 Q. So then starting in 2009, how was fly ash
20 from unit 4 disposed of?

21 A. Oh, okay. So then the unit 4 fly ash was
22 pulled into the new hopper. It was mixed with the CFB
23 unit 123 ash.

24 Q. And where was -- where were those materials

1 disposed of?

2 A. It was all sold for mine reclamation.

3 Q. So you mentioned that unit 4 also generated
4 scrubber sludge; is that right?

5 A. Correct.

6 Q. And did it also generate gypsum? Gypsum?

7 A. Yes, it did.

8 Q. What is scrubber sludge?

9 A. It's calcium sulfite.

10 Q. And to your knowledge, from 1978 through
11 2009, how was this scrubber sludge from unit 4 and any of
12 its byproducts managed?

13 A. It was mixed -- from '78 to 2009?

14 Q. Yes.

15 A. Yes. It was mixed and disposed of in the
16 landfill.

17 Q. And how was it taken to the landfill?

18 A. I'm sorry. What?

19 Q. How was it taken to the landfill?

20 A. On an overland conveyor.

21 Q. And then how was scrubber sludge from unit 4
22 managed from 2009 until unit 4 stopped operating?

23 A. So when we put in the forced oxidation, it's
24 no longer calcium sulfite. It's calcium sulfate, which

1 is in gypsum, and so it was sold to Buzzi -- we had a
2 contract -- and they took 100 percent of the material.

3 Q. And then you also mentioned that unit 4
4 generated bottom ash; is that right?

5 A. Correct.

6 Q. Okay. How was the bottom ash from unit 4
7 managed?

8 A. Again, we had a contract with a -- at the
9 time a shingle manufacturer, and he took all of the
10 material, loaded it into trucks. We sold it to him.

11 Q. And where did he take that material from?

12 A. He would get it out of ponds 1 and 2.

13 Q. And I just want to clarify. For the
14 scrubber sludge that was sold after 2009, was that ever
15 placed into a pond as a temporary storage while it was
16 waiting for pickup?

17 A. It was no longer possible.

18 Q. Okay. So where was it stored prior to it
19 being removed from Marion Station?

20 A. We built two conveyers, and there's a pad
21 there, and so then there was a storage facility right on
22 the plant site.

23 Q. And so it was taken from that storage
24 facility?

1 A. Correct.

2 Q. And would that be the same for the fly ash
3 that was taken off site after 2009?

4 A. There was two separate silos, and again, it
5 had a separate truck loading, so you could load directly
6 from the new silo into a truck, and so it never came in
7 contact. It just went from the silo to the truck and off
8 the property.

9 Q. When you say it never came in contact, it
10 never came in contact with what?

11 A. Well, with water or anything else out of
12 that loading area.

13 Q. Thank you. A couple of additional questions
14 regarding unit 4 addressing Board questions 4a and 4c
15 from the Board's filing on Friday. How is the
16 composition of CCR generated from unit 4 compared to the
17 CCR generated from historic units 1, 2 and 3?

18 A. The historic units 1, 2 and 3, because they
19 were older and they weren't quite as efficient -- was the
20 question just on fly ash?

21 Q. Well, this is CCR generally.

22 A. Okay. So the bottom ash was pretty much
23 identical coming out of the boiler side, but the fly ash,
24 the unit wasn't quite as efficient at burning coal, the

1 123 compared to 4, so there was more unburned carbon than
2 the original units 1, unit 2 and 3 compared to unit 4.

3 Q. And with fly ash specifically, how did the
4 fly ash generated at unit 4 compare to the fly ash
5 generated from historic units 1, 2 and 3?

6 A. Just really the amount of unburned carbon
7 that was in it.

8 Q. All right. I'd like to move on to slide 5
9 of your Powerpoint. Are you familiar with unit 123 or
10 123, as some call it?

11 A. Yeah. It's 123, 1-2-3, yes. Yes, I'm very
12 familiar.

13 Q. Okay. What is it?

14 A. It is a circulating fluidized bed boiler.

15 Q. And when did unit 123 or 123 first start
16 operating at Marion Station?

17 A. June of 2003.

18 Q. And what type of CCR does unit 123 produce?

19 A. Fly ash and bed ash.

20 Q. And again, how is the fly ash from unit 123
21 disposed of?

22 A. It went directly into trucks and hauled off
23 the property.

24 Q. And how -- And was that since unit 123 first

1 started operating?

2 A. Yes.

3 Q. And moving on to the bed ash produced by
4 unit 123, how is the bed ash from unit 123 disposed of?

5 A. It had its own silo, but again, it was
6 loaded directly in trucks.

7 Q. And again, is that from the start of
8 unit 123's operation?

9 A. Correct.

10 Q. And again, addressing the Board's
11 question 4, how does CCR from unit 123 compare to the CCR
12 from unit 4?

13 A. The big difference in a circulating
14 fluidized bed is you're doing your sulfur removal during
15 combustion, so you're adding limestone to calcium to the
16 combustion, and so the bed ash and fly ash would always
17 have some calcium sulfate in it, so there's no longer a
18 scrubber needed. You remove the SO₂ during combustion,
19 so the mineral matter ash is identical except for the
20 addition of the calcium sulfate.

21 Q. And again, was CCR from unit 123 ever
22 disposed of on site at Marion Station?

23 A. No.

24 Q. Thank you for all that information on ash

1 separation. Now I'm going to move on to discussing with
2 you some of the ponds at issue in SIPC's petition. Let's
3 move to slide 6. Are you familiar with the units
4 referred to in Mr. Watson's testimony as de minimis
5 units, and more particularly, the south fly ash pond,
6 pond 3/3A, pond 6, pond 4 and former pond B-3?

7 A. Yes.

8 Q. So let's start by talking about the south
9 fly ash pond, which I believe is mentioned on your
10 slide 7. What is the original purpose of building the
11 south fly ash pond?

12 A. It was designed as a replacement for
13 pond A-1.

14 Q. Is that why it has the name fly ash pond?

15 A. Yes.

16 Q. Okay. And I believe you just discussed this
17 briefly, but again, what was pond A-1's function at the
18 facility?

19 A. It took the water from the sluice conveyers.

20 Q. Was the south fly ash pond ever actually
21 used as replacement for pond A-1?

22 A. No, it was not.

23 Q. Why not, to the best of your knowledge?

24 A. We never outgrew pond A-1.

1 Q. During your time at the facility, if the
2 south fly ash pond didn't function as a replacement for
3 pond A-1, what was the function of the south fly ash
4 pond?

5 A. The stormwater collected off the coal pile
6 runoff into what we called Emery Pond was pumped to the
7 south fly ash pond.

8 Q. How did the south fly ash pond receive water
9 from Emery Pond?

10 A. So there's a lift station there with -- it's
11 a pump station. It has wickets in front of it. This is,
12 like, a wicket dam, and then a -- kind of a rock dam in
13 front of that to keep any solids, and so the -- there's,
14 like, a deep well pump that pumps it from there up to the
15 south fly ash pond.

16 Q. You said there's a deep well pump? Can you
17 just describe a little bit further what a deep well pump
18 is?

19 A. Well, it's not a -- like a sludge pump or
20 the -- it's not designed to really pump solids. It's
21 just designed to pump water.

22 Q. To your knowledge, did the south fly ash
23 pond ever receive anything other than water from Emery
24 Pond?

1 A. No, it did not.

2 Q. And how would you describe the quality of
3 water going from Emery Pond to the south fly ash pond?

4 A. It was just kind of a gray water, your
5 process plant water, stormwater runoff.

6 Q. So you mentioned the type of pump that was
7 used and I think you also mentioned, like -- was it a
8 sluice pump that you mentioned, or what were the other
9 types of pumps mentioned?

10 A. I was comparing the design of that pump to
11 the design of a pump designed to pump material, like a
12 sluice water -- or a -- yeah.

13 Q. And what's the difference between a pump
14 that would be designed to move water with sediment versus
15 the type of pump that was used to move water from Emery
16 Pond to the south fly ash pond?

17 A. Right. So the ones we have in the plant,
18 they have, like, a hard nickel chrome liner, or you have
19 to put an abrasive liner in them so they don't fall
20 apart.

21 Q. And what kind of pump do you have to put the
22 liner into?

23 A. Like, a sludge -- a sluice pump.

24 Q. Okay. But this pump --

1 A. Oh, I'm sorry. No, the --

2 Q. This pump did not have this characteristic,
3 the one we're talking about that goes --

4 A. Correct.

5 Q. -- from Emery Pond to the south fly ash
6 pond?

7 A. The one in Emery Pond does not. It's just a
8 water pump. I'm sorry.

9 Q. Thank you. And during your -- to your
10 knowledge, was CCR from the facility ever directly placed
11 or sluiced into the south fly ash pond?

12 A. It was never.

13 Q. And how would you characterize the amount of
14 CCR that may have gone to the south fly ash pond
15 historically?

16 A. A very, very small amount.

17 Q. All right. Let's move on to pond 3/3A in
18 your slide 8. What has this area received historically?

19 A. The stormwater runoff from -- and the coal
20 pile runoff, and then some plant floor drains.

21 Q. Does it also receive water from south fly
22 ash pond?

23 A. Yes.

24 Q. So you mentioned stormwater runoff, coal

1 pile runoff, water from the south fly ash pond. Is there
2 anything else that pond 3/3A receives?

3 A. There was some plant floor drains. Original
4 part of the plant still drained in that direction.

5 Q. And what was the purpose of sending water to
6 the south fly ash pond -- oh, sorry. Let me go back.
7 Did it also at some point historically receive overflow
8 from the initial fly ash holding area?

9 A. You'll have -- There's some background
10 noise.

11 HEARING OFFICER WEBB: Yeah. That door is
12 closed, isn't it? Sorry.

13 Q. And I'll try to speak up.

14 A. Okay.

15 Q. Did -- Historically, did 3/3A also receive
16 anything from the initial fly ash holding area?

17 A. Yes.

18 Q. Okay. And what kind of water would it have
19 received from the initial fly ash holding area?

20 A. It would have been decanted water, the
21 overflow.

22 Q. And would it have stopped receiving that
23 overflow once the initial fly ash holding area stopped
24 operating?

1 A. Correct.

2 Q. To your knowledge, did pond 3 ever directly
3 receive CCR or have CCR directly placed within it?

4 A. It did not.

5 Q. Are you familiar with the berm that was
6 constructed to the west of pond 3/3A that is kind of on
7 the western portion of that red circle that you've got on
8 slide 8 here?

9 A. Yes.

10 Q. What was the purpose of this berm?

11 A. The landfill, the stormwater runoff was
12 starting to run -- that would be east as opposed to
13 north, so it was to stop the erosion and the runoff from
14 making it to those ponds.

15 Q. All right. Thank you. How would you
16 characterize the amount of CCR that may have gone to
17 pond 3/3A historically?

18 A. Can you repeat that?

19 Q. How would you characterize the amount of CCR
20 that may have gone to pond 3/3A historically?

21 A. It would have been very small amounts.

22 Q. All right. Moving right along here to
23 slide 9, what function has pond 6 served at the station?

24 A. It's the stormwater runoff collecting pond

1 off the landfill.

2 Q. Does pond 3/3A also flow into pond 6?

3 A. Yes.

4 Q. To your knowledge, has pond 6 ever been used
5 for any other purpose?

6 A. It has not.

7 Q. And how long has pond 6 been in operation?

8 A. It kind of -- It's part of the landfill, so
9 from when the landfill was constructed.

10 Q. When you say part of the landfill, can you
11 explain what you mean?

12 A. So a berm was built, you know, to keep the
13 landfill from flowing into the creek, and so when that
14 berm was built, so then the water running off of the
15 landfill would collect in this pond 6.

16 Q. So this is to collect the stormwater runoff
17 from the landfill area?

18 A. Correct.

19 Q. So where does water from pond 6 flow?

20 A. Where does the water end up?

21 Q. Yeah.

22 A. There's a lift station on the west side that
23 pumps it into pond 4.

24 Q. To your knowledge, is the former CCR

1 landfill sitting within the water of pond 6?

2 A. Can you ask that again?

3 Q. Yeah. To your knowledge, is the former CCR
4 landfill sitting within the water of pond 6?

5 A. It is not.

6 Q. And what makes you say that?

7 A. The way the landfill was constructed, you
8 know, it started on the east side and was built up and
9 then slowly, you know, moved west and south, so as that
10 was built up, you know, eventually the stormwater runoff
11 had to go somewhere. But, no, we spent millions of
12 dollars dewatering the sludge. We wouldn't just dump it
13 back in the water.

14 Q. Thank you. During your time -- or to your
15 knowledge, was CCR ever directly sluiced or placed into
16 pond 6?

17 A. It was not.

18 Q. How would you characterize the amount of CCR
19 that may have gone to pond 6?

20 A. A small amount. It's -- The scrubber
21 sludge, you know, as it's in it, it just would be on the
22 bottom of the pond.

23 Q. You mean the scrubber sludge from the
24 runoff?

1 A. The stormwater runoff, yeah, yeah.

2 Q. Thank you. So the next pond I'd like to
3 talk about is pond 4, turning to page 10 of your
4 Powerpoint. What function did pond 4 serve?

5 A. The decanted water out of ponds 1 and 2
6 flowed into pond 4.

7 Q. Did anything else flow into pond 4?

8 A. The coal pile runoff also had the ability to
9 go into pond 4.

10 Q. And I believe you just mentioned earlier
11 that pond 6 also flows into pond 4; is that right?

12 A. Correct.

13 Q. Other than that, is there anything else that
14 you're aware of that has ever flowed -- gone into -- or
15 flowed into pond 4?

16 A. No.

17 Q. How would you describe the quality of water
18 going from pond 6 to pond 4?

19 A. I mean, it was decanted, fairly clean water.

20 Q. And what makes you say that it was decanted
21 water?

22 A. You can -- There's some berms there -- if
23 you look even in the picture, they show up -- that
24 stopped any solids from flowing to where -- the pumping

1 station is in that bottom left corner, and you can see
2 those berms there. They stopped anything from going to
3 it.

4 Q. And how does water travel from pond 6 to
5 pond 4?

6 A. There's a pumping station.

7 Q. And we talked a little bit earlier about
8 pumping stations. Is this a pumping station meant to
9 pump water and sediment?

10 A. No, no.

11 Q. How would you describe the pumping station?

12 A. Again, there's, like, wickets around the
13 pump station. It just pumps the water.

14 Q. Based on your operational experience, would
15 you expect a different type of pump to have to be used if
16 the water did contain sediments?

17 A. It would be a different type of pump.

18 Q. How would you describe the quality of water
19 going from ponds 1 and 2 into pond 4? How would you
20 describe the quality of water from ponds 1 and 2 that
21 went into pond 4?

22 A. It again is decanted water, so it's just the
23 overflow.

24 Q. And what's your basis for saying that it was

1 decanted water?

2 A. So as Wendell mentioned also, the boiler
3 slag is extremely dense, it's made of iron, and it
4 separates from the water in matters of seconds, you know,
5 and so as it was pumped over there, the water ran away
6 from it and then overflowed into pond 4.

7 Q. And how did water flow from -- this decanted
8 water you just talked about flow from ponds 1 and 2 to
9 pond 4?

10 A. There's a pipe with a valve on it, and it
11 flows through the -- it's like a culvert pipe, that it
12 flows across through that berm.

13 Q. All right. To your knowledge, was any CCR
14 ever placed or sluiced directly into pond 4?

15 A. It was not.

16 Q. And how would you characterize the amount of
17 CCR that may have gone to pond 4?

18 A. A very, very, very small amount.

19 Q. All right. Let's turn to slide 11 and talk
20 about the last of what SIPC's petition refers to as
21 de minimis, and it's former pond B-3. What was the
22 function of former pond B-3?

23 A. Pond B-3, it was a finishing pond for
24 pond A-1.

1 Q. And when you say a finishing pond, what do
2 you mean?

3 A. So the water would overflow from pond A-1
4 down into pond B-3.

5 Q. And then what happened to that water after
6 it went into pond B-3?

7 A. Then there was actually another small clear
8 well that -- and when it went from there, there used to
9 be a discharge through a different outfall.

10 Q. Was that an NPDES outfall that --

11 A. Yes, it -- yes.

12 Q. Other than being used as a finishing pond
13 for water from pond A-1, was pond B-3 used for any other
14 purpose historically?

15 A. If we were cleaning out pond A-1, it did
16 provide the flexibility if we couldn't get pond A-1
17 cleaned in time that you could take that water off the
18 sluice pumps and go into pond B-3.

19 Q. About how often, in your estimation, during
20 the operational history when A-1 was being used did B-3
21 have to be used instead of A-1?

22 A. During my career, I only remember one time.
23 It was, like, a week tops.

24 Q. Are you familiar with the dewatering and

1 cleaning of former pond B-3 that occurred in 2017?

2 A. Yes.

3 Q. Was former pond B-3 capable of holding water
4 after that cleaning in 2017?

5 A. It is not.

6 Q. Okay. Why not?

7 A. On the topo map in the picture, you can see
8 the -- we've cut the berm completely through, and so
9 water cannot -- no longer.

10 Q. And are you referring to the topo map that's
11 on slide 11 of your Powerpoint?

12 A. Yes.

13 Q. Okay. Which comes from SIPC's Exhibit 3; is
14 that right?

15 A. Yes.

16 Q. And after its cleaning, to your knowledge,
17 did it contain any sediments?

18 A. After the cleaning?

19 Q. Yes.

20 A. No.

21 Q. So you said you retired from the plant in
22 2022; is that right?

23 A. Correct.

24 Q. All right. What was the state of former

1 pond B-3 when you retired from the plant?

2 A. It was just a big empty hole.

3 Q. Thank you. Mr. Gallenbach, just generally,
4 for each of these ponds that we've just discussed, the
5 ponds that SIPC has referred to as the de minimis units,
6 would the ponds include sedimentation from sources other
7 than plant operations?

8 A. Can you repeat that question?

9 Q. Yeah. Is it possible -- or -- the pond that
10 we just discussed, the de minimis ponds, would the ponds
11 include sedimentation from sources other than operations
12 of the Marion Station?

13 A. Yes.

14 Q. What kind?

15 A. We have a tremendous amount of phragmites
16 that grows around our ponds, and grass, and so as the
17 groundskeeper -- once or twice a year when he cuts that,
18 it falls in the pond, and all your leaves. It's southern
19 Illinois. There are a lot of trees. So all that organic
20 material makes its way to the pond.

21 Q. How would you characterize the physical
22 characteristics of this organic matter in the pond?

23 A. Kind of a black muck.

24 Q. All right. And, Mr. Gallenbach, I'd also

1 just like to address, if you can, question number 6 from
2 the Board, which asks about documentation quantifying the
3 various materials that may have entered the de minimis
4 units. So you mentioned for several of these ponds that
5 they receive coal pile runoff; is that right?

6 A. Correct.

7 Q. Based on your operational experience, is it
8 possible to have documentation regarding the amount of
9 coal entering into these units?

10 A. The amount of actual --

11 Q. Coal, yeah.

12 A. Volume?

13 Q. Yeah, volume.

14 A. No. Sorry.

15 Q. Okay. And just why not, if you could
16 explain?

17 A. I mean, the -- so the coal pile runoff, it
18 did -- we did have three other smaller ponds that
19 eliminate the majority of -- because you don't want to --
20 we have -- we buy the coal. You don't want to lose it,
21 you know, so you try to control it as much as possible,
22 but during heavy rain events you'd really have no way of
23 calculating how much you lose.

24 Q. And is it possible to have documentation

1 regarding the amount of CCR that might have entered into
2 these units?

3 A. No.

4 Q. And just kind of following up on that, you
5 talked about how the -- how, like, it would be impossible
6 to calculate the amount of -- or the volume of coal pile
7 runoff entering during rain events, but you also noted
8 that these ponds received decant water from preceding
9 ponds, right? Based on your operational experience, is
10 it possible to measure the amount of CCR or other
11 sediment that might be entering into these units with the
12 decant water that was being pumped or piped through?

13 A. Yeah, it would -- it wasn't measured. It
14 wasn't possible to really measure that.

15 Q. Are you aware of any, like, process by which
16 it could have been measured?

17 A. Could you repeat the last --

18 Q. Yeah. Are you aware of any process by which
19 it could have been measured?

20 A. No.

21 Q. And based on your operational experience,
22 would it be possible in the case, for example, of pond 6
23 to measure the volume of sediment or other CCR from the
24 landfill that would have been entering through stormwater

1 runoff?

2 A. Yeah, it would not have been possible to
3 measure, yeah, the landfill runoff.

4 Q. Okay. Thank you. All right. Moving to
5 slide 12, SIPC's petition mentions that the de minimis
6 units were cleaned of debris and sediment back in 2003.
7 Are you familiar with that fact?

8 A. Yes.

9 Q. Were you present at the plant when these
10 cleanings took place in 2003?

11 A. Yes, I was.

12 Q. I'd like to discuss the nature of the
13 cleaning that took place at each unit, starting with the
14 south fly ash pond. Were -- Turning to slide 13 of your
15 presentation, were materials removed from the south fly
16 ash pond in 2003?

17 A. Yes.

18 Q. Can you please describe what was done at the
19 south fly ash pond to remove those materials?

20 A. So we lowered the water level and we took
21 our long stick excavator and just was able to scrape the
22 sediment, you know, off and load it in trucks.

23 Q. And what was the amount of the materials
24 removed, to the best that you can characterize that?

1 A. A very small amount.

2 Q. If you had to guesstimate in truckloads, for
3 example, what would you say?

4 A. It would have been maybe 10, 20 truckloads
5 tops, you know, because -- maybe a week's worth.

6 Q. Okay. I see on the slide that you have a
7 couple of truckloads. You said 10, 20. Just want to
8 circle back, and it's fine if you need to clarify. So
9 for the south fly ash pond --

10 A. Right.

11 Q. -- yeah, how would you describe the amount
12 of materials that were removed?

13 A. Describe the actual materials?

14 Q. Yeah, the amount. The amount of materials.

15 A. A very small amount.

16 Q. Okay. And can you just clarify how many
17 truckloads you believed it would have been?

18 A. It's a very small amount of trucks, you
19 know, because our guys -- there was less than a week's
20 worth of work, so 10 or 20 trucks.

21 Q. And is that at most?

22 A. Yeah.

23 Q. Okay. And why would you say 10 or 20 at
24 most?

1 A. Because I know how long it takes to kind of
2 load a truck, you know, and so it's based off of that.

3 Q. All right. And again, we're talking about
4 the south fly ash pond right now.

5 A. Right.

6 Q. Okay. For the south fly ash pond, do you
7 recall from what portion of the pond the sediments were
8 taken?

9 A. There's a -- Where the pipe discharge is,
10 there's just a little -- it kind of formed a delta right
11 there.

12 Q. And so was it -- did it just comprise of an
13 area of the pond?

14 A. We cleaned just -- yeah, that's -- you could
15 see where the sediment stopped as you looked out on it,
16 so we only cleaned out -- it didn't go very far into the
17 pond.

18 Q. By it, do you mean the sediment didn't go
19 very far into the pond?

20 A. Correct, correct.

21 Q. Where were those materials removed from the
22 south fly ash pond disposed of?

23 A. They went to the landfill, the CCR landfill.

24 Q. Sorry. Just one moment. All right. Let's

1 move on and -- to slide 14 of your presentation and start
2 a discussion of pond 4. Were materials removed from
3 pond 4 in 2003?

4 A. Correct.

5 Q. Can you describe how pond 4 was cleaned in
6 2003?

7 A. We used excavators.

8 Q. Okay. Was the pond dewatered before going
9 in with the excavator?

10 A. Dewatered, yes, yes.

11 Q. Okay. And can you please describe what was
12 done with the materials removed from pond 4?

13 A. That material was burned.

14 Q. How was it burned?

15 A. Well, we hauled it to our coal yard and then
16 let it dry and mixed it with our coal and burned it in
17 our boiler.

18 Q. How would you describe the amount of
19 materials that were removed from pond 4 in 2003?

20 A. That was around 50 truckloads.

21 Q. Moving to former pond B-3 and your slide 15,
22 I believe, were materials removed from former pond B-3 in
23 2003?

24 A. Yes.

1 Q. Can you please describe how former pond B-3
2 was cleaned at that time?

3 A. Similar to 4. We dewatered it and we used
4 excavators to clean it out.

5 Q. And where was the material cleaned out of
6 pond B-3 taken?

7 A. It was also hauled over to the coal yard,
8 mixed with our coal and burned.

9 Q. And how would you characterize the amount of
10 materials that were taken out of B-3 at that time?

11 A. Less than 50 truckloads.

12 Q. And again, can you just describe how you're
13 estimating the amount of truckloads?

14 A. So we used our own operators to run the
15 equipment. We don't own trucks, so we would have a
16 trucking company by the hour, so we would have been in
17 that pond during an outage for a couple weeks, and just
18 knowing how long it takes to load the trucks, that's
19 where I got my approximation from.

20 Q. And when you're describing a truck for all
21 of these units, like, what kind of truck are you talking
22 about?

23 A. Yeah, not to confuse people. Not the big
24 semi trucks. They're a little tandem. They hauled

1 around 10 tons.

2 Q. Moving on to pond 6 in your slide 16, were
3 materials removed from pond 6 in 2003?

4 A. Yes.

5 Q. Could you describe what was done to remove
6 materials from pond 6?

7 A. So we have a long stick excavator, and
8 again, we used our own people and they drive around the
9 edge of the pond, and they just scooped it out and turned
10 around and put it back -- the landfill was directly
11 behind them, and they just put it back into the landfill.

12 Q. How would you describe the volume of
13 sediment cleaned from pond 6 at that time to the volume
14 of the unit?

15 A. It was around 20 to 30 percent of the
16 volume.

17 Q. And then finally, moving on to pond 3/3A,
18 were materials removed from this pond in 2003?

19 A. Yes.

20 Q. And how would you describe what was done to
21 remove the materials?

22 A. So again, similar. We used our own people.
23 We dewatered the pond and we used excavators to remove
24 the material.

1 Q. And how would you describe the amount of
2 materials that were removed?

3 A. In the 20- to 50-truckload range.

4 Q. And where were the materials from 3/3A
5 taken?

6 A. The material from there?

7 Q. Uh-huh.

8 A. It was taken --

9 Q. Yes.

10 A. -- up and put into the landfill.

11 Q. Sorry. All right. First of all, I just
12 want to check in. Are you doing okay?

13 A. Yeah, yeah.

14 Q. All right. So let's move on to the former
15 landfill -- the former CCR landfill and former fly ash
16 holding units that are at issue in this matter. You
17 heard Mr. Watson testify that the initial fly ash holding
18 area, replacement fly ash holding area and fly ash
19 holding area extension make up the area SIPC refers to as
20 the former fly ash holding units; is that correct?

21 A. Yes.

22 Q. Okay. Based on your experience at the
23 facility, where are the former fly ash holding units
24 located compared to the location of the former CCR

1 landfill?

2 A. They are within the boundary of the CCR
3 landfill.

4 Q. And when you say within the boundary, are
5 they located next to it? Are they located under it? Can
6 you just --

7 A. They are now underneath it. They are now
8 underneath it.

9 Q. And based on your last observation at the
10 plant, how much of the former fly ash holding units are
11 covered by the CCR landfill?

12 A. I believe 100 percent.

13 Q. All right. Great. Let's start discussing
14 the specific units, starting with the initial fly ash
15 holding area. To your knowledge, what was the purpose of
16 the initial fly ash holding unit during its operation?

17 A. So it was designed to receive the wet fly
18 ash from units 1, 2 and 3.

19 Q. And again, to your knowledge, how long did
20 the initial fly ash holding area receive this wet fly
21 ash?

22 A. Until 1977.

23 Q. And what was the status of the initial fly
24 ash holding area during your time at the facility?

1 A. It had been dewatered and closed.

2 Q. So you started working at the plant around
3 the early '90s; is that right?

4 A. '91, yes.

5 Q. Okay. And during the time you were at the
6 facility -- I guess at the time you arrived at the
7 facility, was it covered by the landfill at all?

8 A. I believe so.

9 Q. Moving on to the replacement fly ash holding
10 area and the next slide here, which I believe is
11 slide 20 --

12 A. Slide 20?

13 Q. Yes.

14 A. Okay.

15 Q. What waste streams did the replacement fly
16 ash holding area receive?

17 A. They received the spent water from the
18 hydroveyor system.

19 Q. Anything else?

20 A. They could have received fly ash from the
21 original units 1, units 2 and units 3.

22 Q. And when -- like, during what time period
23 would that have occurred?

24 A. It would have ended around '85 when pond A-1

1 was built.

2 Q. And what was the status of the replacement
3 fly ash area during your time at the facility?

4 A. It had been dewatered and closed.

5 Q. All right. Moving on to our last former fly
6 ash holding unit, the former fly ash holding area
7 extension, to your knowledge, around when was this unit
8 constructed?

9 A. Around --

10 Q. And I believe we're on page 21 of your slide
11 deck. Sorry. So to repeat the question, around when was
12 the former fly ash holding area extension first
13 constructed?

14 A. 1982.

15 Q. And what was the original purpose of
16 building the former fly ash holding area extension?

17 A. It would have been to receive the fly ash
18 from the plant.

19 Q. And what was the purpose of -- I guess what
20 was the intended purpose of it receiving the fly ash from
21 the plant?

22 A. So when unit 4 was built, again, and they
23 were growing, I think they were concerned about not
24 having enough room for their water and their fly ash, but

1 because they pulled it dry and mixed it with the scrubber
2 sludge, I don't believe it was really utilized.

3 Q. Okay. So to your knowledge, was it ever
4 used for the purpose of receiving fly ash?

5 A. I don't believe so.

6 Q. And just based on your understanding, why
7 would SIPC build an additional pond with the intention of
8 storing fly ash if it was unlikely to receive that fly
9 ash?

10 A. You know, I believe they were going through
11 some growing pains, you know, and they wanted -- you
12 know, you always need a backup of that -- you can't just
13 let your fly ash pond fill up. You have to get one
14 permitted and built, so I think they were anticipating,
15 again, having something ready for the future.

16 Q. And what was the status of the former fly
17 ash holding area extension during your time at the
18 facility?

19 A. So it had been dewatered and partially
20 covered by the landfill.

21 Q. And then did it continue to be covered
22 during your time at the facility?

23 A. Yes.

24 Q. Once the former fly ash holding units were

1 dewatered, how were the units treated?

2 A. It became part of the landfill.

3 Q. During your time at the facility, did SIPC
4 treat these areas as landfill?

5 A. Yes.

6 Q. Let's discuss the former CCR landfill
7 itself. How did the former CCR landfill operate during
8 your time at the facility?

9 A. Can you repeat the question?

10 Q. Yeah. I'll rephrase. Generally, how did
11 the former CCR landfill operate during your time at the
12 facility?

13 A. They received fly ash and scrubber sludge
14 from '78 to 2015.

15 Q. Okay. Yeah, and let's move on to slide 22
16 of your presentation that I think talks about the former
17 landfill. So you said it received fly ash and scrubber
18 sludge. Once that fly ash and scrubber sludge was
19 deposited onto the landfill area, how was it managed?

20 A. How was it handled?

21 Q. Yeah. How was it managed once it was
22 deposited into that area?

23 A. So again, we had a contract with a company
24 and they kept an operator and a dozer, so as it fell off

1 of the conveyor, he would dress the landfill, push it
2 around. You obviously couldn't just let it pile up right
3 under the conveyor, and so he took that material over
4 time and spread it out.

5 Q. And approximately when did the former
6 landfill cease operations?

7 A. It really stopped receiving material when we
8 did the forced oxidation, you know, in '09, but then it
9 was completely closed in '15.

10 Q. Based on your personal operational
11 knowledge, during your time at the facility, did this
12 area ever exhibit characteristics of a surface
13 impoundment?

14 A. Can you repeat that question?

15 Q. Yeah. Based on your personal operational
16 knowledge, during your time at the facility, did this
17 area of the former CCR landfill ever exhibit
18 characteristics of a surface impoundment?

19 A. No, it did not.

20 Q. And are you generally familiar with what a
21 surface impoundment looks like?

22 A. Yes.

23 Q. Okay. And how a surface impoundment
24 operates, are you familiar with that?

1 A. Yes.

2 Q. During your time at the facility, did you
3 ever have any interactions with IEPA regarding the former
4 landfill area?

5 A. Yes.

6 Q. Can you describe those interactions?

7 A. A representative came down. I believe Jason
8 and I took her around the landfill and showed it to her.
9 She asked some questions about when we were going to
10 cover it, and that was really my extent of the
11 interaction.

12 Q. And during that interaction, was there any
13 indication of how IEPA viewed this area; specifically,
14 whether it viewed it as a landfill or a surface
15 impoundment?

16 A. Well, she was from the Division of Land.
17 She definitely treated it as a landfill.

18 Q. And finally, I'd like to talk to you about
19 something referenced in Mr. Watson's testimony. Are you
20 familiar with Lake of Egypt?

21 A. Yes, I am.

22 Q. What is your familiarity with Lake of Egypt?

23 A. I live on Lake of Egypt.

24 Q. And that is the lake that is next to Marion

1 Station; is that correct?

2 A. It is.

3 Q. Are you familiar with Lake of Egypt's use as
4 drinking water?

5 A. Yes, I am.

6 Q. Is it provided as a drinking water source by
7 the local municipality?

8 A. Can you repeat the question?

9 Q. Yeah. Is it provided or used as a drinking
10 water source by the local municipality?

11 A. Yes, it is.

12 Q. Okay. And to your knowledge, does the
13 municipality monitor the drinking water quality of Lake
14 of Egypt?

15 A. Yes, they do.

16 Q. And to your knowledge, has there ever been
17 any issues with drinking water quality in Lake of Egypt
18 as a result of the Marion Station operations?

19 A. No, there has not.

20 Q. And just generally, what is your
21 understanding of the drinking water quality of the water
22 in Lake of Egypt?

23 MR. NEIBERGALL: I'm going to object as
24 speculation on that.

1 HEARING OFFICER WEBB: If you know, you can
2 answer.

3 A. Well, Lake of Egypt, they're really
4 technically a water district, but they won the
5 best-tasting water in the United States a couple years
6 ago.

7 MS. JOSHI: Okay. I have no further
8 questions. Thank you.

9 HEARING OFFICER WEBB: Okay. Why don't we
10 take a break, five or ten minutes. We'll go off the
11 record.

12 (Brief recess taken.)

13 HEARING OFFICER WEBB: We are back on the
14 record. Mr. Gallenbach, you are still under oath, and we
15 will pick up with your cross examination.

16 CROSS EXAMINATION

17 BY MR. NEIBERGALL:

18 Q. Good afternoon, sir. I want to start -- I
19 think you probably heard my questions earlier to
20 Mr. Watson about fuel?

21 A. Yes.

22 Q. Are you familiar with the fuel procurement
23 at the SIPC station?

24 A. I was never responsible for the procurement.

1 Q. Are you familiar with the fuel combustion?

2 A. Yes.

3 Q. You're aware of British thermal units, BTUs?

4 A. Yes.

5 Q. Do you know the source of the Illinois basin
6 coal that was used at SIPC?

7 A. Could you ask that again?

8 Q. Do you know the source of the Illinois basin
9 coal that was used?

10 A. We sourced fuel from multiple mines over
11 many years, so there is no single source.

12 Q. But from Illinois, locally?

13 A. Mostly, but we did bring some from Kentucky
14 and some as far as Springfield, Illinois.

15 Q. Do you know if the coal that you used at
16 SIPC was run through a preparation plant?

17 A. Some was.

18 Q. Could you estimate how much?

19 A. You mean over the last 40 years or --

20 Q. In your experience from 1991 to 2022,
21 roughly how much was run through a preparation plant?

22 A. What percentage of the fuel we burned was --
23 went through a prep -- I really can't.

24 Q. Okay. That's fine. When coal isn't

1 prepared, when it's not run through the preparation
2 plant, does it contain non-coal materials?

3 MS. JOSHI: I'm just going to object again
4 to this being outside the scope of the direct examination
5 of the witness. The witness testified about waste that
6 was generated from the boilers, the operation of the
7 units at issue in this proceeding.

8 MR. NEIBERGALL: The response is that
9 somebody at SIPC should know the content of the coal, and
10 it's their burden to prove which is CCR material and
11 which is not, so I'm hoping that somebody with as much
12 experience as he has at the facility can answer some
13 questions about the content.

14 HEARING OFFICER WEBB: Okay. I'll let you
15 answer.

16 A. Well, to be clear, and since we haven't
17 talked about this, but our original air permit required
18 us to burn mine waste, I believe 25 percent, but it could
19 be 20. So not only was that not washed coal; that was
20 actually -- and the reason that was done is because with
21 the abandoned mines there's a tremendous amount of mine
22 waste, and some kids got killed, you know, because it
23 caught on fire, and so they permitted our plant to burn
24 the mine waste. So it's a very tough question when you

1 asked about washed coal, because we also blend it in the
2 tailings from a prep plant.

3 Q. (By Mr. Neibergall) So for the mine waste,
4 how much was blended in over time?

5 A. We were required to do around 20 percent,
6 but the CFB burned -- was designed to burn 100 percent,
7 and that's why we did it. We eventually burned up almost
8 all the economical mine waste in southern Illinois, and
9 so now, I'm not there, but I believe they burn a blend of
10 coal and mine waste.

11 Q. Thank you. Does the mine waste come from
12 RDAs, refuse disposal areas?

13 A. Can you say that -- you're using an acronym?

14 Q. Yes, sir. Refuse disposal areas, RDA.

15 A. I'm not familiar -- They were pre-law mines,
16 if that helps you.

17 Q. Okay. Thanks. Does the combustion process
18 in the different units at SIPC -- is it hot enough to
19 melt all the materials that are in the coal and the
20 mixture?

21 A. So again, we have two different units.
22 Unit 4, yes, it goes over 3,000 degrees, and everything
23 turns into a liquid in unit 4.

24 Q. And how about 123?

1 A. It's a circulating fluidized bed, so it
2 burns around 1500 to 1800 degrees, so, no, it does not
3 liquefy any of the minerals.

4 Q. I'm sorry. Can you clarify? The degrees
5 you just mentioned, is that Fahrenheit or Celsius?

6 A. Those are Fahrenheit. I'm sorry.

7 Q. Thank you. Is it fair to say for the
8 coal-fueled units that the combustion produces heat,
9 light and gases?

10 A. And maybe if -- you're looking down when
11 you're asking the question and --

12 Q. Sure.

13 A. Okay. Yeah, into the mic.

14 Q. Is it fair to say for the coal-fueled units
15 that combustion produces heat, light and gases?

16 A. Yes, it's fair to say that.

17 Q. Any --

18 A. I don't know -- the light --

19 Q. Sure.

20 A. We produce heat and you would produce some
21 flue gas, but I don't know what you mean by light.

22 Q. Okay. Any fuel that doesn't burn is the
23 residue of the coal combustion?

24 A. So your question is any fuel --

1 Q. Fuel.

2 A. -- that does not burn, how would I classify
3 it?

4 Q. Is it a residue of the combustion process?

5 A. Well, I mean, you have mineral matter in the
6 fuel. You burn all the hydrocarbons, the hydrogen and
7 carbon, and what's left is mineral matter. That's --

8 Q. That's the residuals, right?

9 A. I don't know how you define it. I'm just --
10 That's what it is.

11 Q. And you're familiar -- or you know the
12 definition of CCR earlier?

13 A. I do not know the definition of CCR.

14 Q. Would it refresh your recollection if you
15 saw it? I'll bring it up to you.

16 A. Okay.

17 Q. So I'm showing you 35 Illinois
18 Administrative Code 845.120, Definitions, page 2, coal
19 combustion residuals or CCR. Do you see that paragraph,
20 sir?

21 A. It's in italics?

22 Q. Yes, sir.

23 A. I see it.

24 Q. Okay. And CCR means fly ash, bottom ash,

1 boiler slag and flue gas desulfurization materials? Do
2 you see that there?

3 A. Yes.

4 Q. Okay. So flue gas desulfurization
5 materials, FGD, is part of what CCR is; is that correct?

6 A. Was there a question?

7 Q. Sorry. I was asking if FGD is one of the
8 components that makes up CCR.

9 A. Yes.

10 Q. And the unit 4 SO2 scrubber in 1978 was what
11 was producing that sludge?

12 A. I don't know the definition exactly that
13 they're saying, but using generic terms, I believe what
14 you're saying is correct.

15 Q. Okay. You were familiar with the pond
16 investigation that was done in 2021 and 2022 regarding
17 the de minimis units?

18 A. I am aware it was done. I'm not familiar
19 with it.

20 Q. So Petitioner's Exhibit 29, the pond
21 investigation report, are you saying you're not familiar
22 with that at all?

23 A. I am not familiar with it.

24 Q. What month of 2022 did you stop?

1 A. Technically January, but I think my
2 retirement day was somewhere in February.

3 MR. NEIBERGALL: May I approach?

4 HEARING OFFICER WEBB: Uh-huh.

5 Q. (By Mr. Neibergall) Sorry for the giant
6 binder. Give me one second. Mr. Gallenbach, have you
7 ever seen that report?

8 A. No, I have not.

9 Q. So the date on there, looks like 1st of
10 September, 2021? Were you working for SIPC at the time?

11 A. I was employed there, yes.

12 Q. Do you recall being on some calls for a
13 violation notice back in 2020, in 2021, where we
14 discussed this investigation?

15 A. I do not.

16 Q. Were you working for SIPC in March of 2021?

17 A. Yes, I was.

18 Q. Did you see an earlier version of this
19 report that was authored by the same parties?

20 A. I do not remember ever seeing this report.

21 Q. I'm going to come grab that back from you
22 real quick. All right. We'll move on to some of what
23 you testified about earlier. The 2003 cleanings that you
24 discussed on your direct testimony, was that amount that

1 you testified to ever codified anywhere? Was it ever
2 written down as far as the truckloads?

3 A. No, sir.

4 Q. Was the fact that the cleaning occurred in
5 2003 for all of these de minimis units ever written down
6 anywhere?

7 A. I don't believe so.

8 Q. You testified that a truckload in the trucks
9 you were using was about 10 tons per truck? Is that
10 accurate?

11 A. Correct.

12 Q. South fly ash, you said 10 to 20 truckloads;
13 is that correct?

14 A. I do believe I said that, yes.

15 Q. Pond 4, you said approximately
16 50 truckloads?

17 A. Yes.

18 Q. B-3, you said less than 50 truckloads?

19 A. Yes.

20 Q. Pond 6, you said 20 to 30 percent of the
21 volume because there were no trucks because you were
22 putting it right back in the landfill?

23 A. Correct.

24 Q. 3 and 3A, you said 20 to 50 truckloads.

1 A. Correct.

2 Q. All right. We're going to go back pond by
3 pond that you went through in your direct testimony and
4 talk about those a little bit. In the course of your
5 time at SIPC, from 1991 to 2022, did you review any
6 construction permits or operating permits, historical
7 documents for the various ponds?

8 A. I have seen them.

9 Q. Okay. I'm going to bring you some exhibits
10 and we're going to flip through them.

11 MS. JOSHI: Could you please let us know
12 what exhibits you're --

13 MR. NEIBERGALL: Yep. I have -- That's the
14 record containing our exhibits and he's going to flip
15 through as I indicate which exhibits.

16 Q. (By Mr. Neibergall) So we'll start, sir,
17 with pond 3, and we're going to look at Exhibit -- Agency
18 Exhibit 0 as in ocean. And I can either say 00 like it
19 is or I can just say it one time. It's all -- There's
20 no --

21 A. So I'm not real familiar with your filing
22 system. You want me to go to tab 0?

23 Q. Yes, sir. Thank you.

24 MS. JOSHI: And since they are in the

1 response, I would just ask for, like, 30 seconds for us
2 to be able to pull up the exhibit on our end before you
3 start.

4 MR. NEIBERGALL: Sure, that sounds good.

5 THE WITNESS: All right. I'm on tab O.

6 MR. NEIBERGALL: Counsel, let me know when
7 you're ready.

8 MS. JOSHI: Yeah, we're ready. Thank you.

9 Q. (By Mr. Neibergall) All right, sir.
10 Exhibit 00, there is an October 6, 1969, permit document
11 at page 1. It says -- titled "Slag and Fly Ash
12 Disposal," is that accurate, at the very top there?

13 A. I see it, yes.

14 Q. Down at the bottom of that page it says, "PS
15 to Region, project consists of 53,000-cubic-yard settling
16 pond and surface water diversion." Do you see that, sir?

17 A. Yes.

18 Q. So this permit document, which is for
19 pond 3, indicates that this unit is designed to hold CCR
20 and liquid?

21 A. It appears so.

22 Q. If you flip to page 3 of that document -- so
23 it's front and back, but it's the third page -- it's a
24 handwritten cursive document. Do you see that?

1 A. Yes.

2 Q. Proposal, in the middle of the page, it
3 says, "Construct a third fly ash and slag settling lagoon
4 to relieve overloading"? Do you see that?

5 A. Yes.

6 Q. So it would be a construction, a man-made
7 construction? Is that how you would interpret that?

8 A. I don't understand your question.

9 Q. Well, the construction -- it's not a -- it's
10 not just a hole that's near the unit, right? Somebody
11 had to build it.

12 A. I'm --

13 Q. Let's move -- We'll move to another page.
14 It's page 9. It's a typewritten page. The top says
15 "Slag Settling Ponds."

16 A. You said they're numbered front and back?

17 Q. They're not numbered, but if you keep
18 flipping, you're going to see a page called "Slag
19 Settling Ponds," typewritten.

20 A. Yes.

21 Q. Middle of the page, under Procedure, it says
22 "land cut and fill"? Do you see that?

23 A. Yes.

24 Q. Would you consider that a man-made

1 excavation?

2 MS. JOSHI: Sorry. Are you on page 9 of the
3 PDF?

4 MR. NEIBERGALL: No. I don't know where I'm
5 at on the PDF, but I'm on the 9th page of Agency
6 Exhibit 00.

7 A. So you're asking me if this was a permit to
8 build a pond?

9 Q. (By Mr. Neibergall) I'm asking specifically
10 about --

11 HEARING OFFICER WEBB: Can I interrupt for a
12 second? She had 1107 for the PDF page number?

13 MS. LODE: Got it. Thank you.

14 HEARING OFFICER WEBB: You got it? I'm
15 sorry. Sorry. Go ahead.

16 Q. (By Mr. Neibergall) I'm asking about the
17 terminology of land cut and fill to construct a levee,
18 and I'm asking if that's a man-made excavation or diked
19 area.

20 A. It's hard to tell from the description.

21 MS. JOSHI: So objection. I'd just like to
22 point out that this is the Agency's exhibit, not one
23 that's been offered by this witness, and it is not a
24 document that he testified to in his direct testimony.

1 HEARING OFFICER WEBB: It's not what?

2 MS. JOSHI: A document that he testified to
3 or brought into evidence during his direct testimony.

4 MR. NEIBERGALL: The Agency filed a
5 recommendation I believe in 2021 that contained all of
6 these exhibits when he still worked for SIPC. He
7 testified about the historical receipt of waste at the
8 facility. I believe he's the only witness right now that
9 can testify to this.

10 HEARING OFFICER WEBB: That's fine. Go
11 ahead.

12 Q. (By Mr. Neibergall) So the question again,
13 Mr. Gallenbach, is --

14 MS. JOSHI: Just again, I'd just reiterate
15 that the Agency could have called further witnesses to
16 bring documents into the record should they have chosen
17 to, and again, you know, I do object to this area of
18 questioning as going beyond the scope of the direct
19 examination.

20 HEARING OFFICER WEBB: Well, I guess we can
21 do it that way if you would like. I mean, we could --
22 but then that would require the witness to be available
23 when the Agency makes their case. It might be --

24 MS. JOSHI: Well, the Agency was supposed to

1 provide its list of witnesses two weeks ago, so --

2 MR. NEIBERGALL: I mean, they filed a
3 witness list that Mr. Gallenbach was on, so I'm prepared
4 to question him in cross examination for something he
5 knows and in fact testifies he knows about, and he's gone
6 through every one of these files --

7 MS. JOSHI: Well, I --

8 MR. NEIBERGALL: -- and knows the history.

9 MS. JOSHI: Sure. Well, I suppose that I
10 would ask the Agency to provide foundational questions to
11 ensure that Mr. Gallenbach is in fact knowledgeable about
12 what they're asking about.

13 HEARING OFFICER WEBB: I'm fine with that.

14 MR. NEIBERGALL: Sure.

15 Q. (By Mr. Neibergall) So I'm asking about the
16 history of construction, Mr. Gallenbach, for pond 3,
17 and --

18 A. What -- Are you calling this pond 3?

19 Q. This document, Exhibit O as in ocean.

20 A. You're saying the whole tab?

21 Q. I'm saying the first page for sure, and I'm
22 pretty sure the 9th page I was talking about.

23 HEARING OFFICER WEBB: If you'd like to
24 approach to help him find the page.

1 MR. NEIBERGALL: Sure.

2 Q. (By Mr. Neibergall) Land cut and fill.

3 A. Right, but as I'm reading it, it's talking
4 about building a pond to sell slag. There are commercial
5 uses for slag for -- such as landfill, substitute in
6 blacktop. This looks like it's our ponds 1 and 2.

7 Q. Okay. That particular page?

8 A. That -- It's not labeled what pond it is.

9 Q. That's right. I didn't make exhibits and I
10 agree. It's not. All right. I'll rephrase and I'll
11 clarify. Your knowledge of pond 3 is that historically
12 it didn't exist on its own.

13 A. So on pond 3, it what?

14 Q. Did pond 3 exist on its own or was it made
15 by people?

16 A. It was made by people.

17 Q. Thank you.

18 A. Okay.

19 Q. We've already established that you don't
20 know anything about the pond investigation report that
21 was authored at the time you still worked for SIPC; is
22 that correct?

23 A. Correct.

24 Q. So you don't have any knowledge of the

1 amounts of CCR material that were found in that
2 investigation; is that correct?

3 A. I do not.

4 Q. Okay. But you do know that in 2003 there
5 were cleanouts done.

6 A. Correct.

7 Q. And that 3 and 3A had 20 to 50 truckloads of
8 material removed.

9 A. Correct.

10 Q. Thank you. Let's talk about 3A. Are you
11 aware of any permit for the construction of pond 3A?

12 A. I am not.

13 Q. Did pond 3A exist on its own or was it made
14 by people?

15 A. It would have been made by people.

16 Q. It was designed to hold CCR and liquid?

17 A. No.

18 Q. Okay. Pond 3 received some overflow from
19 the initial fly ash holding area?

20 A. Correct.

21 Q. And received overflow from the fly ash
22 holding area extension?

23 A. Correct.

24 Q. Later served as a secondary finishing pond;

1 is that correct?

2 A. Yes, that's what I referred to it as.

3 Q. You said earlier in the direct testimony
4 that there was a berm to the west that was built?

5 A. Correct.

6 Q. That was to stop erosion or runoff from the
7 sludge storage area?

8 A. Correct.

9 Q. So presumably there was sludge running off
10 into pond 3 and 3A?

11 A. During heavy rain incidents.

12 Q. That earlier total for what was removed in
13 2003 out of pond 3 and 3A, that included both, right, 20
14 to 50 truckloads?

15 A. I'm sorry.

16 Q. The estimate of 20 to 50 truckloads in 2003
17 that was removed, it included both 3 and 3A.

18 A. It would have been each, actually.

19 Q. Okay. Let's go to pond 4. Can you flip to
20 Agency Exhibit QQ as in queen? And I'll give opposing
21 counsel time.

22 A. Q?

23 Q. Q as in queen.

24 A. I believe I'm here.

1 MS. JOSHI: Again, this isn't an SIPC
2 exhibit or an exhibit that was brought into the record by
3 this witness. I would ask that the Agency ensure that
4 there -- any foundational questions are addressed prior
5 to asking the witness about this exhibit.

6 HEARING OFFICER WEBB: Sounds good.

7 Q. (By Mr. Neibergall) Mr. Gallenbach, have
8 you ever seen this permit?

9 A. I'm sorry. Did you ask me a question?

10 Q. Yes, sir. Did you ever -- Have you ever
11 seen this permit document for QQ?

12 A. And it says QQ on -- it says QQ, not -- does
13 it say QQ on the back of that page you're holding?

14 Q. Yes, sir.

15 A. Okay. I read it.

16 Q. Have you ever seen it before today?

17 A. No, I have not.

18 Q. Did you review in preparation for your
19 testimony any of the Agency exhibits at all or --

20 A. I did not review this exhibit.

21 Q. Pond 4 was made around 1970? Does that
22 sound right?

23 A. I believe so.

24 Q. Was it made by people?

1 A. I believe so.

2 Q. Was it designed to hold CCR and liquid?

3 A. It doesn't appear so.

4 Q. I see down at the bottom of that page 1 on
5 QQ, it says, "settling pond of 18 million gallons to
6 provide a month's detention of yard drainage, coal yard
7 drainage, boiler blowdown and effluent from existing
8 slag-fly ash settling ponds," so --

9 A. Effluent. But it's decanted water. It was
10 all decanted water that went in there.

11 Q. What do you mean by decanted?

12 A. The effluent, it wasn't -- none of the
13 material you just described was actually sent to that
14 pond. It's -- the boiler blowdown or the effluent
15 overflow of what they're describing.

16 Q. If you can turn to page 7 of that document,
17 it's a typewritten document, starts "Coal Storage Area
18 Drainage."

19 A. How does it start?

20 Q. It's titled "Coal Storage Area Drainage,"
21 underlined. It would be near the back of that exhibit.

22 HEARING OFFICER WEBB: Would you like to
23 maybe help him find it?

24 MR. NEIBERGALL: I can, yeah.

1 A. I have it. I found it.

2 Q. (By Mr. Neibergall) Thank you, sir. Down
3 at the -- Are you guys ready? Number 3 on that page,
4 down to the bottom, it says "Slag Line." It says, "The
5 location of this pond will serve as a catch basin for any
6 slag washing downhill from the storage pile west of
7 settling pond 1 and 2. Also, the suspended solids in the
8 boiler blowdown water will settle in this pond." Is
9 slag -- Is that a different slag than CCR?

10 A. But again, they're describing the water from
11 ponds 1 and 2, is the way I read it. There was never a
12 line run from the plant to pond 4.

13 Q. Yeah, I wasn't asking about a line. I was
14 asking about the washing downhill. It says "slag washing
15 downhill."

16 A. It's describing a storage pile that I'm not
17 familiar with.

18 Q. If you want to go to I guess it was your
19 testimony about how much was removed from pond 4, about
20 50 truckloads?

21 A. Correct.

22 Q. And you said that that was taken to the coal
23 yard and burned?

24 A. Correct.

1 Q. But you said it was mixed with other coal,
2 didn't you?

3 A. Yes.

4 Q. Let's go to B-3, which is at Agency
5 Exhibit 48.

6 A. You say B as in boy?

7 Q. Well, it's at Exhibit 48, but the pond B-3.
8 Exhibit 48.

9 A. All right. I got it. All right. I'm on
10 Exhibit 48.

11 MR. NEIBERGALL: Counsel?

12 MS. JOSHI: Oh, yes.

13 Q. (By Mr. Neibergall) Page 3 of that document
14 is the permit. First page it's describing something.
15 It's dated January 21, 1986? Do you see that?

16 A. I'm reading the document.

17 Q. Let me know when you're ready.

18 MS. JOSHI: Again, I would note that this
19 document was not offered into evidence by this witness or
20 as part of his direct testimony and it's not an SIPC
21 exhibit, and so I would ask that counsel for IEPA make
22 sure any foundational issues are addressed when asking
23 the witness about this document.

24 HEARING OFFICER WEBB: Duly noted.

1 Q. (By Mr. Neibergall) Just let me know when
2 you're ready, sir.

3 A. All right. What was your question?

4 Q. I didn't ask it yet, but it's on that
5 page 3, that first page of the permit. It's the second
6 paragraph. And my question is, is it a man-made earthen
7 dam impoundment?

8 A. You said tab 48, correct?

9 Q. Tab 48, page 3, the first one that's
10 actually got some text on it, and I can come up there if
11 you'd like.

12 A. It's a -- So that's a handwritten document?

13 Q. Nope, it's a typed document. This is it.
14 Sorry. It would be my page 3, the front and back, 1, 2,
15 3, this document here, and I'm asking specifically about
16 this part right here.

17 A. Okay. What was your question?

18 Q. Is it a man-made structure?

19 A. It appears so.

20 Q. Is it designed to hold CCR and liquid?

21 A. It appears so.

22 Q. And you said that B-3 in 2003 had less than
23 50 truckloads of material removed?

24 A. Yes.

1 Q. Can you flip to Exhibit B as in boy, BB?

2 A. Exhibit B?

3 Q. Yes, sir.

4 A. Got it.

5 Q. Have you ever seen that document?

6 A. No, I have not.

7 Q. It's dated November 22nd, 2017. You were
8 still working for SIPC?

9 A. Yes.

10 Q. Were you aware of a cleaning that occurred
11 in 2017 for pond B-3?

12 A. Yes.

13 Q. So there was some material you cleaned out
14 in 2017?

15 A. Of B-3?

16 Q. Yes, sir.

17 A. Yeah, I don't see where it says this is
18 pond B-3.

19 Q. You're right. It doesn't say it on that
20 page, but if you look at the second paragraph, it says,
21 "Holding and settling of a 6.6-acre impoundment with
22 storage capacity of 72,600 cubic yards." Do you see
23 that?

24 A. Yes.

1 Q. If you flip back to Exhibit 48, it would be
2 page 5, which is the handwritten document, and I can come
3 up if you would like.

4 A. What page?

5 Q. Page 5. It's not numbered, but it's the
6 handwritten one following the standard conditions of the
7 permit.

8 MS. JOSHI: I'm sorry. What exhibit number
9 are we on?

10 MR. NEIBERGALL: Back to 48, Agency 48.

11 A. And then counting the front, 1, 2, 3 --

12 Q. (By Mr. Neibergall) The second page.

13 A. Okay. So on -- okay.

14 Q. In the middle of that page, Facility?

15 A. Yeah.

16 Q. It says 72,600-cubic-yard capacity.

17 A. Correct.

18 Q. So it'd probably be the same pond as the
19 other document?

20 A. It would appear so.

21 Q. What did you build the internal berm out of
22 inside of pond B-3?

23 A. B-3?

24 Q. Yes, sir.

1 A. Which one?

2 Q. If you can flip to Agency Exhibit 4.

3 A. Got it.

4 Q. Do you see that -- This is an SIPC

5 April 1998 --

6 A. Yes.

7 Q. -- image? Can you describe what you're
8 seeing for pond B-3 there?

9 A. Describe it?

10 Q. Sure.

11 A. I mean, it's a pond. The south side is
12 grass and exposed and then the northeast corner has a
13 berm in it.

14 Q. You're saying that south portion that looks
15 like a delta is grass?

16 MS. JOSHI: Objection. Counsel is
17 testifying by saying -- by describing what that area is.

18 HEARING OFFICER WEBB: You can ask what the
19 area is.

20 Q. (By Mr. Neibergall) Just confirming that
21 the southern area that you described as grass is grass.
22 Is that what you said?

23 A. I believe it was.

24 Q. If you can flip to the next exhibit, Agency

1 Exhibit 5, this is from March 2005.

2 A. Right.

3 Q. How would you describe that southern area
4 now?

5 A. So a berm was built across it and then the
6 water level was raised.

7 Q. So I guess I'm confused. In the previous
8 picture you said the southern area was a grass area, and
9 now the southern area looks to be another pond.

10 A. The water level is higher in Exhibit 5, and
11 so then it would overflow -- so it overflowed from
12 pond A-1 into that holding area and then into B-3.

13 Q. When you built the berm, was a new pond
14 constructed to the south, or is that still pond B-3?

15 A. It would have been pond B-3, but if your
16 question -- that berm was built out of clay. Is that
17 what your original question was?

18 Q. That was the original question.

19 A. Yes.

20 Q. Where did you get the clay? Sorry. Where
21 did you get the clay?

22 A. Most of the clay we got is -- when we built
23 the south fly ash pond, all of the material was lined up
24 on the west side of the coal pile, and so we had an

1 abundant source, so generally that's where we would have
2 got it, but my memory of exactly where we got it, I don't
3 believe --

4 Q. Okay. Thank you. Let's move on to the
5 south fly ash. It's at Agency Exhibit N as in Nora, NN.

6 A. You said N?

7 Q. N as in Nora, yes. I appreciate you going
8 through those binders. Thank you.

9 Counsel, you good?

10 MS. LODGE: Yes.

11 Q. First page, was this a combination of a
12 natural depression and man-made and diked area?

13 MS. JOSHI: Again, objection just to the
14 extent that counsel hasn't laid any foundation for this
15 witness' knowledge of this document.

16 HEARING OFFICER WEBB: Would you like to --

17 Q. (By Mr. Neibergall) Sure. Have you ever
18 seen this document, sir?

19 A. I don't believe so.

20 Q. So this is from May 17, 1989, issuance of
21 this permit. You started a couple years later; is that
22 correct?

23 A. What was the end of your question?

24 Q. Did you start two years -- roughly two years

1 after this permit was issued?

2 A. Correct.

3 Q. And you're saying that you never reviewed
4 this permit before today?

5 A. I had not.

6 Q. Okay. If you want to take a moment to read
7 it, or you can just tell me your own knowledge of the
8 south fly ash pond and whether it was constructed by
9 people.

10 A. It was constructed by people.

11 Q. Was it designed to hold CCR and liquid?

12 A. That's what the original intent was.

13 Q. You said on direct that in 2003, 10 to
14 20 truckloads were removed from the south fly ash pond?

15 A. Correct.

16 Q. If you could go to Agency Exhibit 18.

17 A. Got it.

18 Q. It's probably kind of hard to see, but --
19 Counsel, are you there?

20 MS. LODE: Uh-huh.

21 Q. This is summer 2021, an aerial photo. Can
22 you describe what you see at the south fly ash pond?

23 A. So during the mine development of Prairie
24 State -- we're part owner of Prairie State -- they gave

1 us I believe around 30,000 tons of mine development coal
2 which really wasn't similar to any of our products, so we
3 lowered the level of the fly ash pond, built a berm
4 across and then put the Prairie State development coal on
5 the north side, and then you can see that delta where I'd
6 said we'd cleaned.

7 Q. That delta you just described, I didn't hear
8 everything you said. Was that from the coal ash pile or
9 was that from something else?

10 A. The only material or line that can go to the
11 south fly ash pond is the pump in Emery Pond. There's
12 nothing connecting the south fly ash pond to anything
13 else in the plant.

14 Q. When was Emery Pond closed?

15 A. I don't remember the exact date. It was --

16 Q. Roughly.

17 A. It was right before I retired.

18 Q. And Emery Pond is the only acknowledged CCR
19 surface impoundment at SIPC currently; is that correct?

20 A. I can't answer for currently. I mean, I --

21 Q. Well, when you retired --

22 A. When I retired, yes, we --

23 Q. Right. And so Emery Pond, you know, closed
24 essentially as a CCR surface impoundment, had CCR in it,

1 right?

2 A. It had material in it, yes.

3 Q. And you said that the pipe from Emery Pond
4 to south fly ash is the only way water and material gets
5 to south fly ash.

6 A. Correct.

7 Q. Thank you. Earlier you were talking about
8 on direct the pumps related to Emery Pond and south fly
9 ash pond?

10 A. Correct.

11 Q. Did the pump type change from the time that
12 Emery Pond was a CCR surface impoundment to the time it's
13 a stormwater basin?

14 A. No.

15 MS. JOSHI: Objection --

16 A. As I described, we have wickets that are in
17 front, you know, so you kind of control the -- in front
18 of the pump in a rock dam, so that -- my memory is it's
19 exactly the same way. Nothing changed.

20 Q. Okay. Thank you.

21 THE REPORTER: Miss Joshi, what was your
22 objection? I didn't hear it.

23 MS. JOSHI: No, you can strike that. It's
24 fine.

1 MR. NEIBERGALL: Does anybody need a break?
2 I was going to move into the former fly ash holding
3 areas.

4 HEARING OFFICER WEBB: I think we can keep
5 going.

6 Q. (By Mr. Neibergall) Let's start with
7 initial fly ash, if you could turn to Agency Exhibit T as
8 in Tom, TT.

9 A. Can you --

10 HEARING OFFICER WEBB: T as in Tom.

11 THE WITNESS: T? Okay. Thank you. I
12 believe I'm on T.

13 Q. (By Mr. Neibergall) Have you ever seen this
14 document?

15 A. Yeah. That's drawing G-12.

16 Q. Say that one more time. I'm sorry. I
17 didn't hear you.

18 HEARING OFFICER WEBB: He didn't hear you.

19 A. Yes, I've seen this document.

20 Q. Okay. Was initial fly ash pond a man-made
21 or diked area?

22 A. This document only has the fly ash holding,
23 the proposed fly ash.

24 Q. So the fly ash holding would be the initial;

1 am I right?

2 A. Yes.

3 Q. So the -- was it a man-made structure?

4 A. Yes.

5 Q. Was it designed to hold CCR and liquid?

6 A. I believe so.

7 Q. And you I believe previously testified that
8 it did receive wet fly ash until 1977?

9 A. Yes.

10 Q. If you could flip to Agency Exhibit S as in
11 Sam.

12 A. Okay.

13 MR. NEIBERGALL: Counsel?

14 MS. JOSHI: Yes.

15 Q. (By Mr. Neibergall) I'm going to be asking
16 about the third page, which is the permit document. Have
17 you ever seen that document?

18 A. I don't recall, but that doesn't mean I
19 haven't.

20 Q. I was going to ask about special condition
21 number 2. So it's asking -- or I'm sorry. It's saying
22 in this permit, which is for the second fly ash pond, the
23 replacement, that the initial should be abandoned and
24 covered; is that correct?

1 A. You're on what you're calling what page?

2 Q. S as in Sam, the third page, which is the
3 permit document, special condition 2, signed by Thomas
4 McSwiggin.

5 A. Okay.

6 Q. And the question was, special condition 2
7 states that initial fly ash should be abandoned and
8 covered.

9 A. Correct, that's what it says.

10 Q. And --

11 MS. JOSHI: I think it says existing fly
12 ash, not initial fly ash.

13 MR. NEIBERGALL: Yeah, I was trying to
14 clarify that this is a permit for the replacement that's
15 referring to the initial, but I'm trying to use the right
16 terminology here so everybody can understand.

17 Q. (By Mr. Neibergall) So what's your
18 understanding of the abandonment and covering of that
19 area?

20 A. I believe it was done.

21 Q. Okay. It wasn't still being used in 2000?

22 A. No.

23 Q. Let's go to SIPC Exhibit 41.

24 A. Oh.

1 Q. Thanks.

2 A. Do you still need me to go to 41?

3 Q. Well, this is actually a different book, so
4 I brought you the page, so you're good. This is your own
5 exhibit, 41.

6 MS. JOSHI: And I again would just like to,
7 I mean, just at the forefront mention that this is beyond
8 the scope of direct. This is a declaration from another
9 witness who is testifying at the hearing today that
10 counsel has brought to Mr. Gallenbach as Exhibit 41.

11 HEARING OFFICER WEBB: What are you using
12 this to show?

13 MR. NEIBERGALL: Well, Mr. Gallenbach is, I
14 believe, VP of --

15 Q. (By Mr. Neibergall) What were you VP of,
16 sir, when you retired?

17 A. Of power production.

18 MR. NEIBERGALL: Yeah. So he would have
19 known or should have known how this pond is still being
20 used and has testified to it being abandoned and
21 dewatered, so I'm asking about whether that's true,
22 because this document seems to show that it's not.

23 HEARING OFFICER WEBB: Okay. Go ahead.

24 Q. (By Mr. Neibergall) So I'm looking at

1 item 2d as in dog.

2 A. Are you -- The document you just handed me,
3 is that what we're talking about?

4 Q. Yes, sir. It's the second declaration of
5 Jason McLaurin.

6 A. Right.

7 Q. And it's 2d as in dog, at the bottom of the
8 page.

9 A. Okay.

10 Q. You there?

11 A. Yes.

12 Q. Cool. It says, "Starting around 2000, a
13 cavity on top of the closed initial fly ash holding unit
14 was used as a holding pond for coal yard runoff. It was
15 also occasionally used during emergency conditions due to
16 sub-freezing temperatures to receive scrubber solids,
17 which were removed and placed dry onto the CCR landfill";
18 is that correct?

19 A. That's what it says.

20 Q. So the abandonment and cover of initial fly
21 ash pond in the '70s does not appear to have occurred
22 because you're still using it; is that correct?

23 A. That's not how I interpret this.

24 Q. How do you interpret it?

1 A. There is a holding facility on top of the
2 initial fly ash holding area.

3 Q. So if you call it a holding -- what did you
4 call it? A holding --

5 A. There is -- The CCR -- The landfill is on
6 top of that initial fly ash holding area, and then a
7 cavity was developed. This is in 2000. I'm not really
8 sure what that's referring to.

9 Q. Okay. Let's go to Agency Exhibit 3 in the
10 big book, No. 3.

11 A. Okay.

12 Q. This is an SIPC March 1993 aerial photo? Do
13 you -- Can you describe where you see the former fly ash
14 pond --

15 A. Yes.

16 Q. -- where the initial fly ash is?

17 A. Yes.

18 Q. What does it look like to you?

19 A. Well, it's underneath what was being
20 described there.

21 Q. Okay. So you don't see anything on this
22 picture?

23 A. I see that it's covered.

24 Q. Let's go to the next one, Exhibit 4. This

1 is in 1998. What do you see there?

2 A. The same thing.

3 Q. Still covered, no water?

4 A. During that time frame you can see those
5 cuts. That was used then, you know, as Jason described,
6 to pump material during freezing conditions and other
7 upsets. But I believe that's sitting on top of the
8 initial fly ash pond.

9 Q. Where does that water go?

10 A. That water would eventually -- because it's
11 made of calcium sulfite would eventually end up in
12 pond 6.

13 Q. I mean, there's no liner in the initial fly
14 ash pond, right?

15 A. It would have been clay-lined. I mean, it's
16 a --

17 Q. So --

18 A. It wouldn't have held water if it wasn't
19 lined.

20 Q. So the water does drain, though, eventually,
21 right?

22 A. Well, no, none of our ponds would drain.

23 Q. So no water escapes from the bottom of an
24 unlined surface impoundment?

1 A. I can't say no water, but, I mean, it's
2 southern Illinois. A clay-lined pond, you're talking
3 very minimal amount.

4 Q. Okay. Go to the next one, Agency 5,
5 March 2005.

6 A. Yes.

7 Q. Still water there?

8 A. It's mostly slurry. There's a little bit.

9 Q. Agency 6?

10 A. What?

11 Q. The next exhibit.

12 A. Okay.

13 Q. What do you see there?

14 A. It looks dry in that picture.

15 Q. 7?

16 MS. JOSHI: If counsel wouldn't mind
17 allowing us to stay caught up with the exhibits.

18 MR. NEIBERGALL: My apologies. I'll slow
19 down.

20 A. You want me to just comment on these? I'm
21 not sure what your question is.

22 Q. (By Mr. Neibergall) I basically am asking
23 you, you continued to use -- SIPC continued to use the
24 initial fly ash pond. It appears that they did.

1 MS. JOSHI: Objection. Counsel's
2 testifying.

3 A. No.

4 Q. So in 2000, in that exhibit we just looked
5 at for Mr. McLaurin, a cavity on top of the closed
6 initial fly ash holding unit was used --

7 HEARING OFFICER WEBB: Are you reading
8 something or are you --

9 MR. NEIBERGALL: I was going to ask him that
10 question.

11 HEARING OFFICER WEBB: Oh, okay.

12 MR. NEIBERGALL: I can move on. I think
13 we're good on this one.

14 Q. (By Mr. Neibergall) Let's do replacement
15 fly ash pond, so we'll go to -- back to SS, S as in Sam.

16 A. Okay. I'm there.

17 Q. Have you ever seen this before, other than
18 the time I showed you it 15 minutes ago?

19 A. I don't believe so.

20 Q. Based on your historical knowledge of the
21 replacement fly ash pond, was it man-made or diked?

22 A. The replacement?

23 Q. Yes, sir.

24 A. It was man-made.

1 Q. Was it designed to hold CCR and liquid?

2 A. I believe so.

3 Q. Did it treat, store and dispose of CCR?

4 MS. JOSHI: Objection to the --

5 A. Can you repeat the question?

6 HEARING OFFICER WEBB: I'm sorry?

7 MS. JOSHI: I'm sorry. Just the -- yeah.

8 Q. (By Mr. Neibergall) Did the replacement fly
9 ash pond treat, store or dispose of CCR during its use?

10 A. I mean, it stored it, so -- I mean, you're
11 asking three questions, but it was designed to store it.

12 Q. Okay. And it wasn't removed, right? It's
13 still there?

14 A. Which pond is this?

15 Q. The replacement fly ash holding area.

16 A. The replacement one?

17 Q. Yes, sir.

18 A. I don't know if it was actually covered, but
19 in my time frame it was underneath the landfill.

20 Q. Did it receive discharges of fly ash from
21 units 1 and 2 and 3 prior to construction of A-1?

22 A. Yes.

23 Q. It may have been -- also been designated to
24 receive sluiced fly ash from unit 4 during intermittent

1 emergencies?

2 A. I believe so.

3 Q. It was pretty full of CCR, because you
4 needed to build an extension in 1981; is that correct?

5 A. Could you repeat the question?

6 Q. Well, the fly ash extension was proposed to
7 accommodate the extra fly ash, correct?

8 A. After 4 was built, it was more of a water
9 issue than an ash issue, so I believe they built it for
10 water.

11 Q. If you could turn to Agency 34.

12 A. I'm there.

13 Q. So way in the back of this -- it's almost
14 the last page, is the last page of 34 -- it's a letter
15 dated July 30th, 1981.

16 A. I'm there.

17 MR. NEIBERGALL: Counsel?

18 MS. LODE: Yeah.

19 Q. (By Mr. Neibergall) It says, "We have
20 determined that an extension to our existing fly ash pond
21 is necessary. The extension is required as the present
22 pond" -- which would be the replacement fly ash pond --
23 "has almost reached its limits as regards fly ash
24 storage." So would that be you needed it because you had

1 more fly ash?

2 A. I think they had a water issue, but you can
3 interpret that the way you want.

4 Q. Well, I mean, this letter -- who is Richard
5 Myott?

6 A. I'm sorry. What?

7 Q. Who is the person who signed this, Richard
8 Myott?

9 A. Yeah, he's retired.

10 Q. Well, if he's asking for more space for fly
11 ash, wouldn't he need more space for fly ash?

12 A. Yeah.

13 Q. In your direct testimony you stated that the
14 replacement fly ash holding area was dewatered and
15 closed?

16 A. I believe so.

17 Q. How was it dewatered?

18 A. I believe that pond drained down into
19 pond 3/3A, or either -- yes.

20 Q. So -- wait. I'm -- It drained naturally or
21 you, like, drained it on purpose?

22 A. Well, it would have had a drain and then it
23 would have been drained into -- the water would have been
24 drained out.

1 Q. So you didn't do anything additional to
2 dewater it. It just was the natural construction of it.

3 A. That's how the ponds are designed.

4 Q. When would that have occurred?

5 A. Whenever they closed and covered it.

6 Q. If you could go to A4, Exhibit 4 of the
7 Agency.

8 A. Could you repeat that?

9 Q. No. 4. Flip to Exhibit 4, please. Have you
10 ever seen that? I guess you have seen that. I showed it
11 to you, right? Could you describe what you see in the
12 area of the replacement fly ash pond?

13 A. I see the landfill.

14 Q. Okay. Do you see the strips of water?

15 A. Yes.

16 Q. Is that on top of where the replacement fly
17 ash pond was?

18 A. It's on top of the landfill.

19 Q. Does the water go through the landfill?

20 A. It would permeate towards pond 6.

21 Q. Would it also permeate down?

22 A. Until it hit, you know, the clay or the
23 cover.

24 Q. So the clay at the bottom of the replacement

1 fly ash pond.

2 A. It'd be on top of the replacement fly ash
3 pond.

4 Q. You put a layer -- a cover of clay on top of
5 the replacement fly ash pond?

6 A. It said they --

7 MS. JOSHI: Objection. Foundation.

8 A. It said they covered it.

9 MR. NEIBERGALL: Well, I'm asking -- I mean,
10 he just said that the water wouldn't permeate down into
11 the replacement fly ash pond, but we're --

12 HEARING OFFICER WEBB: Foundation for --

13 MS. JOSHI: For the question that was asked.
14 Also I'm going to object as this being outside of the
15 scope of this witness' direct testimony.

16 MR. NEIBERGALL: Well, he's directly
17 testified that it was dewatered and closed, so I'm asking
18 about a subsequent date in 1998 when it appears there's
19 water right on top of it.

20 HEARING OFFICER WEBB: Yeah, I think he did
21 testify quite a bit about the site. I'll let you answer.

22 A. Those strips were only a couple feet deep
23 and they weren't there very long, but that water would --
24 eventually ended up in pond 6.

1 Q. (By Mr. Neibergall) Are you familiar with
2 the federal CCR rule?

3 A. I'm sorry. I don't -- I couldn't understand
4 you.

5 Q. Are you familiar with Part 257 of the
6 federal coal combustion residual rule at all?

7 A. No, I'm not.

8 Q. It came out in 2015, so you would have had
9 about seven years?

10 A. Yeah, I believe I heard about it.

11 Q. So you've heard about it? Are you familiar
12 with the definitions in that federal CCR rule?

13 A. Not off the top of my head.

14 Q. Have you ever looked at the federal CCR
15 rule?

16 A. Not in the last five or ten years, so --

17 Q. All right. I'm going to move on to the fly
18 ash holding area extension, if you could flip to Agency
19 Exhibit 34.

20 A. All right. I'm here.

21 MR. NEIBERGALL: Counsel?

22 MS. JOSHI: Yeah.

23 Q. (By Mr. Neibergall) Have you ever seen this
24 document?

1 A. I don't believe so.

2 Q. Based on your historical knowledge of the
3 fly ash extension, was it man-made or diked?

4 A. Yes.

5 Q. Was it designed to hold CCR and liquid?

6 A. Yes, it was.

7 Q. Did it treat and store and dispose of CCR?

8 A. It was designed to store.

9 Q. Any idea how much fly ash it received?

10 A. No.

11 Q. You also said on direct that this one was
12 dewatered and closed? You said partially covered,
13 actually.

14 A. Yes.

15 Q. Dewatering, can you describe how that
16 happened?

17 A. Again, the end of the pond had a drain, and
18 so it would have been drained.

19 Q. So you didn't do anything additional to
20 dewater it.

21 A. No, sir.

22 Q. Are you familiar with how Emery Pond was
23 unwatered and dewatered?

24 A. It had a pump in it.

1 Q. Correct, but it also had a period of time
2 over weeks where material was laid out and allowed to
3 drain to dewater it. Are you familiar with that?

4 A. No.

5 Q. So you said Emery Pond closed when?

6 A. I don't remember the exact date.

7 Q. Ballpark?

8 A. Around twenty -- I really don't know.

9 Q. Okay. Let's see. If you would flip to
10 Agency Exhibit I as in Ida.

11 A. All right. I'm here.

12 Q. The date on page 2 that Mr. Watson signed it
13 looks like October of 2021?

14 A. Yes.

15 Q. You were still working for SIPC?

16 A. Yes.

17 Q. Have you ever seen this document, the
18 operating permit, or this permit document for Emery Pond?

19 A. No, I have not.

20 Q. If you could go to -- it's appendix B as in
21 boy, the closure plan.

22 A. About how far back is that?

23 Q. It's 25 pages back. And then you're going
24 to go to page 6 of that closure plan.

1 A. I found appendix A. I'm not seeing anything
2 labeled appendix B.

3 Q. Okay. I'm going to just go to appendix C as
4 in Charlie, and I'll come up there. Thanks.

5 MS. JOSHI: To clarify, we're looking at
6 appendix B or appendix C?

7 MR. NEIBERGALL: We're going to look at C as
8 in Charlie. You are correct. It's not easy.

9 Q. (By Mr. Neibergall) So I'm on appendix C,
10 page C-1, C as in Charlie 1.

11 A. Yes.

12 Q. Have you ever seen this before?

13 A. I don't believe so.

14 Q. The reason I'm asking is that I was asking
15 you earlier about whether you were familiar with how to
16 dewater and unwater a CCR surface impoundment or a pond
17 in general.

18 A. Right.

19 Q. This looks like a construction schedule
20 there? Is that what you see?

21 A. Yes.

22 Q. And it says unwater Emery Pond, week 1?

23 A. Yeah.

24 Q. And then it says on item 4, continue

1 unwatering/dewatering as necessary for the next eight
2 weeks, so nine weeks.

3 A. Correct.

4 Q. So did you do any similar unwatering or
5 dewatering for the fly ash extension?

6 A. For -- Did we do it for what?

7 Q. The fly ash extension pond that we're
8 currently talking about.

9 A. I mean, that was done before my time, so --

10 Q. Do you have any historical knowledge of
11 whether they did that?

12 A. No, I don't.

13 Q. If you could go to Agency No. 3.

14 A. All right.

15 Q. Could you describe what you see in the fly
16 ash extension pond on the 1993 aerial photo?

17 A. Yes. There's still some water in it.

18 Q. Okay. Next one, A4, same question.

19 A. Yes. There's still some water in it.

20 Q. A5? This is in 2005.

21 MS. JOSHI: A5, do you mean Agency

22 Exhibit 5?

23 MR. NEIBERGALL: Yes, I do.

24 MS. JOSHI: Okay.

1 A. I believe the water's gone in that.

2 Q. (By Mr. Neibergall) Okay. Last one, let's
3 talk about pond 6. If you could go to C as in Charlie,
4 Agency CC.

5 A. Okay.

6 MR. NEIBERGALL: Counsel?

7 MS. LODE: Just one moment. We're there.
8 Thank you.

9 Q. (By Mr. Neibergall) If you could go to the
10 6th page, it's got some handwriting on the side and it
11 has a large dark berm on it.

12 A. Yes.

13 Q. This is a 1981 permit document?

14 A. I -- Yeah, I see that written across the
15 top.

16 Q. Have you ever seen this before?

17 A. No, I have not.

18 Q. What is that dark line around the top?

19 A. It appears to be the berm to go around the
20 landfill.

21 Q. Okay. And then what's that in the middle,
22 the bar area?

23 A. I don't know. I'd have to describe it
24 somewhere else in this document.

1 Q. If you go to the -- it's actually that next
2 page -- it'd be the 7th page -- it's got a schematic that
3 shows stripping the topsoil?

4 A. The page after what I was on?

5 Q. Yes, sir.

6 A. A schematic?

7 Q. Well, I'm not a technical person, but it's
8 got a drawing that says "strip topsoil" and then it shows
9 borrow area right underneath that, and I think it's
10 saying they used that to build the berm.

11 A. And what's your question on it?

12 Q. I was asking whether that borrow area
13 material was excavated.

14 A. I don't know. This just shows a
15 cross-section. I'm not actually sure what it is.

16 Q. What does "strip topsoil" mean to you?

17 A. To strip topsoil?

18 Q. Yes, sir.

19 A. Well, you would remove the topsoil so you
20 could get to clay.

21 Q. You excavate it?

22 A. Yes.

23 Q. And then that berm is obviously a man-made
24 structure?

1 A. I'm sorry. You -- I can't hear you.

2 Q. The berm specifically on page 6 and also on
3 page 7 of that document is man-made?

4 A. Yes.

5 Q. If you could flip to Agency R as in Roger.

6 A. Okay. I'm here.

7 Q. You beat me that time. Have you ever seen
8 this before?

9 A. No.

10 Q. It's a 1982 permit document; is that
11 correct?

12 A. Correct.

13 Q. So on page 3, which is the one that's at the
14 front of the document, number 3, it says, "The
15 construction of a dike around the scrubber sludge/fly
16 ash/bottom ash storage area to contain runoff"; is that
17 accurate?

18 A. That is correct.

19 Q. You said that, on your direct testimony, in
20 2003, 20 to 30 percent of the volume of what you
21 considered to be pond 6 was removed?

22 A. Correct.

23 Q. What was done with that?

24 A. I didn't hear you.

1 Q. What was done with that material in 2003?

2 A. It was put on the landfill.

3 Q. So a question on pond 4. Based on your
4 knowledge of the practices there, is the coal pile runoff
5 always directed to pond 4?

6 A. No.

7 Q. Where does it go?

8 A. To pond 3A.

9 Q. How does it get there?

10 A. Gravity.

11 Q. So it's not pumped?

12 A. Yes. The south pond's the highest point in
13 the plant.

14 Q. Say that one more time.

15 A. The south fly ash pond is the highest point
16 in the plant, so gravity flows around the coal pile
17 through three other coal pile runoff areas, crosses the
18 road and then goes to 3A. It can be pumped there also.

19 MR. NEIBERGALL: Just one moment.

20 THE WITNESS: I'm sorry. I didn't
21 understand you.

22 MR. NEIBERGALL: Sorry. I just need a
23 moment to talk to my co-counsel.

24 THE WITNESS: Okay.

1 (Off the record.)

2 MR. NEIBERGALL: No further questions.

3 Thank you very much, sir.

4 HEARING OFFICER WEBB: Thank you.

5 MS. JOSHI: I do have a few follow-up
6 questions, but just a few, all right?

7 REDIRECT EXAMINATION

8 BY MS. JOSHI:

9 Q. So first of all, Mr. Gallenbach, counsel for
10 IEPA asked you some questions about fuel content.

11 A. Correct.

12 Q. Do you remember that?

13 A. Yes.

14 Q. Sitting here today, could you testify as to
15 all of the different types of fuel that was used at the
16 plant historically?

17 A. No.

18 Q. And sitting here today, could you speak to
19 the content of those various types of fuel that were used
20 at the facility?

21 A. No.

22 Q. You were also asked about some permit
23 documents, including Exhibit 00, for example. That's the
24 Agency's Exhibit 00. Just a question. Are permitted

1 uses for a pond necessarily reflective of their actual
2 use?

3 A. I mean, your -- if I understand your
4 question, you actually permit for everything you want to
5 do but not -- if you -- if we just want to put water in
6 it and you permit it for fly ash and water, you're still
7 allowed to put water in it. Does that answer your
8 question?

9 Q. Yes. I was just asking whether --

10 A. Yeah. Yes.

11 Q. -- just because a pond is permitted for a
12 particular function if it means that it was used for that
13 function necessarily.

14 A. Correct.

15 Q. I'm sorry. Can you expand on that?

16 A. Yes. Like, the south fly ash pond, we never
17 put anything in it but water, but yet it was permitted
18 for fly ash.

19 Q. And are permitted volumes that might be
20 located, like, within agency permits necessarily
21 reflective of the actual volumes that may exist in a
22 unit --

23 A. No.

24 Q. -- from its operations?

1 A. No.

2 Q. And can you just expand upon that? Why not?

3 A. Because you may or may not actually put
4 anything in it.

5 Q. Then what's the point of getting the permit?

6 A. Well, you can never afford not to have --
7 you can never run out of coal and you can never afford
8 not to have a place, you know, for your water to go or
9 your -- so you always have something built ahead of time
10 in case you need it.

11 Q. And you mentioned the south fly ash pond a
12 moment ago, and you were also asked about the south fly
13 ash pond in cross examination. Again, what was the
14 original purpose of the south fly ash pond being built?

15 A. It was originally permitted to be a fly ash
16 pond.

17 Q. Was the south fly ash pond used for that
18 permitted purpose?

19 A. No.

20 Q. And I think we covered this on direct, but
21 just as a follow-up to the cross examination, why wasn't
22 it used for that original purpose?

23 A. We never outgrew pond A-1 and B-3, and then,
24 you know, once we built the CFB, we didn't need any

1 storage area.

2 Q. And you were also asked about Emery Pond.
3 Before Emery Pond was closed, did it also receive coal
4 pile runoff?

5 A. Yes, it did.

6 Q. And then just for clarity, on your direct --
7 in your direct testimony you testified that by the time
8 you arrived at the plant in the early '90s that the
9 initial fly ash pond area was covered by landfill; is
10 that right?

11 A. The initial fly ash pond?

12 Q. Yes.

13 A. Correct.

14 Q. The one on the easternmost side?

15 A. East side?

16 Q. Yes.

17 A. Correct.

18 Q. So for clarity, by the early 2000s, had the
19 landfill expanded over the top of what you describe as
20 the dewatered and closed initial fly ash holding area?

21 A. Yes.

22 Q. So do you recall the questions you received
23 on cross regarding that horseshoe shape on top of -- sort
24 of that area of --

1 A. Yes, yes.

2 Q. To your knowledge, would that horseshoe
3 shape not only be located above the initial fly ash
4 holding area but also on top of the landfill that was
5 disposed of on top of the initial fly ash holding area?

6 A. Correct.

7 Q. And what makes you say correct to that?

8 A. Because you -- when you drive out on it and
9 drive on it, I mean, you can tell -- and especially it's
10 empty now -- it's 100 percent scrubber sludge.

11 Q. Have you driven out onto the landfill?

12 A. I used to all the time, but I'm not driving
13 my personal vehicle out there.

14 Q. So you were also asked a little further
15 about the westernmost of those fly ash holding area ponds
16 or former ponds, the fly ash holding extension pond. Do
17 you remember that?

18 A. Yes.

19 Q. Okay. And what is your recollection for the
20 purpose for which that westernmost area or pond was
21 built? If there's something you'd like to refer to to
22 refresh your recollection, feel free.

23 A. We're talking about the extension?

24 Q. Yes. Actually, maybe why don't I refer you

1 to --

2 A. The fly ash --

3 Q. -- the unit you talked about and had
4 information about on page 21 of your Powerpoint.

5 A. Yes.

6 Q. And on the Powerpoint, do you -- on page 21,
7 do you see the box highlighted in yellow showing a fly
8 ash holding extension?

9 A. Yes.

10 Q. Okay. That's the area that I'm referring
11 to. So again, what was its -- why -- what was its
12 intended purpose for being built?

13 A. I believe, you know, after they built
14 unit 4, they just had a lot more water, you know, and
15 they anticipated -- again, they went from a very small
16 plant and tripled in size, so they needed places for
17 their water to go.

18 Q. And again, to your knowledge, do you know
19 whether fly ash and water were actually switched over to
20 that area during its operation?

21 A. I don't believe so.

22 Q. And why do you not believe so?

23 A. We just don't have any real records ever
24 showing that we did that.

1 Q. And would you expect to have some records
2 showing that you did that if you did in fact do that?

3 A. I believe we would.

4 Q. Okay. And given your time at the facility
5 starting in the early '90s, would you expect to have
6 known about that happening if it actually occurred?

7 A. Yes.

8 Q. All right. I believe you were also asked
9 about the strips on top of the landfill area, the long,
10 narrow water strips. Just to clarify, did you provide a
11 declaration in this matter related to those areas or was
12 that covered by Mr. McLaurin?

13 A. I don't believe mine said anything about
14 them.

15 MS. JOSHI: That's it. Thank you.

16 HEARING OFFICER WEBB: Okay. Thank you.
17 Anything further?

18 MR. NEIBERGALL: No recross. Thank you.

19 HEARING OFFICER WEBB: Okay. Does the Board
20 have any questions?

21 MS. BROWN: Just one.

22 EXAMINATION

23 BY MS. BROWN:

24 Q. It was stated that pond 3/3A stopped

1 receiving decanted water when the initial fly ash holding
2 area closed, but it was also stated that it received
3 decanted water from both the initial and replacement fly
4 ash holding areas. Did the replacement area stop sending
5 decanted water to ponds 3/3A once the initial area was
6 closed?

7 A. So I understand your question, the water
8 coming off of the initial fly ash holding area when it
9 overflowed, did it stop once it was closed?

10 Q. For the replacement areas at that --

11 A. Yes, right. The water no longer flowed,
12 yeah, into pond 3A or 3 after --

13 Q. So nothing else from the replacement area as
14 well.

15 A. Correct, once the landfill covered it.

16 MS. BROWN: Thank you.

17 HEARING OFFICER WEBB: Thank you. You're
18 done. Let's go off the record for a minute.

19 (Discussion held off the record.)


20 HEARING OFFICER WEBB: Okay. We'll -- We're
21 going back on the record. We have decided it is 4:40 and
22 we need to be out by 5, so we are going to recess for the
23 evening until 9 a.m. tomorrow morning. Thank you.

24 (Hearing recessed at 4:40 p.m.)

1 STATE OF ILLINOIS)
) SS
2 COUNTY OF BOND)
3

4 I, KAREN WAUGH, a Certified Shorthand Reporter
5 in and for the State of Illinois, DO HEREBY CERTIFY that
6 I was present at the Market Street Hall, Marion,
7 Illinois, on June 10, 2025, and did record the aforesaid
8 proceedings; that same was taken down in shorthand by me
9 and afterwards transcribed, and that the above and
10 foregoing is a true and correct transcript of said
11 proceedings.

12 IN WITNESS WHEREOF I have hereunto set my hand
13 this 27th day of June, 2025.

14
15 

16 /s/Karen E. Waugh, CSR, RPR, CRR, RMR
17 Illinois CSR #084--003688
18
19
20
21
22
23
24

[003688 - 1962]

Page 1

0	173:6 177:4	107 4:7	14 67:24 146:1
003688 220:17	178:7,11	10b 76:15	15 31:4 70:17
084 220:17	180:14 182:11	10c 76:15	146:21 155:9
084-003688	184:12 198:21	10d 76:15	197:18
1:22	198:21 206:10	10th 5:11	1500 162:2
09 155:8	206:10,22	11 3:5 31:21	158 3:20
1	214:23	62:15,23	16 3:6 32:2
1 1:10 4:4	1's 127:17	137:19 139:11	71:2,10,19
31:12 37:9	1-2-3 125:11	1107 170:12	148:2
43:21 44:15	1-21-1986 4:13	11:50 78:5,10	164 4:5
50:9 51:17,24	10 1:9,11 3:4	12 63:2,9 71:1	167 4:16
52:23 59:4,9	5:2,11 61:11	71:15 72:12,15	17 3:6 72:7
59:17,18,22	77:18 135:3	77:18 143:5	109:6 185:20
60:7 61:15	144:4,7,20,23	189:15	175 4:16
78:5 101:7,9	148:1 166:9,12	12-20 31:15	179 4:13
110:5,11,18	186:13 220:7	123 49:19,20	18 4:12 73:10
111:1,4,10,15	10-27-2021	50:1,2,3,8,9,15	74:8 177:5
112:6,21 113:1	4:15	50:18,21 51:16	186:16
113:6 114:14	10-6-1969 4:16	51:23 101:2,3	1800 162:2
114:16,19,21	100 47:6 67:12	101:10,15	181 4:14
114:22 115:12	94:19 96:7,12	121:23 125:1,9	183 4:10
116:3,6,7,9,13	96:14 112:10	125:10,11,15	185 4:15
120:8,15	112:11 123:2	125:15,18,20	186 4:12
123:12 124:17	150:12 161:6	125:24 126:4,4	189 4:18
124:18 125:2,5	216:10	126:11,21	19 3:7 50:4
127:13,21,24	101 3:18	161:24	190 4:17
128:3 135:5	101.600 5:17	123's 126:8	1900 8:21
136:19,20	101.632 5:18	12:50 78:5	191 4:6 31:11
137:8,24 138:3	102 3:18	12:51 78:10	1936 8:17,21
138:13,15,16	1021 2:18,21	13 3:5 28:15	194 4:10 31:11
138:20,21	104 3:20	64:7 90:11,18	196 4:11,11,12
150:18 151:21	104.422 5:18	92:7 143:14	1960s 47:18
151:24 168:11	106 4:4	139 4:5	1962 110:9
			111:3

[1963 - 22]

Page 2

1963 50:4	1998 4:10	160:19 161:5	2017 139:1,4
1969 168:10	183:5 195:1	166:12,20,24	181:7,11,14
1970 176:21	202:18	174:7 175:13	2018 43:2
1975 111:3,11	1st 165:9	175:16 186:14	79:23 80:3
111:14	2	210:20	96:17 101:11
1977 28:8,10	2 4:4 31:11	2000 50:6,10	102:3,4 103:6
111:14 150:22	50:9 51:17,24	191:21 193:12	2019 66:5
190:8	52:23 59:4,9	194:7 197:4	2020 52:3
1978 90:4	59:17,18,22	2000s 50:10	59:12 67:13
92:21 111:18	60:7 82:5	51:17 215:18	91:11 117:4
112:3,5,15,19	96:11 101:7,9	2003 108:7	121:17 165:13
113:7 117:4,11	106:23 110:5	110:9 114:12	2021 4:12 12:2
117:19,19	110:11,18	114:14 120:1	67:13 91:11
118:1,20 119:3	111:1,4,10,15	120:17 125:17	164:16 165:10
122:10 164:10	112:6,21 113:1	143:6,10,16	165:13,16
1981 199:4,15	113:6 114:14	146:3,6,19,23	171:5 186:21
208:13	114:16 116:3,6	148:3,18	205:13
1981en2776-2	116:7,9,13	165:23 166:5	2022 105:13
4:14	123:12 124:17	174:4 175:13	139:22 159:20
1982 152:14	124:18 125:2,5	175:16 180:22	164:16,24
210:10	135:5 136:19	186:13 210:20	167:5
1985 112:6,15	136:20 137:8	211:1	2025 1:9,11 5:2
113:7 114:12	150:18 151:21	2005 4:11,11	32:1 220:7,13
114:14 117:12	163:18 173:6	184:1 196:5	2030 27:9
118:2,20 119:4	178:7,11	207:20	205 4:15 93:16
119:24	180:14 182:11	2006 4:12 14:5	208 4:14
1986 179:15	190:21 191:3,6	2009 120:17	21 3:7 152:10
1989 185:20	198:21 205:12	121:16,19	179:15 217:4,6
199 4:13	20 10:19	122:11,13,22	21-6 1:5 5:4
1991 159:20	109:10 110:23	123:14 124:3	210 4:17
167:5	144:4,7,20,23	2015 65:7	212 3:21
1993 4:10	148:15 149:3	80:13 154:14	218 3:21
194:12 207:16	151:11,12	203:8	22 154:15

22.59 39:8 40:12 81:8 220 1:10 226 31:23 228 31:24 22nd 181:7 23 3:8 233 2:9,12 24 31:15 25 160:18 205:23 257 56:11 57:19 58:20 80:7 203:5 26 3:8 27 3:9 27th 220:13 29 3:9 4:5 90:9 90:11 93:16,21 99:11,15 164:20 2d 193:1,7	110:3,5,11,18 111:1,4,11,15 112:6,21 113:1 113:6 114:14 114:16 116:3,6 124:17,18 125:2,5 127:6 132:2 137:21 137:22,23 138:4,6,13,18 138:20 139:1,3 139:13 140:1 146:21,22 147:1,6,10 150:18 151:21 166:18,24 167:17 168:19 168:22 172:16 172:18 173:11 173:13,14 174:7,18 175:10,13,17 178:3 179:4,7 179:13 180:5,9 180:14,15,22 181:11,15,18 182:11,22,23 183:8 184:12 184:14,15 194:9,10 198:21 207:13 210:13,14 214:23 219:12	3's 71:21 3,000 161:22 3.2 31:15 3.3 31:16 3/3a 53:17 56:14,15,20 57:4,8,18 58:3 58:5 70:15,21 71:5,24 85:9 127:6 130:17 131:2,15 132:6 132:17,20 133:2 148:17 149:4 200:19 218:24 219:5 30 43:9 110:23 148:15 166:20 168:1 210:20 30,000 187:1 300 112:12 30s 8:15 30th 6:11 199:15 31 3:10 310 1:12 32 3:12 34 4:13 199:11 199:14 203:19 3426 220:15 35 1:5 5:6 163:17 37 31:15 38 3:13	3a 33:1 57:12 166:24 174:7 174:10,11,13 175:10,13,17 211:8,18 219:12
			4
			4 4:10 32:24 35:3,8 52:3,5,6 52:9 53:5,18 58:24,24 59:8 59:12,13,18,20 59:22 60:1,15 60:19,22 61:4 61:7 62:7 64:13 72:6,15 72:22 73:1,3 76:15,20 77:8 77:12 90:3 92:8,21 98:12 98:13 100:4,5 100:19 102:1 102:19 112:3 112:11,19,20 112:22 113:2,3 114:18 116:22 116:23 117:1,3 117:5,11,13,18 117:22 118:8 118:20 120:2,9 120:16 121:15 121:20,21 122:3,11,21,22

123:3,6 124:14 124:16 125:1,2 125:4 126:11 126:12 127:6 133:23 135:3,4 135:6,7,9,11,15 135:18 136:5 136:19,21 137:6,9,14,17 146:2,3,5,12,19 147:3 152:22 161:22,23 164:10 166:15 175:19 176:21 178:12,19 183:2 194:24 198:24 199:8 201:6,9,9 206:24 211:3,5 217:14 40 159:19 41 4:6 191:23 192:2,5,10 42 3:16 43 4:4 44 4:6 476 4:6,7 48 4:6,13 44:14 179:5,7,8,10 180:8,9 182:1 182:10,10 49 4:7 107:13 4:40 219:21,24	4a 124:14 4c 124:14 5 5 4:11 53:13,20 62:21 109:2 125:8 182:2,5 184:1,10 196:4 207:22 219:22 5,000 28:10 5-11-21 31:11 5-17-1989 4:15 50 146:20 147:11 149:3 166:16,18,24 174:7 175:14 175:16 178:20 180:23 51 9:4,11 53,000 168:15 55 28:11 6 6 3:3 4:11 33:1 33:1 37:7 53:17,23 57:24 57:24 58:4,9 58:13,13,16 59:6 60:19,22 61:2 73:12,13 73:20,23 74:4 127:3,6 132:23 133:2,4,7,15,19 134:1,4,16,19 135:11,18	136:4 141:1 142:22 148:2,3 148:6,13 166:20 168:10 195:12 196:9 201:20 202:24 205:24 208:3 210:2,21 6-1-1970 4:16 6.6 181:21 60606 2:10,12 60s 96:20 62794-9276 2:18,22 6710 26:13 69 9:3 6th 208:10 7 7 4:12 32:2 56:14 82:5 127:10 177:16 196:15 210:3 7-12-1971 4:18 70 110:22 70s 96:20 193:21 7100 2:9,12 72,600 181:22 182:16 77 47:7 78 3:17 108:6 122:13 154:14	7th 209:2 8 8 3:4 57:23 130:18 132:8 8-27-1982 4:17 80 110:22 80s 96:20 811 68:18 69:3 103:10,15 815 36:13 65:11,13,14,16 66:1,20 845 1:6 5:7 16:14,23 17:12 33:17 35:24 39:8 40:13 65:9,18 68:9 69:17,22 74:15 74:16 76:18,21 81:15 97:4,15 98:3 845.120 163:18 85 108:6,7 151:24 9 9 58:24 132:23 169:14 170:2 219:23 9-14-1977 4:17 9-9-1981 4:13 90s 151:3 215:8 218:5
--	--	--	---

91 105:9 151:4	accompany 44:10,20	actions 9:12	address 37:4,10
97 26:13	107:10,19	actively 17:13	37:17 38:2,7
99 3:17	accordance 18:14 66:14,17	activity 28:24	65:20 67:23
9:59 1:12 5:2	68:18 69:3,8	actual 84:8	76:14 141:1
9b 65:22	70:10 74:16	141:10 144:13	addressed 38:5
9th 170:5	98:9	213:1,21	70:16 176:4
172:22	accountability 12:10	actually 8:15	179:22
a	accountable 25:8,10	46:15 80:22	addressing 124:14 126:10
a.m. 1:12 5:2	accrued 27:12	112:21 113:20	adjacent 13:22
5:11 78:10	accumulated 86:24	127:20 138:7	36:19 40:3
219:23	accumulation 82:21 87:7,16	160:20 175:18	adjusted 1:5,5
a4 201:6	87:19	177:13 180:10	5:6 11:23
207:18	accurate 96:17	192:3 198:18	17:14,15 28:21
a5 207:20,21	166:10 168:12	204:13 209:1	32:20 33:10
abandoned	210:17	209:15 213:4	35:6,20,23
28:8,10,13	acknowledge 94:18	214:3 216:24	36:22,24 39:6
160:21 190:23	acknowledged 40:6 187:18	217:19 218:6	39:9,23 40:19
191:7 192:20	acre 181:21	adams 3:9	68:13 69:15,15
abandonment	acres 28:10,12	29:18,20,20	69:20 70:1,7
191:18 193:20	acronym 161:13	add 6:16 16:12	70:13,17 71:1
ability 135:8	act 5:16 8:18	27:14 49:11	71:3,4,16
able 11:12	30:3,18 39:8	added 108:7	72:12 73:12,17
143:21 168:2	40:13 81:9	adding 112:10	73:22 74:11,19
abomination	action 69:17	126:15	75:8 76:16,23
24:3		addition 126:20	97:7,20
above 20:8		additional 38:5	adjustments 33:11 70:20
216:3 220:9		38:8 49:22	71:12 72:7
abrasive		72:22 109:4	74:2
129:19		124:13 153:7	admin 1:5
abundant		201:1 204:19	administrative 5:6 37:5
185:1		additionally 31:21	163:18
accommodate			
199:7			

[admit - answered]

Page 6

admit 84:2	201:7 203:18	allowed 6:9	142:10 143:23
adopt 68:12	205:10 207:13	8:18 12:7	144:1,11,14,14
advance 37:9	207:21 208:4	24:19 27:6	144:15,18
38:1	210:5 213:20	205:2 213:7	146:18 147:9
adverse 35:9	agency's 4:9	allowing 12:4	147:13 149:1
aerial 4:10,10	39:11,13,16	196:17	160:21 165:24
4:11,11,12,12	79:12 170:22	allows 15:15	196:3
186:21 194:12	212:24	alternative 1:6	amounting
207:16	ago 9:4 23:12	5:7 32:20 35:6	34:1
affected 9:12	36:7 63:13	35:19 36:21	amounts 21:16
affecting 14:17	158:6 172:1	68:12 69:14	30:11 34:3
afford 28:19	197:18 214:12	71:8 76:17	60:6 132:21
214:6,7	agree 70:9 71:7	77:9 97:9	174:1
aforsaid 220:7	72:18 76:3	alternatives	analysis 49:8
afraid 11:7,10	173:10	72:19	94:12 99:21,21
afternoon	agrees 18:11	amanda 3:9	99:23
38:10 78:17	ahead 13:14	26:5 27:19,22	analyzed 31:21
158:18	16:4 19:12	amend 84:13	49:6
age 50:13	20:24 32:13	amended 31:14	analyzing
agency 2:16	70:10 82:4	70:1	95:18
3:13 15:14	95:4 170:15	ameren 19:21	andrew 3:6
18:11 25:5	171:11 192:23	aml 28:15	16:6 34:11
30:7 38:16,21	214:9	amorelli 3:8	andrews 4:5
39:19 40:16	air 9:8 12:3	23:7,9,9	annual 15:11
69:1 167:17	25:11 43:10	amount 17:2	65:16,17
170:5 171:4,15	64:14 160:17	21:12,21 33:6	102:19
171:23,24	allege 66:12	39:19 87:17	answer 87:20
172:10 175:20	alleged 39:13	118:16 125:6	93:14 98:18
176:3,19 179:4	allow 12:22	130:13,16	99:3 102:16
182:10 183:2	23:24 25:6	132:16,19	158:2 160:12
183:24 185:5	35:21 54:21	134:18,20	160:15 187:20
186:16 189:7	74:8 76:24	137:16,18	202:21 213:7
190:10 194:9	121:1	140:15 141:8	answered
196:4,9 199:11		141:10 142:1,6	83:10

answers 79:20	application	119:20 155:5	150:20,24
anticipate	4:15 37:2 71:1	166:15	151:10,16
30:15	71:2,14,15,17	approximation	152:3,6,12,16
anticipated	72:11,13 74:7	147:19	153:17 154:19
217:15	applications	april 4:10	154:22 155:12
anticipating	70:23 72:10	105:9 183:5	155:17 156:4
153:14	74:6	area 4:18 9:6	156:13 170:19
antimony	applied 18:8	9:23 10:17,18	171:17 174:19
18:17 31:17	27:5	10:20,20,22	174:22 175:7
anybody 32:11	applies 39:10	12:14 19:22	177:17,20
189:1	apply 16:23	20:13,14 35:16	183:17,19,21
anybody's	17:3 21:7	35:18 36:4,4	184:3,8,8,9,12
93:16	22:17 68:19	36:11,16,19	185:12 189:21
anymore 55:10	appreciable	46:13,15 62:17	191:19 194:2,6
anyway 9:10	49:9 60:6,8	62:19,23,24	198:15 200:14
10:5 70:9	appreciate 10:5	63:1,5,6,7,12	201:12 203:18
apart 129:20	10:24 11:1,15	63:16,17,22,23	208:22 209:9
apologies	19:19 25:9	64:15 65:5,10	209:12 210:16
196:18	37:8 39:2	66:3 67:3,4,20	215:1,9,20,24
apologize 85:16	185:7	68:17,17 69:2	216:4,5,15,20
118:3	appreciative	69:3 72:4	217:10,20
appear 177:3	38:1	73:11,13,21,24	218:9 219:2,4
182:20 193:21	approach	74:3,12 82:20	219:5,8,13
appearances	44:12 94:1	103:11,16	area's 11:7
2:1 5:21	106:22 107:12	111:8,17	35:21
appears 168:21	165:3 172:24	112:17 113:7	areas 8:19,22
180:19,21	appropriate	113:22 114:5,7	45:14,15 46:15
196:24 202:18	33:9 76:24	114:13 117:17	63:8,23 64:4
208:19	approval 16:18	118:14 119:6,9	73:15 154:4
appendix 93:24	approve 44:23	124:12 130:18	161:12,14
205:20 206:1,2	107:22	131:8,16,19,23	189:3 211:17
206:3,6,6,9	approximately	133:17 145:13	218:11 219:4
applicable 97:8	26:17,22 41:11	149:18,18,19	219:10
98:9	47:7,17 67:11	149:19 150:15	

arentfox 2:8 5:22,24	52:6,6,10,11,17 52:19,22,24	120:21 121:2,3 121:6,11,15,19	184:23 185:5 186:8,14,22
argued 21:11	53:3,18,22	121:21,23	187:3,8,11,12
arguments 21:18	54:5,6,7,11,19 54:20,22 55:13	123:4,6 124:2 124:20,22,23	188:4,5,9 189:2,7,20,22
ari 34:10	55:16,20,23	125:3,4,4,19,19	189:23,24
arrays 27:14	56:4,6,9,21	125:20 126:3,4	190:8,22 191:7
arrived 61:17 61:23 62:6 151:6 215:8	57:4 60:6,10 60:14 62:17 63:3,5,6,7,12	126:16,16,19 126:24 127:5,9 127:11,14,20	191:12,12 193:13,21 194:2,6,13,16
arrows 53:20	63:16,21 64:3	128:2,3,7,8,15	195:8,14
arsenic 12:19 15:8 18:18 21:24 24:8 31:13,17	64:18,20 68:11 68:14 70:15,21 71:6 72:1 73:15 81:12,13	128:22 129:3 129:16 130:5 130:11,14,22 131:1,6,8,16,19	196:24 197:6 197:15,21 198:9,15,20,24 199:6,7,9,20,22
ash 4:18 11:24 12:1,4,7,15,18 13:6 14:11 15:3,7 16:14 16:17,22 17:2 17:4,6,7 18:6,8 18:14,15,17 19:5 20:10,11 21:4,4,6,13,16 21:19,22 22:8 22:19,21 23:4 23:16,21,24 24:4,7,10,17 27:15 28:20,22 28:22 29:11,16 30:4,5,12,18 31:4 33:2 50:16,16,24 51:1,1,3,4,6,7	82:9,9 90:23 90:23,23 93:10 93:10 109:2,3 110:15,15,18 110:22,23,24 111:4,7,15,17 111:22,24 112:1,6,8,12,14 112:17 113:5,6 113:11,13,14 113:22 114:1,3 114:5,6,13,16 115:2,6,9,19,23 116:3,5,8,12,19 117:8,8,9,10,12 117:16,22 118:3,6,14,20 119:3,6,8,9,14 120:1,9,14,16	131:23 143:14 143:16,19 144:9 145:4,6 145:22 149:15 149:17,18,18 149:20,23 150:10,14,16 150:18,20,21 150:24 151:9 151:16,20 152:3,6,6,12,16 152:17,20,24 153:4,8,9,13,17 153:24 154:13 154:17,18 163:24,24 166:12 168:11 169:3 174:19 174:21 177:8	199:23 200:1 200:11,11,14 201:12,17 202:1,2,5,11 203:18 204:3,9 207:5,7,16 210:16,16 211:15 213:6 213:16,18 214:11,13,14 214:15,17 215:9,11,20 216:3,5,15,16 217:2,8,19 219:1,4,8 aside 27:6 40:14 asked 9:16 83:16 84:8,9

85:7 86:13 92:17 94:11 99:12,14 100:2 101:24 156:9 161:1 202:13 212:10,22 214:12 215:2 216:14 218:8 asking 21:5 23:23 28:21 29:23,24 45:5 85:24 86:5 87:6 93:8 95:10 162:11 164:7 170:7,9 170:16,18 172:12,15 176:5 178:13 178:14 179:22 180:15 190:15 190:21 192:21 196:22 198:11 200:10 202:9 202:17 206:14 206:14 209:12 213:9 asks 37:9 141:2 aspect 88:15 asphalt 52:20 assessed 21:21 assessment 34:22 35:7 71:8 72:19	assist 44:22 107:21 assistant 2:17 2:20 association 45:20 assume 80:19 80:20 87:9 assumes 6:11 assuming 94:14 assurance 40:12 attachment 93:19,23 94:1 102:15 attention 8:1 attorney 68:1,4 audience 40:24 august 4:12 author 94:20 94:21,24 authored 165:19 173:21 available 112:13 171:22 avenue 2:18,21 avoid 12:10 aware 10:18 37:18 63:11 88:3 135:14 142:15,18 159:3 164:18 174:11 181:10	b b 4:1,14 26:10 31:3 32:24 33:24 53:17 61:12,13,16,22 62:4,7,7 71:11 71:21,24 103:4 104:8 127:6 137:21,22,23 138:4,6,13,18 138:20 139:1,3 140:1 146:21 146:22 147:1,6 147:10 166:18 179:4,6,7 180:22 181:1,2 181:11,15,18 182:22,23 183:8 184:12 184:14,15 205:20 206:2,6 214:23 b&w 110:12 bachelor 42:9 bachelor's 104:22 back 7:23 8:13 8:15,16,21 40:17 41:17 59:18 60:18 76:5,10 78:11 78:12 81:1 85:13 91:10	96:20 100:16 102:23 116:20 131:6 134:13 143:6 144:8 148:10,11 158:13 165:13 165:21 166:22 167:2 168:23 169:16 176:13 177:21 180:14 182:1,10 197:15 199:13 205:22,23 219:21 background 42:8 51:16 104:21 131:9 backup 153:12 baghouse 111:24 balance 7:16 balancing 30:3 30:18 ballpark 205:7 bar 208:22 based 67:18 136:14 141:7 142:9,21 145:2 149:22 150:9 153:6 155:10 155:15 197:20 204:2 211:3 basic 28:8
--	---	---	---

basically 11:3,5 11:12 61:1 62:2 80:1 96:3 196:22	6:1,2,4 32:16 37:19 42:1 104:10	belletire 3:8 26:4,9,9,12	194:10
basin 54:4 55:3 56:2 88:9,18 159:5,8 178:5 188:13	believe 48:15 48:18 50:4,12 59:7 67:12 75:9,12 76:23 77:8,17 80:24 83:22 84:23 92:10 96:5 101:6 102:18 116:23 127:9 127:16 135:10 146:22 150:12 151:8,10 152:10 153:2,5 153:10 156:7 160:18 161:9 164:13 166:7 166:14 171:5,8 175:24 176:23 177:1 183:23 185:3,19 187:1 189:12 190:6,7 191:20 192:14 195:7 197:19 198:2 199:2,9 200:16,18 203:10 204:1 206:13 208:1 217:13,21,22 218:3,8,13	belt 64:15,24 beneficial 35:22 53:1 74:9,10,21 75:7 100:7 benefit 29:10 benefited 29:9 berm 57:14,15 132:5,10 133:12,14 137:12 139:8 175:4 182:21 183:13 184:5 184:13,16 187:3 208:11 208:19 209:10 209:23 210:2 berms 135:22 136:2 beryllium 18:18 31:18 best 81:24 100:22 101:11 101:14 127:23 143:24 158:5 better 77:2 78:21 99:2 beyond 27:9 88:22 171:18 192:7 big 126:13 140:2 147:23	bill 7:23 8:17 9:12,17 bills 7:11 9:19 9:19 bina 2:11 5:22 32:15 binder 165:6 binders 185:8 bins 8:11 bioaccumulat... 31:24 bit 8:13 49:14 50:1 64:8 77:6 78:22 128:17 136:7 167:4 196:8 202:21 bittner 34:11 35:3 black 140:23 blacktop 173:6 blend 161:1,9 blended 161:4 blowdown 177:7,14 178:8 board 1:1 2:3 5:9,12 6:10 11:22 13:1 19:4 21:2,5 23:3,23 25:17 27:4 28:21 29:14 33:8 37:8,9,15,18,21 38:6,8,23
beat 210:7 beautiful 18:21 beauty 12:14 becoming 105:23 bed 50:16 51:1 51:1,3,4 90:23 109:2 120:24 125:14,19 126:3,4,14,16 162:1 began 57:14 66:23 103:7 beginning 5:11 70:15 behalf 2:10,13 2:19,22 5:23	believed 67:15 144:17		

39:10 40:18 45:5 68:12 77:9,17 102:8 102:23 124:14 141:2 218:19 board's 5:16,18 17:10 37:6 38:2,4,12 65:21 76:15 124:15 126:10 boated 30:14 boating 40:8 body 48:8 boiler 50:6 51:7 56:7 57:9 58:17 60:16 61:5 82:10 83:5,10,18,24 84:10,11,24 85:10,23 86:6 86:17,19 110:22 120:24 124:23 125:14 137:2 146:17 164:1 177:7,14 178:8 boilers 50:5,6 50:13 111:2 113:17 160:6 bond 220:2 book 192:3 194:10 born 9:2	boron 15:8 18:18 21:24 31:18 borrow 209:9 209:12 bottom 51:7 52:6,17,19,22 60:6,10,14 82:9 90:23 93:10 96:10 109:3 110:15 110:22 113:13 116:3,5,8,12,18 117:7 123:4,6 124:22 134:22 136:1 163:24 168:14 177:4 178:4 193:7 195:23 201:24 210:16 bought 23:12 116:15 boundary 150:2,4 box 217:7 boy 179:6 181:1 205:21 break 41:4,13 77:19,20 78:1 158:10 189:1 brief 41:15 99:8 158:12 briefing 40:17	briefly 26:19 27:3 37:10 43:3,6 127:17 bring 90:10,13 90:15 93:18 159:13 163:15 167:9 171:16 british 88:4 159:3 brought 21:15 22:15 171:3 176:2 192:4,10 brown 2:4 3:18 3:21 5:10 6:10 102:10,12 103:1,2,18 218:21,23 219:16 btu 88:4,6,8 btus 159:3 build 8:19 23:13,18 26:2 50:13 153:7 169:11 170:8 182:21 199:4 209:10 building 127:10 152:16 173:4 built 8:15,22 24:18,20 112:23 113:2 120:19,19 123:20 133:12	133:14 134:8 134:10 152:1 152:22 153:14 175:4 184:5,13 184:16,22 187:3 199:8,9 214:9,14,24 216:21 217:12 217:13 bulk 96:1 bulldozer 65:3 burden 39:6,11 39:15,21 160:10 burn 160:18,23 161:6,9 162:22 163:2,6 burned 146:13 146:14,16 147:8 159:22 161:6,7 178:23 burning 24:5 82:11 124:24 burns 162:2 burnt 14:21 businesses 46:5 46:5 butcher 91:22 buy 9:1,5,7,10 26:1 141:20 buys 87:23 buzzi 123:1 byproduct 24:5
--	--	--	---

byproducts 76:3 122:12	capable 139:3 capacity 181:22 182:16	cc 4:14 208:4 ccbs 75:24 76:2 ccr 11:14 17:10	118:17 124:16 124:17,21 125:18 126:11 126:11,21 130:10,14 132:3,3,16,19 133:24 134:3 134:15,18 137:13,17 142:1,10,23 145:23 149:15 149:24 150:2 150:11 154:6,7 154:11 155:17 160:10 163:12 163:13,19,24 164:5,8 168:19 174:1,16 177:2 178:9 180:20 186:11 187:18 187:24,24 188:12 190:5 193:17 194:5 198:1,3,9 199:3 203:2,12 203:14 204:5,7 206:16
c	capital 27:12 carbon 125:1,6 163:7 care 29:7 116:15 career 138:22 carefully 39:3 carol 1:12 5:4 carries 6:14 carry 106:6 carson 3:3 6:19 6:19,24 7:1 case 5:13 32:17 39:3,22 79:2 142:22 171:23 214:10 cases 34:8 catch 178:5 categories 32:21 category 32:22 35:14 91:1 caught 160:23 196:17 cause 9:13 23:22 caused 16:21 23:21 77:11 causing 76:20 cavity 193:13 194:7 197:5	30:10 33:6,7 33:16,23 34:1 34:2,8,15,16,19 35:1,22 36:4 36:18 39:16,19 40:6,7 49:20 49:23 50:15,17 50:21 51:10,13 52:4,9 56:7,10 56:12 57:9,19 57:20 58:17,20 58:21 60:16 61:5,8,8,19,20 64:3,5,7,9,11 68:8,10,14 72:15 73:3,16 74:9,20 81:20 82:6,16,18,21 82:22 83:1,5,9 83:17,23 84:9 84:11,24 85:10 85:13,15,19,22 85:23 86:4,6 86:24 87:14 89:19,20 91:5 92:18 93:5,11 95:16 101:7,15 101:15 103:10 103:16 110:13 114:10 115:14 115:23 117:5	125:18 126:11 126:11,21 130:10,14 132:3,3,16,19 133:24 134:3 134:15,18 137:13,17 142:1,10,23 145:23 149:15 149:24 150:2 150:11 154:6,7 154:11 155:17 160:10 163:12 163:13,19,24 164:5,8 168:19 174:1,16 177:2 178:9 180:20 186:11 187:18 187:24,24 188:12 190:5 193:17 194:5 198:1,3,9 199:3 203:2,12 203:14 204:5,7 206:16 cease 155:6 celsius 162:5 cement 100:8 certain 20:3 83:9 certainly 102:22
c 7:1 19:15 20:20,21 23:10 104:8 206:3,6 206:7,9,10,10 208:3 cadmium 15:8 18:18 22:1 31:13,18 calcium 121:3 122:9,24,24 126:15,17,20 195:11 calculate 142:6 calculating 141:23 call 32:18 38:4 41:4,17 61:24 89:10 103:24 104:1 125:10 194:3,4 called 21:18 28:16 50:8 91:21 113:20 128:6 169:18 171:15 calling 53:15 63:3 68:8 172:18 191:1 calls 41:20 86:10 165:12			

[certainty - closed]

Page 13

certainty 22:3 certified 220:4 certify 220:5 cfb 120:19,19 120:22,23 121:3,22 161:6 214:24 change 107:5 109:5,9 188:11 changed 188:19 changes 108:4 108:8,11,14 109:5 changing 69:1 characteristic 130:2 characteristics 34:12 36:12 60:10 140:22 155:12,18 characterizati... 85:4 characterize 77:3 130:13 132:16,19 134:18 137:16 140:21 143:24 147:9 charge 9:19 charlie 206:4,8 206:10 208:3 check 149:12	chemicals 24:8 25:1 chemistry 42:10 chicago 2:10,12 6:10 child 24:14 children 22:13 24:23 30:21 chloride 18:18 31:18 choices 9:5 chosen 171:16 chrome 129:18 chromium 15:8 chronologica... 117:10 church 7:3 circle 132:7 144:8 circulated 108:2 circulating 120:23 125:14 126:13 162:1 circumstances 118:23 119:8 cited 22:2,6 cities 8:20 citing 22:2 citizen 7:20 11:20 17:21 18:24 23:14	citizens 10:22 18:3 clarification 103:3 clarify 95:9 100:16 101:9 103:9,13 113:23 123:13 144:8,16 162:4 173:11 191:14 206:5 218:10 clarity 215:6,18 class 31:12 classified 90:24 94:18 96:12 classifies 92:8 classify 96:6 163:2 classifying 91:4 clay 8:7,8,24 9:10,22 45:23 72:4 184:16,20 184:21,22 195:15 196:2 201:22,24 202:4 209:20 clean 19:1,6 28:2,3,11 29:7 32:6 40:14 97:24 135:19 147:4 cleaned 28:9 30:4 62:1 103:4 138:17	143:6 145:14 145:16 146:5 147:2,5 148:13 181:13 187:6 cleaning 28:7 97:10 138:15 139:1,4,16,18 143:13 166:4 181:10 cleanings 143:10 165:23 cleanouts 174:5 cleanup 22:20 28:19 29:12 clear 5:15 16:16,23 17:3 22:3 60:23 61:3 79:14 118:9 138:7 160:16 clearly 32:2 clerk 6:10 climate 16:7 clinton 45:19 close 22:7 23:16 69:21 70:10 71:7 72:18,22 74:13 closed 15:19 18:14 21:14,19 24:22 29:4 30:20 36:19 55:1 66:9,14 68:18 69:3,8
--	--	---	---

[closed - comment]

Page 14

70:9 103:9,14 131:12 151:1 152:4 155:9 187:14,23 193:13 197:5 200:15 201:5 202:17 204:12 205:5 215:3,20 219:2,6,9 closer 22:6 109:20 closest 49:6 closing 67:6 71:5 98:5 closure 16:17 22:20 35:7,10 35:10,21,24 55:5,17,23 66:23,24 67:1 67:2,7 68:22 69:11 70:23 71:2,8,9,17,18 72:10,12,18,20 74:6,15,16 97:16 98:2 205:21,24 club 16:12 coal 11:24 12:1 12:4,18 13:6 14:7,11,21 15:2,6,10,22 16:14,17,22,22 17:2,4 18:6,7,8 18:9,13,15,15	18:16 19:4,5 21:4,4,6,13,16 21:19,21 22:8 22:19,21 23:4 23:16,21,24 24:4,5,7,7,10 24:17 27:14 28:2,5,6,13,16 28:20,22,22,24 29:10,11,16 30:3,5,12,18 31:4 33:21 47:5,8,10,12,19 49:17 51:7,20 51:24 59:5 73:9 76:2 81:12,13 82:6 82:11 88:6,9 88:18,20 89:23 98:13,19 110:20 124:24 128:5 130:19 130:24 135:8 141:5,9,11,17 141:20 142:6 146:15,16 147:7,8 159:6 159:9,15,24 160:2,9,19 161:1,10,19 162:8,14,23 163:18 177:6 177:17,20 178:22 179:1	184:24 187:1,4 187:8 193:14 203:6 211:4,16 211:17 214:7 215:3 coarse 24:4 60:11 cobalt 18:18 31:13,18 code 1:5 5:7 163:18 codified 166:1 cogie 3:7 20:20 20:20,22,22 21:1 23:6 25:21 cold 119:11 collect 37:1 106:17 133:15 133:16 collected 51:6 52:15,19,22,23 52:24 53:3,7 53:10 55:3 111:6,16 114:1 115:6 116:19 120:2 128:5 collecting 132:24 collection 58:1 73:24 77:1 111:23 113:19 115:9 120:5 121:2	college 13:17 13:21 14:24 column 96:13 96:14 combination 185:11 combined 114:17 combustion 18:10 47:13 76:2 82:6 89:23 126:15 126:16,18 159:1 161:17 162:8,15,23 163:4,19 203:6 come 6:18 7:2 9:14,22 28:6 30:17 40:16 41:18 66:4 121:4,6 161:11 165:21 180:10 182:2 206:4 comes 29:11,14 139:13 coming 8:13 14:6 19:9 23:18 113:16 124:23 219:8 commencing 1:11 comment 6:8,8 6:9,14,15,16 16:10 21:2
--	--	--	---

[comment - constructed]

Page 15

27:3 32:12 101:12 196:20 commenters 40:1 commenting 46:9 comments 3:2 11:14 16:11 21:5 39:1,2 97:10 commercial 75:21,23 173:4 committed 11:21 committing 71:5 common 6:23 24:12 commonly 56:11 57:20 58:21 communicate 88:14 communities 12:3,10 28:1 community 12:24 18:3 company 19:18 36:2,10 47:1 147:16 154:23 compare 125:4 126:11 compared 35:10,12 71:24	110:19 124:16 125:1,2 149:24 comparing 129:10 complaint 31:15 complete 37:13 completely 62:1 63:18,24 121:6 139:8 155:9 compliance 12:7 13:5 29:15 33:11 35:5 42:23 69:21 74:14 81:5,6 88:16 compliant 76:18 comply 18:6 69:16 complying 11:24 19:5 component 93:5 components 90:24 164:8 composition 124:16 comprise 145:12 concern 7:9 concerned 10:16 11:8,20	14:5 17:21,22 17:23 18:1 23:17,20 31:6 152:23 concerning 14:19 15:15 31:20 concerns 22:6 conclusion 15:18 60:2 86:1,11 concrete 52:16 75:2 condition 46:13 190:20 191:3,6 conditions 119:1,12,15,16 119:21,22 120:11,12,13 182:6 193:15 195:6 conduct 5:13 99:23 conducted 5:17 68:22 confer 98:10 confirm 102:19 102:23 confirmed 72:23 confirming 183:20 confuse 147:23	confused 184:7 connecting 187:12 consensus 77:20 consider 7:17 39:2 169:24 consideration 27:4 considered 210:21 considering 25:22 consist 32:24 33:18 consistent 35:24 consists 36:4 47:5 168:15 constitution 25:16,18 constitutional 25:12 constitutions 25:14 construct 169:3 170:17 constructed 47:17,18 50:2 50:10 57:15 132:6 133:9 134:7 152:8,13 184:14 186:8 186:10
---	---	--	---

construction 47:19 50:3 70:23 71:2,17 72:10,13 74:6 74:7 79:16 96:16 167:6 169:6,7,9 172:16 174:11 198:21 201:2 206:19 210:15	109:22 contaminants 15:7,7,13 20:9 29:2 contaminating 21:23 contamination 20:1 22:8 30:9 31:9 34:20 48:23 49:7,10 content 160:9 160:13 212:10 212:19 contents 44:23 94:11 107:22 continually 83:10 continue 23:22 59:8 153:21 206:24 continued 35:8 35:12 65:17 73:5 196:23,23 continues 17:14 continuous 73:19 88:7 contract 123:2 123:8 154:23 contractor 116:15 contractors 67:1	contributing 34:19 72:23 76:20 control 1:1 5:12 19:3 21:2 25:17 141:21 188:17 controls 41:6 convene 78:5 convenience 12:23 conversion 27:13 conveyed 36:5 36:9 58:7 64:20,21,23 conveyers 123:20 127:19 conveyor 64:15 64:24 119:12 120:12 122:20 155:1,3 cook 14:18 cooking 19:1 cool 24:19 193:12 cooled 14:21 cooling 47:8,16 cooperative 1:4 5:5,23 6:1 7:8 13:24 14:3,20 18:6 25:7 26:15 27:24 40:11 42:16,21	45:8,12,17,19 45:20,21,22,22 45:23,24 105:6 105:8 cooperative's 21:3 32:18 39:5 cooperatives 29:22 45:18 46:2,3,10 copies 108:15 108:15 copy 44:13,19 81:23 90:10 93:18 107:2,13 107:18 core 105:19 corner 8:8 136:1 183:12 corporate 33:12 correct 44:4,7 44:10,19 60:19 68:1,2 70:18 76:8,12 79:3 79:21 80:7 82:13,23 83:6 85:2 86:18 88:10 89:21 90:4 91:12,16 91:24 92:23 93:2 96:12,18 97:1,17,24 107:7,8,10,18
---	--	--	---

[correct - current]

Page 17

111:11,20	corrections	couple 23:11	covers 7:13
112:4 113:8,9	107:24 108:5	40:1 100:2	63:21
115:24 116:4	corrective	124:13 144:7	cpa 10:14
121:14 122:5	69:17	147:17 158:5	created 28:23
123:5 124:1	costs 9:15 11:5	185:21 202:22	96:20 120:21
126:9 130:4	counsel 2:17,17	course 8:12	creates 90:6
132:1 133:18	2:20,21 38:20	21:16 23:18	92:22
135:12 139:23	38:22 79:20	24:11 38:5	creating 11:3
141:6 145:20	83:16 91:6	48:14,22 91:14	credits 27:13
145:20 146:4	95:9 99:12,14	167:4	creek 48:9
149:20 157:1	102:16 168:6	court 8:4 10:10	133:13
164:5,14	175:21 179:11	11:18 13:14	crews 26:20
166:11,13,23	179:21 183:16	17:19 23:8	criteria 71:20
167:1 173:22	185:9,14	26:7 27:18	71:20
173:23 174:2,6	186:19 190:13	29:18 30:24	critical 16:15
174:9,20,23	192:10 196:16	41:21 104:2,13	16:19
175:1,5,8	199:17 203:21	cover 11:12	cross 3:17,20
178:21,24	208:6 211:23	67:2,3 156:10	46:6 78:13,15
180:8 182:17	212:9	193:20 201:23	89:7 94:23
185:22 186:2	counsel's 83:3	202:4	158:15,16
186:15 187:19	83:8,21 84:5	covered 11:13	172:4 209:15
188:6,10	85:24 197:1	17:12 46:24	214:13,21
190:24 191:9	count 39:16	63:24 67:4	215:23
193:18,22	counties 7:14	150:11 151:7	crosses 211:17
199:4,7 205:1	counting	153:20,21	crr 220:16
206:8 207:3	182:11	190:24 191:8	csr 1:22,22
210:11,12,18	country 24:1	194:23 195:3	220:16,17
210:22 212:11	25:15,15	198:18 201:5	cubic 168:15
213:14 215:13	county 5:9 7:4	202:8 204:12	181:22 182:16
215:17 216:6,7	7:5,8 8:9 10:18	214:20 215:9	culvert 137:11
219:15 220:10	14:9,15 23:15	218:12 219:15	current 33:19
correction	28:9 45:19,20	covering 37:23	42:17 54:24
16:20	45:23 220:2	38:10 191:18	62:3,5 63:15
			63:16,18 65:4

71:22 98:13 101:10 currently 42:14 42:15 49:16,17 49:18 51:10,13 51:23 56:9 57:18 58:19 61:7 62:10,13 64:4 72:2 97:18 104:24 105:2 187:19 187:20 207:8 cursive 168:24 customers 26:24 cut 139:8 169:22 170:17 173:2 cuts 140:17 195:5 cyclone 110:12 110:19,21	dangers 12:4 dark 208:11,18 data 29:1 37:1 49:11 77:1 date 165:9 187:15 202:18 205:6,12 dated 31:10,15 179:15 181:7 199:15 dates 96:21 daughter 17:22 daughters 17:24 dave 34:10 36:3 day 1:9 22:23 165:2 220:13 days 39:12 109:7 119:23 de 11:14 20:2,4 21:15 32:23,24 33:5,6,14,15,18 34:12,23 39:18 39:19 53:15 61:11 68:8,13 69:7 77:8 91:12 103:9 118:18 127:4 137:21 140:5 140:10 141:3 143:5 164:17 166:5	deadline 6:11 6:12 27:9 deal 8:16 dealing 28:24 debris 143:6 decades 29:9 36:7,13 decant 54:5 55:18 57:5 58:6 59:4,6,23 60:3,24 142:8 142:12 decanted 34:4 61:2 131:20 135:5,19,20 136:22 137:1,7 177:9,10,11 219:1,3,5 decided 219:21 decision 5:13 50:12 80:9,10 80:12,15,18 deck 152:11 declaration 4:4 4:4,6 43:18,24 44:3,6 87:24 88:13 89:1 106:19 107:2,6 192:8 193:4 218:11 deep 28:4 128:14,16,17 202:22	defer 102:16 define 163:9 definitely 39:2 75:15 156:17 definition 17:9 17:10 18:9,12 30:10 39:16 81:20 82:6,16 83:2 85:13,15 85:19 86:4,16 86:20,23 87:13 89:19,22 90:2 92:18 93:11 163:12,13 164:12 definitions 81:18 163:18 203:12 degraded 28:13 degree 42:9,10 degrees 161:22 162:2,4 delano 8:16 delay 94:4 delayed 28:19 delta 145:10 183:15 187:5,7 demon 28:17 demonstrates 32:3 34:22 35:7 demonstrative 108:1
d			
d 3:1 27:19 42:6 56:11 57:19 58:20 94:1 104:7,7 dam 128:12,12 180:7 188:18 damage 12:9 28:7,23 dangerous 12:5 28:14 29:2			

[denied - direct]

Page 19

denied 22:19	144:13 146:5	150:17 161:6	147:3 148:23
dense 60:11	146:11,18	168:19 174:16	151:1 152:4
137:3	147:1,12 148:5	177:2 180:20	153:19 154:1
deny 11:22	148:12,20	186:11 190:5	192:21 200:14
13:5 17:15	149:1 156:6	198:1,11 201:3	200:17 202:17
19:4 21:5 23:3	183:7,9 184:3	204:5,8	204:12,23
23:23 28:21	186:22 194:13	destination	215:20
29:14,23 30:22	201:11 204:15	22:11	dewatering
32:8 40:18	207:15 208:23	desulfurization	134:12 138:24
denying 30:2	215:19	82:10 89:20	204:15 207:1,5
department	described	90:7 92:19	diagram 67:5
43:10 106:1,3	56:24 58:10	164:1,4	diesel 9:7 47:14
depend 13:7	59:14 177:13	detail 16:12	difference
depicted 53:19	183:21 187:7	65:21 74:21	126:13 129:13
63:8	188:16 194:20	119:8	different 14:12
deposited	195:5	details 55:14	35:1 37:23
154:19,22	describing	detectable	46:6 52:20
depressed	147:20 177:15	31:22	67:10 75:4
10:20	178:10,16	detention 177:6	79:11 93:4,10
depression	179:14 183:17	determine 74:8	97:16 136:15
82:19 185:12	description	76:19 77:10	136:17 138:9
deregulate	170:20	determined	161:18,21
25:16	deserve 19:1	199:20	178:9 192:3
deregulated	design 71:20	detroit 19:21	212:15
25:6	121:5 129:10	developed	difficult 60:12
describe 36:11	129:11	194:7	dike 210:15
43:3,6 46:12	designated	development	diked 82:20
55:15,21 57:3	198:23	29:13 186:23	170:18 185:12
63:20 109:21	designating	187:1,4	189:21 197:21
115:2 116:11	53:15	dewater 201:2	204:3
119:7 128:17	designed 82:20	204:20 205:3	dioxide 51:9
129:2 135:17	87:7 127:12	206:16	direct 3:16,20
136:11,18,20	128:20,21	dewatered 36:7	37:17 38:3
143:18 144:11	129:11,14	103:4 146:8,10	41:8 42:2

[direct - dog]

Page 20

78:24 80:5 83:2 84:6 85:15 86:5,21 88:23,24 89:8 89:11 94:12,22 96:23 104:11 160:4 165:24 167:3 170:24 171:3,18 175:3 179:20 186:13 188:8 192:8 200:13 202:15 204:11 210:19 214:20 215:6,7 directed 211:5 direction 131:4 directly 33:23 50:11 54:1 56:6 58:16 60:16 61:5 83:23 84:10,24 85:10,23 86:17 124:5 125:22 126:6 130:10 132:2,3 134:15 137:14 148:10 202:16 director 16:7 42:18,19 81:2 89:5 95:12 discharge 34:6 48:4,7 58:8,8 73:2 138:9 145:9	discharged 48:6,9 discharges 47:22,24 198:20 discuss 33:3 61:12 89:2 143:12 154:6 discussed 64:2 67:5 98:3 127:16 140:4 140:10 165:14 165:24 discusses 74:20 99:20 discussing 16:13 53:13 64:7 89:10 118:16 127:1 150:13 discussion 73:11 94:3 146:2 219:19 display 31:16 displayed 44:15 107:15 108:17 disposal 36:5 71:9 72:20 118:6 161:12 161:14 168:12 dispose 121:9 198:3,9 204:7	disposed 51:13 52:18 87:14 100:4,6,10,13 100:15,18,23 101:8,16 102:1 102:5 111:1,4 111:15,16 112:7,14,16 113:8,11,14 114:16,22 115:3 116:6 117:11,13,14 117:23 118:21 119:3 120:1,9 120:14,16 121:12,13,16 121:20 122:1 122:15 125:21 126:4,22 145:22 216:5 disposes 82:22 87:5 dissolved 18:19 31:19 distributed 65:3 distribution 45:18 district 26:17 158:4 diversion 168:16 division 2:17 2:21 38:20	156:16 docket 17:1 document 43:22 44:17 91:3,8 93:17 94:5 106:24 107:16 168:10 168:18,22,24 170:24 171:2 172:19 176:11 177:16,17 179:13,16,19 179:23 180:12 180:13,15 181:5 182:2,19 185:15,18 189:14,19,22 190:16,17 191:3 192:22 193:2 203:24 205:17,18 208:13,24 210:3,10,14 documentation 141:2,8,24 documented 12:4 documents 37:13,14 58:14 167:7 171:16 212:23 dog 94:1 193:1 193:7
--	--	---	--

doing 11:9 25:17 97:15,18 97:19 126:14 149:12	drink 14:18 22:23	106:2	easy 60:13 206:8
dollars 7:21 28:11 134:12	drinking 19:1 22:7,12 24:18 26:16 31:6 48:11,16,24 49:3,10 102:17 102:20 157:4,6 157:9,13,17,21	dynegy 43:9	ecological 34:22
don 6:10	drive 2:9,12 148:8 216:8,9	e 3:1 4:1 11:20 11:20 16:6 19:15 20:20,21 23:10 26:10,10 26:10 42:6,6 104:8 220:16	economic 7:17 30:2 46:12
dongola 31:4	driven 216:11	earlier 10:21 67:5 72:14 92:17 96:15 97:14 102:13 116:23 135:10 136:7 158:19 163:12 165:18 165:23 175:3 175:12 188:7 206:15	economical 161:8
door 131:11	driving 216:12	early 47:18 50:10,10 51:17 151:3 215:8,18 218:5	economically 7:15
downgradient 49:1	drunk 30:16	earth 25:11	economy 112:23
downhill 178:6 178:14,15	dry 36:4,5,8 50:19 52:11 53:11 111:23 113:8,11,19 114:2 115:6,7 115:8 120:2 121:6 146:16 153:1 193:17 196:14	earthen 180:6	ecosystem 12:18
dozer 154:24	dryers 8:11	earthjustice 16:11	edge 148:9
drafting 44:22 107:21	dte 19:20	earths 75:3	edit 109:1
drain 55:3 59:19 73:8 195:20,22 200:22 204:17 205:3	due 71:1,2,15 71:18,18 72:11 72:13 74:7 193:15	east 2:18,21 28:16 132:12 134:8 215:15	edited 109:12
drainage 177:6 177:7,18,20	duly 179:24	easternmost 215:14	edits 107:24
drained 17:5 131:4 200:18 200:20,21,23 200:24 204:18	dump 134:12		educational 42:8 104:20
drains 48:3 55:7 56:19 130:20 131:3	dunaway 38:22		ef4 26:21
drawing 189:15 209:8	duties 42:19 105:19,22		effect 12:2
dress 155:1			efficient 50:14 124:19,24
			effluent 177:7,9 177:12,14
			efforts 26:23 27:1,4
			egypt 12:13 13:22 14:5 16:9 18:20,23 18:24 19:16,17 19:18 22:10 23:12,19 26:1

26:16,17 29:12 30:14,14,15,17 40:3 47:8,15 47:17,20,21 49:4 102:14,20 156:20,22,23 157:14,17,22 158:3 egypt's 157:3 egyptian 29:22 45:20 eight 11:23 14:11 15:19,22 18:8 19:4 20:4 21:3 22:18 24:10 27:6 29:2 207:1 either 35:22 85:18 112:13 114:17 167:18 200:19 electric 7:5 8:7 8:14,19,24 9:10,22 10:5 26:14 27:23 29:22 40:11 45:19,20,21,21 45:22,23,23 82:12 electricity 8:11 8:21,22 14:1 29:9,21 82:12 electrification 8:18	electronically 108:17 electrostatic 111:10,13 eliminate 141:19 emergencies 199:1 emergency 193:15 emery 54:3,4 54:12,17,18,21 54:24 55:1,4 55:13,15,16,22 55:23 128:6,9 128:23 129:3 129:15 130:5,7 187:11,14,18 187:23 188:3,8 188:12 204:22 205:5,18 206:22 215:2,3 emission 48:4 emissions 12:4 51:8 64:14 employed 42:14,15 104:24 165:11 employees 47:7 employment 107:5 empty 62:1,2 140:2 216:10	encircled 67:4 encompass 62:24 ended 151:24 202:24 endorsing 15:21 energy 19:20 25:9 28:3 enforce 13:1 engineer 105:15 106:8 106:11 engineering 4:5 104:23 enhanced 77:2 enjoying 12:13 18:22 ensure 13:2 29:12 172:11 176:3 entered 34:3,4 141:3 142:1 entering 141:9 142:7,11,24 entire 12:24 15:5 entirety 34:2 36:15 entities 26:18 entry 71:1,3,16 72:12 environment 11:21 12:21	13:7 16:15 17:13 25:13 34:14,24 35:9 35:12 environmental 2:16 7:16 12:9 13:4 15:14 18:11 25:5 32:3 38:21 42:18,20,22 43:10 77:3 81:2,5 88:1,14 88:16 89:6 95:12 epa 2:19,22 6:3 6:5 11:1,10 16:24 25:4 29:3 30:6 equals 92:15 equating 92:15 equipment 8:10,11 106:4 147:15 equity 23:14 erosion 132:13 175:6 escape 20:11 escapes 195:23 especially 22:9 216:9 essence 2:4 5:10 essentially 187:24
---	---	--	--

establish 27:7	examination	76:20 77:11	179:8,10,21
established 91:7 173:19	3:16,17,17,18 3:18,20,20,21	except 71:18 113:2 120:18 126:19	181:1,2 182:1 182:8 183:2,24 184:1,10 185:5
estimate 159:18 175:16	3:21 37:17 38:3 41:8 42:2	exception 33:24	186:16 189:7 190:10 191:23
estimated 28:11	78:13,15 80:5 88:23,24 99:9	excerpt 62:21	192:5,10 194:9
estimating 147:13	101:21 102:11 104:11 158:15	excuse 40:24	194:24 196:11
estimation 138:19	158:16 160:4 171:19 172:4	exempt 11:23 19:4 21:3,13 23:24 24:3 29:5	197:4 201:6,9 203:19 205:10 207:22 212:23 212:24
evade 12:23	212:7 214:13 214:21 218:22	exempted 14:12,13 22:18	exhibits 32:3 79:12 167:9,12
evening 219:23	examine 94:23	exemption 12:8 22:5,17 23:3 29:24 30:22 71:16	167:14,15 171:6 173:9 176:19 196:17
event 39:10 40:14 72:22 97:7	examined 41:24 104:9	exemptions 25:6 71:19	exist 9:21 37:14 37:15 173:12 173:14 174:13 213:21
events 109:15 141:22 142:7	example 79:16 88:3 142:22 144:3 212:23	exhibit 31:15 36:11 43:21 44:14 90:9,11 93:16,21 99:11 99:15 102:19 106:23 107:13 139:13 155:12 155:17 164:20 167:17,18 168:2,10 170:6 170:22 172:19 175:20 176:2,2 176:5,20 177:21 179:5,7	existing 32:4 177:7 191:11 199:20
eventually 69:8 105:17 134:10 161:7 195:10 195:11,20 202:24	excavate 209:21		existed 101:16 existent 20:3
everybody 32:10 40:7 191:16	excavated 209:13		existing 32:4 177:7 191:11 199:20
evidence 16:24 34:18 171:3 179:19	excavation 82:20 170:1,18		exothermic 121:5
exact 119:20 187:15 205:6	excavator 143:21 146:9 148:7		expand 106:16 213:15 214:2
exactly 28:23 164:12 185:2 188:19	excavators 146:7 147:4 148:23		expanded 215:19
	exceed 31:12		expansion 112:9
	exceedances 31:17 72:16,24		

[expect - farm]

Page 24

expect 34:16 39:11 118:17 119:19 136:15 218:1,5 expenditures 46:19,20,22 experience 67:19 136:14 141:7 142:9,21 149:22 159:20 160:12 expert 7:3 34:10 36:2 38:23 88:11 95:20,21 99:21 expertise 30:8 experts 7:2 explain 33:13 33:18 34:11,14 34:17,21 35:7 35:17 36:3,15 36:23 57:11 74:21 77:6 115:17 120:22 133:11 141:16 explained 18:13 explaining 96:23 explore 28:2 exposed 18:22 183:12 extended 6:13	extension 63:6 149:19 152:7 152:12,16 153:17 174:22 199:4,6,20,21 203:18 204:3 207:5,7,16 216:16,23 217:8 extent 21:18,23 76:14 83:21 84:5 156:10 185:14 extents 63:20 extra 199:7 extreme 119:11 extremely 137:3 <hr/> f <hr/> f 40:12 face 13:13 facilitate 57:16 facilities 13:2 41:3 facility 27:13 45:7,8 46:19 47:3 49:14,16 49:23 50:22 52:8 56:16 57:1 58:11,14 59:15 61:17 62:6 87:22 88:2 100:4	110:3 123:21 123:24 127:18 128:1 130:10 149:23 150:24 151:6,7 152:3 153:18,22 154:3,8,12 155:11,16 156:2 160:12 171:8 182:14 194:1 212:20 218:4 facility's 27:8 56:18 fact 12:6,14 35:10 143:7 166:4 172:5,11 218:2 factor 86:23 87:6,8,10,13 factors 39:23 88:1 facts 22:2 43:14 45:6 79:1,5 89:1 91:8 106:17 fahrenheit 162:5,6 fail 24:15,16 fair 21:12 83:11 96:2 162:7,14,16 fairly 135:19	fall 59:12 129:19 falls 60:12 140:18 familiar 48:10 62:17 81:8,15 81:18 92:2 94:5 96:16,21 110:4 116:24 125:9,12 127:3 132:5 138:24 143:7 155:20 155:24 156:20 157:3 158:22 159:1 161:15 163:11 164:15 164:18,21,23 167:21 178:17 203:1,5,11 204:22 205:3 206:15 familiarity 91:7 156:22 families 22:11 family 12:12 18:20 22:11 32:7 far 20:14 21:19 35:5 89:18 98:12 145:16 145:19 159:14 166:2 205:22 farm 8:10,10 31:6 32:8
---	---	--	--

farmer 8:9	finally 36:21	first 10:24 14:4	flowed 34:4
farming 46:16	148:17 156:18	26:19 32:22	135:6,14,15
fashion 20:12	financial 40:12	41:7,13,17	219:11
favor 15:20	find 68:7 72:5	45:7 63:11,14	flowing 57:4
fdr 8:15	172:24 177:23	76:5,10 78:23	60:22 73:3
february	finding 1:6 5:7	78:24 97:23	133:13 135:24
105:13 165:2	14:10 32:19	104:13 111:3	flows 15:6
federal 11:9	33:4,8 34:21	117:12 125:15	135:11 137:11
56:12 57:20	35:4,18 68:16	125:24 149:11	137:12 211:16
58:21 61:8,20	69:6 72:15	152:12 172:21	flue 82:10
64:4 80:7	76:7,12,17	179:14 180:5,9	89:20 90:7
203:2,6,12,14	103:15	185:11 212:9	92:18 162:21
feeds 59:19	findings 21:17	fishing 40:8	164:1,4
feel 18:4 93:14	21:22	fits 30:5	fluidized
216:22	finds 33:8 77:9	five 26:17	120:23 125:14
feet 202:22	fine 9:15 86:14	41:13 119:23	126:14 162:1
fell 154:24	89:14 95:2	158:10 203:16	fly 33:2 50:16
fgd 93:11 164:5	144:8 159:24	flaws 39:13	50:24 52:6,10
164:7	171:10 172:13	flexibility	52:11,24 53:3
figures 58:14	188:24	138:16	53:18,22 54:5
filed 171:4	finish 6:8,11,12	flip 167:10,14	54:6,7,11,18,20
172:2	77:19	168:22 175:19	54:22 55:13,16
files 172:6	finished 37:11	181:1 182:1	55:20,22 56:4
filing 12:6 37:6	50:4	183:2,24	56:6,9,21 57:4
124:15 167:21	finishing 33:20	190:10 201:9	62:16 63:3,5,6
fill 36:17	56:17 59:3	203:18 205:9	63:7,12,15,21
153:13 169:22	61:14 137:23	210:5	64:3,17,20
170:17 173:2	138:1,12	flipping 169:18	68:14 70:15,21
final 5:12 12:1	174:24	floor 56:19	71:6 72:1
33:20 59:3	fire 160:23	130:20 131:3	73:15 82:9
71:18 73:10	fired 27:13	flow 7:23 133:2	90:23 93:10
109:9	47:5,10 49:17	133:19 135:7	110:15,18,23
finalized 12:1	49:22 51:20,24	137:7,8	110:24 111:4,7
			111:14,17,22

112:1,6,8,12,14	153:24 154:13	219:1,3,8	68:17 69:2
112:17 113:5,6	154:17,18	focus 35:3	71:11,21,23
113:11,13,14	163:24 166:12	110:2	73:11,13,15,16
114:5,6,13,15	168:11 169:3	folks 9:17 22:5	73:21 74:3,12
115:2,5,9,19,23	174:19,21	follow 18:4	103:10,16
117:8,9,10,12	177:8 184:23	38:6 80:22	110:5 114:13
117:16,22	185:5 186:8,14	101:23 121:8	117:1 127:6
118:3,6,14,20	186:22 187:3	212:5 214:21	133:24 134:3
119:3,5,8,9,14	187:11,12	following 25:18	137:21,22
120:1,9,14,16	188:4,5,8	72:14 142:4	139:1,3,24
120:21 121:11	189:2,7,20,22	182:6	146:21,22
121:15,19,21	189:23,24	follows 42:1	147:1 149:14
124:2,20,23	190:8,22 191:7	104:10	149:15,15,20
125:3,4,4,19,20	191:11,12	footprint 7:6	149:23,24
126:16 127:5,9	193:13,20	forced 122:23	150:10 152:5,6
127:11,14,20	194:2,6,13,16	155:8	152:12,16
128:2,3,7,8,15	195:8,13	forefront 192:7	153:16,24
128:22 129:3	196:24 197:6	foregoing	154:6,7,11,16
129:16 130:5	197:15,21	220:10	155:5,17 156:3
130:11,14,21	198:8,15,20,24	forget 40:22	189:2 194:13
131:1,6,8,16,19	199:6,7,20,22	form 91:5	216:16
131:23 143:14	199:23 200:1	formally 17:8	forth 14:2,18
143:15,19	200:10,11,14	formed 145:10	forward 10:9
144:9 145:4,6	201:12,16	former 32:24	22:15
145:22 149:15	202:1,2,5,11	33:19,24 35:16	fossil 19:22
149:17,18,18	203:17 204:3,9	36:3,6,16,16	found 15:5,12
149:20,23	207:5,7,15	54:3 61:12,13	21:23 30:6,8
150:10,14,16	210:15 211:15	61:16,22 62:3	35:2 72:4
150:17,20,20	213:6,16,18	62:16,16,18,24	174:1 178:1
150:23 151:9	214:11,12,14	63:3,12,15,21	206:1
151:15,20	214:15,17	63:21 64:3,3,9	foundation
152:3,5,6,12,16	215:9,11,20	64:11 65:4,9	91:6 185:14
152:17,20,24	216:3,5,15,16	65:24 67:19	202:7,12
153:4,8,8,13,16	217:2,7,19	68:10,11,14,14	

foundational 172:10 176:4 179:22 four 13:22 fourth 90:18 frame 71:13 195:4 198:19 frames 70:22 72:9 74:5 frank 40:12 franklin 8:16 free 216:22 freezing 118:24 119:15,16,21 120:11,13 193:16 195:6 frequently 116:18 friday 37:7 124:15 friends 12:12 18:20,23 23:16 25:23,23 30:13 30:17 front 6:21 11:4 26:6 85:14,20 89:19 128:11 128:13 168:23 169:16 180:14 182:11 188:17 188:17 210:14 froze 119:13 fuel 87:22,23 87:24 88:1,4	88:12,24 89:2 158:20,22 159:1,10,22 162:22,24 163:1,6 212:10 212:15,19 fueled 162:8,14 full 13:5 16:21 24:8 27:13 29:15 199:3 fulsome 102:24 function 57:24 58:24 61:13 127:17 128:2,3 132:23 135:4 137:22 213:12 213:13 further 34:11 34:17 36:10,15 58:7 77:7 99:4 102:7 103:19 128:17 158:7 171:15 212:2 216:14 218:17 future 13:7 23:22 29:8,13 153:15	gabriel 2:16 gallenbach 3:19 4:4,7 33:13 104:1,7 104:7,9,14,20 107:15 108:14 108:24 109:17 109:21 140:3 140:24 158:14 165:6 171:13 172:3,11,16 176:7 192:10 192:13 212:9 gallons 177:5 gas 19:23 27:13 47:13 49:22 82:10 89:20 90:7 92:18 162:21 164:1,4 gases 162:9,15 gather 43:14 79:1 general 12:17 206:17 generally 43:10 45:1 46:5 109:18,22 118:15 124:21 140:3 154:10 155:20 157:20 185:1 generate 49:20 49:23 50:15 52:5 122:6	generated 29:10 50:17 52:6,7,9 82:11 100:3,5 101:3 101:7 111:4 116:3 117:11 118:5 120:4 122:3 123:4 124:16,17 125:4,5 160:6 generates 47:6 50:16 generating 5:8 32:21 47:10 49:15 51:20 72:17 82:11 105:21 110:20 116:22 generation 112:24 113:1 generations 28:6 29:8 generator 9:7 generators 14:7 generic 164:13 gentleman 13:16 15:3 getting 25:8 38:1 214:5 giant 165:5 give 165:6 175:20
	g		
	g 8:6 11:20 20:20,21 104:8 189:15 gabe 6:2 38:19		

[given - guesstimate]

Page 28

<p>given 71:21 218:4 glad 14:8 go 9:6 13:14 16:4 19:12 20:23 26:19 32:13 41:8,16 48:3 59:18 70:10 78:23 81:1 82:4,15 95:3 98:13 100:16 102:23 112:13 113:22 114:1,4 120:7 131:6 134:11 135:9 138:18 145:16,18 158:10 167:2 167:22 170:15 171:10 175:19 178:18 179:4 186:16 187:10 191:23 192:2 192:23 194:9 194:24 195:9 196:4 197:15 201:6,19 205:20,24 206:3 207:13 208:3,9,19 209:1 211:7 214:8 217:17 219:18</p>	<p>goes 40:15 54:6 94:14,15 98:20 130:3 161:22 211:18 going 7:10 9:7 9:8,14,17 10:17,23 11:5 11:6,11 19:2 22:15 24:12,16 26:19 38:2 43:20 44:13 45:6 53:12 55:13,15,22 56:4 57:7 67:9 67:10 68:3 70:9,12 73:6 75:22 76:5,10 85:13 88:22 89:10 90:10,12 93:15,18 94:9 94:15,22 96:8 103:14 106:22 107:12 112:9 127:1 129:3 135:18 136:2 136:19 146:8 153:10 156:9 157:23 160:3 165:21 167:2,9 167:10,14,17 169:18 171:18 185:7 189:2,5 190:15,20 197:9 202:14</p>	<p>203:17 205:23 206:3,7 219:21 219:22 golden 18:1 golf 48:13,22 good 5:3 6:24 11:19 27:21 46:6 78:6,17 84:15 158:18 168:4 176:6 185:9 192:4 197:13 government 11:9 grab 165:21 graduated 42:12 grain 8:11 grand 2:18,21 granddaughters 18:21 granted 22:5 22:17 68:17 69:6 97:12,19 granting 12:8 grass 140:16 183:12,15,21 183:21 184:8 grassroots 9:18 gravity 211:10 211:16 gray 129:4 great 108:23 150:13</p>	<p>greater 35:11 green 63:8,23 63:24 grid 9:6 ground 24:12 groundskeeper 140:17 groundwater 12:20 14:14,16 15:6 16:18 18:16,17 21:24 29:3 31:5,8,11 31:16 32:5,7 34:20 37:1 69:16 72:16,24 76:18,21 77:1 77:2,11 97:11 group 19:10 93:17 grouped 73:16 73:20 groups 6:18 growing 152:23 153:11 grows 17:13 140:16 guess 14:12 93:8 95:11 151:6 152:19 171:20 178:18 184:7 201:10 guesstimate 144:2</p>
---	--	--	---

guys 11:1,10,11 144:19 178:3	happens 20:7,8 28:18	91:17 104:16 187:7 188:22	158:13 160:14 165:4 170:11
gypsum 52:7 122:6,6 123:1	happy 38:7	189:17,18	170:14 171:1
h	hard 28:18	210:1,24	171:10,20
h 2:16 4:1 16:6 19:15 31:3 104:8	78:20 108:15	heard 30:1 83:2	172:13,23
hagen 34:10,14 34:17 36:3	129:18 170:20 186:18	84:19 149:17	176:6 177:22
hall 1:12 220:6	harm 17:13	158:19 203:10	179:24 183:18
hand 44:13	22:3	203:11	185:16 189:4
107:13 108:15	harmful 12:19	hearing 1:12	189:10,18
220:12	22:13	5:3,4,14,15 6:6	192:9,11,23
handed 108:16	harming 17:13	6:7 8:2 10:2,7	197:7,11 198:6
193:2	harms 16:21	11:16 13:9,18	202:12,20
handled 50:19	harvested 75:1	15:16,23 17:17	212:4 218:16
52:11 116:14	75:3	19:8,12 20:17	218:19 219:17
154:20	hailed 116:16	20:21,23 23:5	219:20,24
handling 51:10	125:22 146:15	23:7 25:19	heat 162:8,15
hands 32:12	147:7,24	26:3,11 27:16	162:20
handwriting	hazards 28:14	29:17 30:23	heavy 60:11
208:10	head 98:7	32:9 33:3 37:7	141:22 175:11
handwritten	203:13	37:10,11,12,19	held 1:11 21:7
168:24 180:12	health 11:22	38:15,24 40:16	25:7,10 94:3
182:2,6	12:16,22 13:6	40:21 41:2,12	195:18 219:19
happen 10:4	16:15 22:4,6	41:16,21 77:15	help 13:13 28:1
11:11	22:14 28:14	77:18,24 78:4	57:16 106:16
happened	34:13,22,23	78:8,11,20	109:5 172:24
112:22 116:8	35:9,11	84:1,12,16,21	177:23
138:5 204:16	healthy 25:13	85:5 86:2,9	helped 43:14
happening 11:8	29:13	89:4,9,13,16,23	79:1
26:1 218:6	hear 13:11	90:14 94:13	helping 43:13
	38:18 39:12	95:3,11,19,22	helps 161:16
	43:5 44:5 51:2	95:23 99:6	hereunto
	78:17 84:1,2	102:8 103:20	220:12
	85:16,17,18	103:23 104:2	heroic 27:2
		131:11 158:1,9	

<p>hesitant 101:12 hi 10:12 19:11 19:12 31:2 high 15:12 70:13,14 higher 184:10 highest 211:12 211:15 highlighted 217:7 highlights 16:13 hired 105:9,15 historic 50:8 51:17,24 101:9 110:10 112:20 114:14,16 116:2 124:17 124:18 125:5 historical 106:15,17 109:23 167:6 171:7 197:20 204:2 207:10 historically 130:15,18 131:7,15 132:17,20 138:14 173:11 212:16 history 43:4,7 96:16 138:20 172:8,16</p>	<p>hit 201:22 hold 21:14 72:2 82:21 87:7 168:19 174:16 177:2 180:20 186:11 190:5 198:1 204:5 holding 16:9 18:13 21:21 38:24 62:17 63:4,5,6,7,12 63:16,22 64:4 68:11,14 73:15 111:8,17 112:17 113:6 113:22 114:5,6 114:13 117:16 118:14 119:6,9 131:8,16,19,23 139:3 149:16 149:17,18,19 149:20,23 150:10,15,16 150:20,24 151:9,16 152:6 152:6,12,16 153:17,24 174:19,22 176:13 181:21 184:12 189:2 189:22,24 193:13,14 194:1,2,3,4,6 197:6 198:15</p>	<p>200:14 203:18 215:20 216:4,5 216:15,16 217:8 219:1,4 219:8 hole 140:2 169:10 home 26:22 homeowners 46:4 homes 8:12,12 24:20 hone 55:14 honestly 11:6 84:19 honor 13:3 hoping 77:19 160:11 hopper 121:22 horseshoe 215:23 216:2 hot 161:18 hour 41:9,11 77:23 147:16 house 8:11 houses 30:17 huh 109:16 149:7 165:4 186:20 human 12:22 34:13,21,23 35:9,11 hydrocarbons 163:6</p>	<p>hydrogen 163:6 hydroveyor 111:18,21 112:5 117:20 151:18</p> <hr/> <p style="text-align: center;">i</p> <hr/> <p>ida 40:13 205:10 idea 204:9 identical 124:23 126:19 identifiable 90:23 identification 16:19 identified 64:16 identify 91:24 iepa 18:12 21:17 32:1 36:14 49:12 63:13 65:9,16 65:17 66:2,24 67:8,14,19 68:22 69:11 99:12,14 156:3 156:13 179:21 212:10 iepa's 62:22 ignored 28:19 ii 4:15</p>
---	---	---	---

il 2:10,12,18,22	image 183:7	155:18,21,23	175:17
illinois 1:1,4,12	immediately	156:15 180:7	includes 36:6
2:16,19,22 5:5	20:12	181:21 187:19	36:16 51:7
5:6,23 6:1,3,5	impact 30:2	187:24 188:12	86:5
7:4,4,6,13,14	35:7,9 48:19	195:24 206:16	including 13:3
10:15 11:1	impacted 27:1	impoundments	34:7 36:14
12:1 13:6,24	46:18 48:16	16:17,22 17:1	49:16 101:15
15:14 16:14,24	impacts 35:11	30:10 31:5	212:23
17:2,22 18:5,6	77:3	33:7,16 35:1	income 11:7
18:10,11,14	imperative	36:6 39:17	increased
19:3 21:2,3,4,6	18:5	63:14 64:5	10:19 112:11
22:18,21 23:4	implementing	79:9,12 80:2,6	independent
23:11 25:7,12	80:21	83:9,17 84:24	82:12
25:16,24 26:15	implications	inactive 17:4	indicate 167:15
27:23 28:2,4	7:11	65:6 66:13	indicated 67:14
28:22 29:1,3	implore 19:3	inadequate	indicates
29:15,21 30:5	imply 87:2	32:5	168:19
30:19 32:17	implying 92:16	inapplicability	indication
36:14 38:20	important	1:7 5:8 32:19	156:13
39:5 42:11,12	13:11 39:14	33:4,8 35:4,18	indirectly 17:6
42:13,15,20	40:2,10	39:7 40:18	individual 46:1
43:8 45:21,22	impossible	68:9,16 69:6	46:3
46:14 69:9	142:5	76:8,12,17	individually
75:24 81:12,13	impoundment	97:4,12,22	85:8
88:9,17 104:23	17:10 18:10	98:1 103:15	inform 20:12
105:5,7 106:9	34:16 35:19	incidents	information
140:19 159:5,8	36:12,17 40:6	175:11	11:4 37:22
159:12,14	40:7 56:10	include 16:18	43:15 45:3
161:8 163:17	57:19 58:20	45:19 71:8	106:17 126:24
196:2 220:1,5	61:8,20 67:16	72:19 102:19	217:4
220:7,17	67:20 82:16,18	140:6,11	informed 67:9
illinoisan 30:13	82:19,22 83:1	included 31:21	initial 63:7
illinoisans 29:7	85:14,20,22	37:7 81:5	111:7,17 131:8
	87:1,15 155:13	92:18 175:13	131:16,19,23

149:17 150:14 150:16,20,23 174:19 189:7 189:20,24 190:23 191:7 191:12,15 193:13,20 194:2,6,16 195:8,13 196:24 197:6 215:9,11,20 216:3,5 219:1 219:3,5,8 initiate 67:1 inside 182:22 insignificant 34:3 inspection 4:14 66:7,8 inspector 66:4 install 76:18 113:19 installation 111:13 installed 90:3 92:22 111:10 111:22 instance 35:23 instances 37:21 instantaneous 87:9 integral 73:1 intended 33:6 33:16 152:20	217:12 intends 37:16 intent 186:12 intention 23:13 153:7 intentionally 12:5 interaction 156:11,12 interactions 66:2 156:3,6 interest 10:1 12:11 interim 76:23 intermittent 17:6 198:24 internal 182:21 interpret 169:7 193:23,24 200:3 interpretation 86:13 interrupt 170:11 invest 27:12 investigated 49:3 investigation 4:5 34:17 91:11,15 92:3 94:19 99:15 164:16,21 165:14 173:20 174:2	involved 50:11 88:14 involvement 43:12 87:24 88:13 106:13 involves 32:17 33:10 iron 31:14 137:3 issuance 185:20 issue 12:11 35:14 53:14 69:18 76:7,11 77:4 103:14 127:2 149:16 160:7 199:9,9 200:2 issued 186:1 issues 7:14 157:17 179:22 it'd 9:6 182:18 202:2 209:2 it'll 77:22 italics 163:21 item 193:1 206:24 items 11:12	jason 4:6 33:13 156:7 193:5 195:5 jill 3:9 26:5 29:20 job 25:4,17 26:23 johnson 14:9 14:15 23:15 joining 5:9 43:4,7 joshi 2:11 3:12 3:16,17,20,21 5:22,22 32:15 32:16 41:10,20 42:3 77:13 83:13,20 84:4 85:3,24 86:7 86:12 88:22 89:7 91:6 93:22 94:9,20 95:8,17,20 97:16 99:8,10 101:19,24 102:7,17 104:1 104:12 108:20 108:23,24 158:7 160:3 167:11,24 168:8 170:2,21 171:2,14,24 172:7,9 176:1 179:12,18 182:8 183:16
		j	
		jane 3:7 16:1 19:10 20:18,22 january 165:1 179:15	

185:13 188:15 188:21,23 190:14 191:11 192:6 196:16 197:1 198:4,7 202:7,13 203:22 206:5 207:21,24 212:5,8 218:15 july 199:15 june 1:9,11 5:2 5:11 6:11 37:7 110:9 125:17 220:7,13	kids 160:22 killed 160:22 kind 28:23 54:16 79:7 88:15 95:8 110:13 128:12 129:4,21 131:18 132:6 133:8 140:14 140:23 142:4 145:1,10 147:21 186:18 188:17 know 7:12,13 14:1,17 15:11 20:4,5,6 21:9 22:12,22 24:6 24:8,13 29:7 77:17 80:14 87:19 88:7,8 88:17,20 89:12 89:15,17 94:13 95:1,4,4,6,8,13 95:13 96:19 102:15 103:4 112:11 115:19 133:12 134:8,9 134:10,21 137:4 141:21 143:22 144:5 144:19 145:1,2 153:10,11,12 155:8 158:1 159:5,8,15	160:9,22 162:18,21 163:9,11,13 164:12 167:11 168:6 170:4 171:17 173:20 174:4 179:17 180:1 187:23 188:17 195:5 198:18 201:22 205:8 208:23 209:14 214:8 214:24 217:13 217:14,18 knowing 147:18 knowledge 52:4 55:4 57:8 58:16 60:15 61:4,12 62:10 65:8,22 66:12 67:16,18 79:20 87:21,23 100:22 101:14 110:7,13 122:10 127:23 128:22 130:10 132:2 133:4,24 134:3,15 137:13 139:16 150:15,19 152:7 153:3 155:11,16 157:12,16	173:11,24 185:15 186:7 197:20 204:2 207:10 211:4 216:2 217:18 knowledgeable 172:11 known 28:17 192:19,19 218:6 knows 89:15 95:13 172:5,5 172:8
k			l
k 27:20 karen 1:22 220:4,16 kathy 26:13 kayak 18:23 kayaker 23:19 keep 6:18 14:23 60:12 128:13 133:12 169:17 189:4 keeping 42:23 ken 36:3 kentucky 159:13 kept 112:12 154:24 kevin 3:4 8:5			l 2:9 8:6 10:13 17:21 23:10,10 23:10 26:10,10 42:6,6 104:8,8 lab 75:19 labeled 173:8 206:2 lack 11:4 lagoon 169:3 laid 16:24 185:14 205:2 lake 12:12,15 12:16 13:22 14:2,4,9,16,17 15:5 16:9 18:20,23,24 19:16,17,17 22:10 23:12,12 23:18 24:24

[lake - limited]

Page 34

26:1,15,16 29:12 30:14,14 30:15,17 40:2 40:9 47:7,15 47:17,20,21 49:4 102:14,20 113:21 156:20 156:22,23,24 157:3,13,17,22 158:3 lakes 22:12 24:24 land 25:10 29:8 36:5 66:13 156:16 169:22 170:17 173:2 landfill 34:9 35:16,19 36:4 36:9,13,14,16 36:18,18 58:2 62:16,18,24 63:19,21 64:1 64:3,8,9,11,12 65:2,3,5,10,11 65:14,16,18,23 65:24 66:3,10 66:13 67:1,6 67:15,19 68:10 68:15,17,20 69:2,3 73:11 73:13,16,18,21 74:3,12,20,23 75:5 100:14,16 101:1 103:11	103:16,17 113:15 114:3 115:4 118:4 120:3 121:13 122:16,17,19 132:11 133:1,8 133:9,10,13,15 133:17 134:1,4 134:7 142:24 143:3 145:23 145:23 148:10 148:11 149:10 149:15,15 150:1,3,11 151:7 153:20 154:2,4,6,7,11 154:17,19 155:1,6,17 156:4,8,14,17 166:22 173:5 193:17 194:5 198:19 201:13 201:18,19 208:20 211:2 215:9,19 216:4 216:11 218:9 219:15 landfills 17:8 73:24 lands 28:10,13 large 30:11 46:16,16 208:11	larger 46:5 law 8:17 15:20 17:22 18:11,15 24:2 27:5 29:5 30:7 161:15 laws 39:10 layer 202:4 layman's 68:4 leach 12:20 19:2 24:12 leaching 30:21 lead 12:19 18:19 24:9,24 30:20,21 31:13 31:18 leading 26:23 94:14 leads 60:2 75:17 leaking 14:14 14:16 15:10 29:2 learned 15:4 28:18 leaves 140:18 leaving 75:5,10 lee 93:17 left 8:20 28:14 40:5 136:1 163:7 legacy 28:6 legal 2:17,21 20:5 38:20 86:1,10	legislature 17:3 lesser 45:14 letter 93:17 199:14 200:4 letting 10:13 24:2 levee 170:17 level 20:8,8,9 30:20 70:13,14 88:11 143:20 184:6,10 187:3 levels 15:12 20:1,6 31:22 lewis 34:10,14 34:21 license 1:22 licensed 106:8 106:10 licenses 106:7 life 52:1 72:17 lift 128:10 133:22 light 91:22 95:14 99:20 162:9,15,18,21 likely 18:13 27:8 40:17 60:5 likewise 17:7 limestone 51:7 126:15 limit 6:15 limited 33:10
--	--	---	---

[limits - ma'am]

Page 35

limits 199:23	109:20 118:19	location 71:19	162:10 192:24
linda 3:6 17:20	119:7 128:17	149:24 178:5	206:5
line 6:20 9:24	136:7 145:10	lode 2:9 5:24	looks 155:21
63:1 64:16	147:24 167:4	5:24 93:19	165:9 173:6
178:4,12,13	196:8 216:14	170:13 185:10	183:14 184:9
187:10 208:18	live 8:8 12:12	186:20 199:18	196:14 205:13
lined 184:23	12:17 14:8,8	208:7	206:19
195:15,19	14:15,23 16:8	logan 3:4 6:20	lose 141:20,23
196:2	19:15,16 22:5	8:3,5,5 10:4	lot 8:10 12:19
liner 55:2	23:17 24:2	long 12:24	13:13 16:12
129:18,19,22	28:5,17 29:20	17:14 23:10	18:13 39:12
195:13	30:13 31:4	28:23 43:1	46:16 79:11,19
lines 9:2	40:9 156:23	86:24 87:11	140:19 217:14
linsin 3:6 15:24	living 14:2	105:7 133:7	lots 13:23,23
17:18,20,21	llp 2:8	143:21 145:1	23:12 25:22
liquefy 162:3	load 124:5	147:18 148:7	louder 41:1
liquid 161:23	143:22 145:2	150:19 202:23	78:19
168:20 174:16	147:18	218:9	loves 18:1
177:2 180:20	loaded 116:16	longer 35:5	low 10:1 11:7
186:11 190:5	123:10 126:6	120:20 121:1	lower 45:14
198:1 204:5	loading 124:5	122:24 123:17	lowered 143:20
liquids 82:21	124:12	126:17 139:9	187:3
87:7	loan 8:18	219:11	lucia 3:8 19:10
liss 36:3,10,15	loans 10:1	look 66:4 79:12	23:9
36:23 65:20	local 157:7,10	90:10 135:23	lunch 77:20
list 21:8 172:1	locally 159:12	167:17 181:20	78:1,12
172:3	located 12:15	194:18 206:7	lynn 38:22
listed 89:20	26:15 28:15	looked 10:23	m
93:9 96:11	32:21 36:18	145:15 197:4	m 10:13 23:10
listen 7:20	47:9,16 48:24	203:14	27:19
little 8:13 47:6	63:9 149:24	looking 9:18	ma'am 15:17
49:14 50:1	150:5,5 213:20	62:23 70:22	41:1
64:8 77:6	216:3	71:8 72:19	
78:19,22		74:5 90:17	

made 7:11 17:3 24:14,15,16 29:3 39:1 44:6 46:19 80:9,12 80:14,18 82:20 103:21 108:5 108:12,14,16 109:1 110:15 137:3 169:6,24 170:18 173:14 173:16 174:13 174:15 176:21 176:24 180:6 180:18 185:12 189:20 190:3 195:11 197:21 197:24 204:3 209:23 210:3	16:1 22:3 28:20 32:11,14 34:12 38:16 46:2,23 63:3 71:21 84:17 91:22 102:1 149:19 173:9 179:21	manager 41:3 manner 5:14 75:10 manufacturer 123:9 map 4:5,14,18 62:23,23 63:9 139:7,10 march 4:10,11 165:16 184:1 194:12 196:5 marion 1:12 5:8 9:13 11:24 16:22 17:21 18:2,7,7,15 19:5 29:10 31:17 32:21 33:14,19 45:7 46:7 47:4,5,9 47:23 48:12,16 51:11,14 52:1 54:9 61:23 72:17 100:13 100:18,23 101:8,17 105:21,22 109:23 110:5 123:19 125:16 126:22 140:12 156:24 157:18 220:6 marked 43:20 44:13 107:13	market 1:12,12 75:13,15 220:6 marlo 3:4 6:20 10:8,12,12 married 9:4 material 36:9 39:20 63:24 74:23 75:5,19 77:12 91:24 123:2,10,11 129:11 140:20 146:13 147:5 148:24 149:6 155:3,7 160:10 174:1,8 177:13 180:23 181:13 184:23 187:10 188:2,4 195:6 205:2 209:13 211:1 materials 53:23 54:1,8 56:15 65:7 72:5 75:10,13,14,20 82:10 89:21 90:7 92:19,22 93:2,11 121:11 121:24 141:3 143:15,19,23 144:12,13,14 145:21 146:2 146:12,19,22 147:10 148:3,6 148:18,21
magnesium 31:14 magnificent 26:23 main 19:16 maintain 40:12 maintaining 42:24 81:5 maintenance 105:16 106:1,3 major 19:20 majority 141:19 makanda 29:21 make 5:12,21 11:10 15:10	makes 45:17 71:24 75:9,17 134:6 135:20 140:20 164:8 171:23 216:7 making 50:12 132:14 malfunctions 119:1 man 24:14,15 24:16 82:20 169:6,24 170:18 180:6 180:18 185:12 189:20 190:3 197:21,24 204:3 209:23 210:3 manage 50:17 52:9 121:9 managed 50:21 122:12,22 123:7 154:19 154:21 management 33:21,22 34:8		

149:2,4 160:2 161:19 164:1,5 math 42:10 matter 1:3 7:15 14:15 17:6,8 23:15 37:5 43:13 44:1 53:14 106:14 106:23 126:19 140:22 149:16 163:5,7 218:11 matters 17:9 137:4 mclaurin 4:6 33:13 193:5 197:5 218:12 mcswiggin 191:4 mean 54:12 76:2 79:5,10 86:9 88:8 89:11 93:6 95:12,14,23 98:8 113:19 115:17,18,18 133:11 134:23 135:19 138:2 141:17 145:18 159:19 162:21 163:5 171:21 172:2 177:11 183:11 187:20 190:18 192:7 195:13,15	196:1 198:10 198:10 200:4 202:9 207:9,21 209:16 213:3 216:9 meaning 64:3 means 20:5,7 74:22 82:9,19 163:24 213:12 meant 136:8 measure 142:10,14,23 143:3 measured 22:24 142:13 142:16,19 measures 20:2 20:10 mechanical 104:23 meet 9:16 17:9 18:9,12 29:11 30:7,10 megawatts 47:6 112:10,12 melt 161:19 member 7:5 8:6 9:1,3,11 27:11 27:23,24 29:6 40:24 46:10,21 members 2:3 5:12 16:8 26:14 27:12 39:1 46:2,9,18	memo 4:14 memory 81:10 81:21 185:2 188:18 mention 40:22 86:5 192:7 mentioned 40:1 40:8 46:2 47:11,15 49:15 49:22 50:24 64:19 113:5,7 114:24 116:2 122:3 123:3 127:9 129:6,7 129:8,9 130:24 135:10 137:2 141:4 162:5 214:11 mentions 143:5 mercury 12:20 15:8 mess 32:6 message 12:10 metals 75:3 meters 9:24 method 118:6 mic 109:20 162:13 michigan 19:21 microphone 6:21 13:12 microphones 41:1	microscopy 91:23 99:21 middle 169:2 169:21 182:14 208:21 mile 9:24 26:22 miles 19:15 26:17 28:15 31:4 mill 26:13 million 28:11 177:5 millions 7:21 134:11 mind 196:16 mine 28:7,10 50:19 52:12 53:11 122:2 160:18,21,24 161:3,8,10,11 186:23 187:1 218:13 mineral 126:19 163:5,7 minerals 162:3 mines 28:13 159:10 160:21 161:15 minimal 196:3 minimis 11:2 11:14 20:2,4 21:15 32:23,24 33:5,6,14,15,18 34:12,23 39:18
--	---	--	---

39:19 53:15 61:11 68:8,13 69:7 77:8 91:12 103:9 118:18 127:4 137:21 140:5 140:10 141:3 143:5 164:17 166:5 mining 28:6 46:17 minor 27:10 42:10 minute 41:13 219:18 minutes 14:24 158:10 197:18 mischaracteri... 83:21 84:5 mistake 28:20 mistaken 25:13 mitigate 20:11 mix 113:14 mixed 64:18 115:1,3 118:3 120:2 121:12 121:22 122:13 122:15 146:16 147:8 153:1 179:1 mixing 119:10 mixture 161:20 modern 8:12	modified 111:19 112:5 117:20 moment 10:13 66:15 90:16 93:18 94:2 98:10 104:18 145:24 186:6 208:7 211:19 211:23 214:12 monetary 10:20 money 8:18 9:14 24:21 40:14 monitor 20:9 77:10 157:13 monitored 30:20 monitoring 15:9,11 16:18 18:16 20:1 22:16,16 31:12 31:16 32:5 48:21 69:17 76:19 77:1,2 97:11 monroe 45:20 month 164:24 month's 177:6 months 71:1,2 71:15,19 72:12 72:15 74:8	morning 5:3 6:16,17,24 7:2 11:19 21:5 27:21 219:23 move 10:9 16:3 24:7 26:5 49:14 53:13,23 62:15 67:24 71:10 87:21 90:9 95:5 114:12,14 125:8 127:1,3 129:14,15 130:17 146:1 149:14 154:15 165:22 169:13 169:13 185:4 189:2 197:12 203:17 moved 14:4 134:9 moves 7:10 moving 6:18 47:3 56:14 57:23 63:2 69:14 72:6 73:10 104:14 110:3 116:22 119:24 126:3 132:22 143:4 146:21 148:2 148:17 151:9 152:5	muck 140:23 multiclones 111:6 multiple 37:22 38:9 159:10 municipality 157:7,10,13 myott 200:5,8 <hr/> n <hr/> n 3:1 7:1 8:6 16:6 17:21,21 19:15 27:19,20 42:6,6 104:8 185:5,6,7 name 5:4 6:22 6:24 8:3,5,6 10:10,12 11:17 13:14,19,20 16:2,5 17:18 20:19 23:8,9 26:7 27:17,22 29:18 30:24 38:19 42:4 104:5 127:14 narrow 70:6 218:10 narrowed 69:24 nashville 7:4 national 48:3 natural 12:14 47:13 82:19 185:12 201:2
---	--	--	--

naturally 72:4 200:20	neibergall 2:16 3:13,17,18,20	198:8 199:17 199:19 202:9	nope 180:13
nature 39:14 71:23 143:12	6:2,2 38:17,19 77:16,22 78:2	202:16 203:1 203:21,23	nora 185:5,7
near 16:8 169:10 177:21	78:7,16 83:15 83:16 84:14,17	206:7,9 207:23 208:2,6,9	normal 42:13 46:8
nearby 28:18	85:9 86:4,18 89:5,12,14,18	211:19,22 212:2 218:18	north 1:12 2:18 2:21 8:8
necessarily 98:3 213:1,13 213:20	90:15,17 91:9 91:10 93:21,24	network 16:7 28:1 77:2	132:13 187:5
necessary 37:2 38:9 199:21 207:1	94:4,17 95:1,6 96:2,3 98:10	neutral 5:14	northeast 183:12
need 6:17 11:13 13:7 15:2 24:13 25:9,10 27:14 39:22 46:19 94:17 144:8 153:12 189:1 192:2 200:11 211:22 214:10,24 219:22	99:4 101:22 102:6 108:9,19 108:22 157:23 158:17 160:8 161:3 165:3,5 167:13,16 168:4,6,9 170:4,9,16 171:4,12 172:2 172:8,14,15 173:1,2 176:7 177:24 178:2 179:11,13 180:1 182:10 182:12 183:20 185:17 189:1,6 189:13 190:13 190:15 191:13 191:17 192:13 192:15,18,24 196:18,22 197:9,12,14	never 24:17 33:23 83:4 97:23 102:4 111:24 124:6,9 124:10 127:24 130:12 158:24 178:11 186:3 213:16 214:6,7 214:7,23	northwest 8:7 8:8
needed 23:1 28:11 50:13 73:2 126:18 199:4,24 217:16		new 8:16 28:2 121:22 124:6 184:13	note 38:10 39:4 40:2,10 108:13 179:18
needs 21:7 25:7 27:7		nickel 129:18	noted 142:7 179:24
negative 35:11		night 26:21	notice 66:9,11 67:8 165:13
negligible 17:2 20:3		nine 31:22 39:15 40:4 79:12 207:2	noticed 5:16
		nitrogen 51:9	notify 37:15
		nn 4:15 185:5	nov 66:22
		noise 131:10	november 181:7
		non 9:21 20:3 45:13 46:20 68:4 160:2	npdes 34:6 48:3,7 54:15 58:8 59:3 73:1 138:10
			nuclear 19:23
			number 7:7 37:9 65:22 116:22 119:20 141:1 170:12 178:3 182:8 190:21 210:14

[numbered - okay]

Page 40

numbered 169:16,17 182:5 numerous 80:5	occur 47:23 67:11 69:11 119:17,21 occurred 139:1 151:23 166:4 181:10 193:21 201:4 218:6 occurrences 72:14 ocean 167:18 172:19 october 117:4 168:10 205:13 offered 170:23 179:19 office 6:10 officer 1:13 5:3 6:6 8:2 10:2,7 11:16 13:9,18 15:16,23 17:17 19:8,12 20:17 20:21,23 23:5 23:7 25:19 26:3,11 27:16 29:17 30:23 32:9 37:12 38:15 40:21 41:2,12,16,21 77:15,18,24 78:4,8,11 84:1 84:12,16,21 85:5 86:2,9 89:4,9,13,16,23 90:14 94:13	95:3,11,19,23 99:6 102:8 103:20,23 104:2 131:11 158:1,9,13 160:14 165:4 170:11,14 171:1,10,20 172:13,23 176:6 177:22 179:24 183:18 185:16 189:4 189:10,18 192:11,23 197:7,11 198:6 202:12,20 212:4 218:16 218:19 219:17 219:20 offline 113:3 oh 19:9 70:8 82:4 85:21 90:1 104:18 108:11 121:21 130:1 131:6 179:12 191:24 197:11 okay 15:2,18 15:23 20:23 23:24 24:4 32:10,13 38:15 41:7,12 44:12 46:24 50:7 53:10,12 60:21	68:5 70:8 74:15 75:22 76:5 79:19 80:14 81:1,11 81:15 82:15 84:16 85:5,13 85:21 88:9 89:16,18 91:14 92:7,12 93:15 95:3 96:6 99:18 101:2,6 101:14 102:8 103:8,18 104:16,19 108:4,8 112:14 112:18 113:10 114:20,24 115:5,11 116:1 116:5 117:11 117:19,22 118:11,15,23 119:19 121:21 123:6,18 124:22 125:13 127:16 129:24 131:14,18 139:6,13 141:15 143:4 144:6,16,23 145:6 146:8,11 149:12,22 151:5,14 153:3 154:15 155:23 157:12 158:7,9
o			
o 7:1 8:6 10:13 19:15,15 20:20 20:21 23:10 42:6 104:7 167:18,22 168:5 172:19 o'clock 78:5 oath 78:14 158:14 object 83:20 84:4 157:23 160:3 171:17 202:14 objection 85:3 85:24 88:22 91:6 94:10 170:21 183:16 185:13 188:15 188:22 197:1 198:4 202:7 observation 150:9 obtain 26:16 obviously 13:23 84:7 155:2 209:23 occasionally 193:15			

[okay - outset]

Page 41

159:24 160:14 161:17 162:13 162:22 163:16 163:24 164:4 164:15 167:9 173:7,18 174:4 174:18 175:19 176:15 180:17 182:13,13 185:4 186:6 188:20 189:11 189:20 190:12 191:5,21 192:23 193:9 194:9,11,21 196:4,12 197:11,16 198:12 201:14 205:9 206:3 207:18,24 208:2,5,21 210:6 211:24 216:19 217:10 218:4,16,19 219:20 old 9:3 older 124:19 once 44:12 112:5,19 131:23 140:17 153:24 154:18 154:21 214:24 219:5,9,15	ones 129:17 ongoing 27:3,7 oo 4:16 167:18 168:10 170:6 212:23,24 op 8:24 9:5,18 10:5 26:14 27:10,24 29:6 29:9 opening 3:11 32:14 37:5 38:16 operate 49:16 110:8 117:3 154:7,11 operated 13:3 52:1 65:11,24 operates 49:17 49:18 155:24 operating 16:17,20 36:7 37:2 51:23 70:23,24 71:14 71:15,20 72:10 72:11 74:6,7 109:23 110:19 111:3 112:3,19 112:20 114:15 117:6,12 118:2 120:12 121:16 122:22 125:16 126:1 131:24 167:6 205:18	operation 16:16 33:14 34:2 35:8,13 59:5 61:16 64:17 88:2 105:21 110:4 111:2 113:17 116:24 126:8 133:7 150:16 160:6 217:20 operational 62:7 136:14 138:20 141:7 142:9,21 155:10,15 operationally 116:11 operations 47:23 48:17 56:7 57:9 58:17 60:16 61:5 80:2 83:5 83:10,18,24 84:10,11 85:1 85:10,23 86:6 98:13 101:4 140:7,11 155:6 157:18 213:24 operator 12:23 154:24 operators 147:14 opportunities 28:3	opportunity 7:24 16:10 27:21 94:23 opposed 132:12 opposing 175:20 ops 8:14,15,19 8:19,23 9:21 option 75:7 oral 6:15 32:11 orderly 5:14 ordinary 46:8 organic 140:19 140:22 organization 9:21 original 50:3 125:2 127:10 131:3 151:21 152:15 160:17 184:17,18 186:12 214:14 214:22 originally 105:15 214:15 outage 147:17 outages 27:1 outfall 34:7 138:9,10 outgrew 127:24 214:23 outings 22:11 outset 39:4
---	---	---	---

[outside - pass]

Page 42

outside 94:10 160:4 202:14 overfilled 36:8 overflow 59:6 131:7,21,23 136:23 138:3 174:18,21 177:15 184:11 overflowed 137:6 184:11 219:9 overgrown 62:1 overland 119:12 120:12 122:20 overloading 169:4 overreach 11:11 override 12:23 oversight 68:23 69:12 own 17:23,24 18:16 21:22 29:1,1 31:8 126:5 147:14 147:15 148:8 148:22 173:12 173:14 174:13 186:7 192:4 owned 47:21 owner 8:6 26:14 27:11,23	29:23 31:3 186:24 owners 46:10 46:10,21 owns 46:7 47:20 oxidation 122:23 155:8 oxide 51:9 121:3	179:13,14 180:5,5,9,14 181:20 182:2,4 182:5,12,14 185:11 190:16 191:1,2 192:4 193:8 199:14 199:14 205:12 205:24 206:10 208:10 209:2,2 209:4 210:2,3 210:13 217:4,6 pages 1:10 205:23 paid 7:11 116:17 pains 153:11 panel 38:8,13 pankau 3:9 27:17,19,19,22 paragraph 90:18,19 92:8 163:19 180:6 181:20 parishioners 7:7,12 part 1:6 7:6,8 13:24 14:3 16:14,23 26:14 27:12 33:17 34:5 35:24 36:13 37:17 39:8 40:13 54:14 56:11	57:19 58:20 65:9,14,18 68:9,18 69:3 69:17,22 73:1 73:24 74:15,16 76:18,21 80:7 81:15 88:24 94:12 95:20 97:4,15 103:10 103:15 106:2 131:4 133:8,10 154:2 164:5 179:20 180:16 186:24 203:5 partially 153:19 204:12 particle 60:11 particles 31:23 90:24 93:13 115:23 particular 33:17 37:23 71:6 92:14 173:7 213:12 particularly 127:5 particulate 60:24 parties 5:20 165:19 parts 11:7 37:24 pass 9:20 46:21
	p		
	p 27:20 31:3,3 p.m. 78:10 219:24 pad 123:20 paddleboard 18:24 page 3:2 31:11 32:2 62:21 82:5 90:11,13 90:15,18 92:7 93:16 96:10 108:6 109:2,6 109:10 135:3 152:10 163:18 168:11,14,22 168:23 169:2 169:13,14,14 169:18,21 170:2,5,12 172:21,22,24 173:7 176:13 177:4,16 178:3		

passage 65:8	performance	212:22 213:4,6	107:3 111:9
passed 8:16	35:24 69:22	214:5	127:2 137:20
10:21 11:6	performed	permits 16:17	143:5
past 28:24	91:15,18	79:8,11,17	petitioner 2:10
105:18	period 6:16	167:6,6 213:20	2:13 3:12
pastor 7:3,19	8:21 34:1	permitted 22:9	32:14 41:17
pattern 20:14	37:12 101:13	34:6 48:4	42:1 103:24
pay 9:15,16,17	111:5 114:15	153:14 160:23	104:10
9:19,20,24	120:5,10 121:9	212:24 213:11	petitioner's 4:3
11:4 18:3	151:22 205:1	213:17,19	32:2 41:7
46:22	periods 119:2	214:15,18	164:20
pdf 93:16,17	permanent	permitting	petitions 79:2
170:3,5,12	12:8 28:5	79:5	phase 40:17
people 12:17	permeate	person 200:7	phd 10:15
24:20 40:9	201:20,21	209:7	phil 3:3 6:24
46:4,6,8,8	202:10	personal 12:11	phones 40:23
77:24 147:23	permit 4:13,13	23:15 155:10	photo 4:10,10
148:8,22	4:14,15,15,16	155:15 216:13	4:11,11,12,12
173:15,16	4:16,17,17	personnel	186:21 194:12
174:14,15	16:20 32:8	26:20	207:16
176:24 186:9	37:2 70:23,24	petition 1:4 5:5	phragmites
186:10	71:2,14,15,17	11:23 12:6	140:15
percent 10:19	72:10,11,13	13:5 21:3,6	physical 71:22
67:12 88:15	74:6,7,7 79:14	23:3,23 28:21	140:21
94:19 96:7,12	160:17 168:10	29:15 31:10	pick 158:15
96:14 110:22	168:18 170:7	32:19,23 33:4	picking 78:12
110:23 123:2	174:11 176:8	33:9 35:16,17	pickup 123:16
148:15 150:12	176:11 179:14	35:20 36:23,24	picture 135:23
160:18 161:5,6	180:5 182:7	40:4,5,18	139:7 184:8
166:20 210:20	185:21 186:1,4	43:13,18,21	194:22 196:14
216:10	190:16,22	44:1 53:14,16	pile 33:21 59:5
percentage	191:3,14	62:18 70:2	73:9 98:13,19
87:17 93:10	205:18,18	74:19 89:2	128:5 130:20
159:22	208:13 210:10	106:14,20,23	131:1 135:8

141:5,17 142:6 155:2 178:6,16 184:24 187:8 211:4,16,17 215:4 pipe 59:19 137:10,11 145:9 188:3 piped 142:12 place 18:4 20:10 28:9 35:21 74:16 112:13 143:10 143:13 214:8 placed 123:15 130:10 132:3 134:15 137:14 193:17 places 217:16 plan 16:19 66:23,24 67:2 67:7 71:18 205:21,24 plant 9:8 11:24 14:22 16:22 18:7,15 19:5 19:16 28:16 29:10 40:3 47:8,16,19 48:2,14 49:6 52:2 55:2,7 65:1 73:8 88:21 105:15 106:5 109:24	111:19 112:9 119:13 123:22 129:5,17 130:20 131:3,4 139:21 140:1,7 143:9 150:10 151:2 152:18 152:21 159:16 159:21 160:2 160:23 161:2 178:12 187:13 211:13,16 212:16 215:8 217:16 plants 9:13 please 5:21 6:20,21 8:3 10:3,10 11:17 13:4,12,14,18 17:15,18 23:7 25:20 26:7 27:17 29:18 30:24 32:8,15 40:22 41:18,22 42:4 43:3,6 57:11 83:14 90:16 93:20 104:3,6 108:11 109:1 143:18 146:11 147:1 167:11 201:9 plm 91:21 94:11 99:20,21 99:23	point 9:9 48:7 58:8 65:2 67:14,18 85:14 109:1 131:7 170:22 211:12 211:15 214:5 polarized 91:22 99:20 policy 16:7 30:19 polish 48:5 polishing 34:5 54:14 pollutants 31:9 pollute 9:8 polluted 15:6 25:12 26:2 28:14 polluting 18:15 18:17 32:6 pollution 1:1 5:12 16:20 19:3 21:24 23:21,23 25:17 28:2 48:4 pond 4:5,14,18 14:21 19:6 24:7 30:5 32:4 32:24,24 33:1 33:1,2,24 34:15 35:3,8 47:8 53:17,17 53:17,18,18,22 53:23 54:2,3,4	54:5,5,6,7,11 54:12,12,13,14 54:14,15,18,18 54:19,21,21,23 54:24 55:1,4 55:13,14,16,16 55:20,22,23 56:4,6,9,14,15 56:17,17,21 57:4,4,7,8,13 57:16,18,24,24 58:3,4,5,6,9,13 58:16,24,24 59:3,6,8,13,18 59:20,22 60:1 60:15,19,19,22 60:22 61:2,4,7 61:12,13,14,15 61:16,22,24 62:4,7,7 70:15 70:15,21,21 71:5,6,11,21,24 71:24 72:1,6 72:15,22 73:1 73:3,12,13,20 73:23 74:4 76:20 77:8,10 77:12 85:7,9 91:11 92:2 94:19 98:12,13 98:20 99:15 103:4 114:19 114:21,22 115:12 120:8
---	--	--	---

[pond - portions]

Page 45

120:15 123:15	146:5,8,12,19	196:2,24	30:19 31:12
127:5,6,6,6,6,9	146:21,22	197:15,21	33:19,20 34:5
127:11,13,14	147:1,6,17	198:9,14	34:18 39:15,17
127:17,20,21	148:2,3,6,9,13	199:20,22,22	40:4,5 43:15
127:24 128:2,3	148:17,18,23	200:18,19	45:3 48:3,4
128:4,6,7,8,9	151:24 153:7	201:12,17,20	52:23 53:19
128:15,23,24	153:13 164:15	202:1,3,5,11,24	59:4,9,17,18,22
129:3,3,16,16	164:20 166:15	204:17,22	60:7 61:11
130:5,6,7,11,14	166:20 167:2,3	205:5,18	68:7,9 69:7
130:17,22	167:17 168:16	206:16,22	70:8 83:4
131:1,2,6	168:19 170:8	207:7,16 208:3	95:15,18 96:17
132:2,6,17,20	172:16,18	210:21 211:3,5	97:16,24 98:2
132:23,24	173:4,8,11,13	211:8,15 213:1	116:7,9,13
133:2,2,4,7,15	173:14,20	213:11,16	123:12 127:2
133:19,23	174:11,13,18	214:11,13,14	132:14 135:5
134:1,4,16,19	174:24 175:10	214:16,17,23	136:19,20
134:22 135:2,3	175:13,19	215:2,3,9,11	137:8 140:4,5
135:4,6,7,9,11	176:21 177:5	216:16,20	140:6,10,10,16
135:11,15,18	177:14 178:5,7	218:24 219:12	141:4,18 142:8
135:18 136:4,5	178:8,12,19	pond's 35:12	142:9 167:7
136:19,21	179:7 181:11	55:16,23	169:15,19
137:6,9,14,17	181:18 182:18	211:12	173:6 177:8
137:21,22,23	182:22 183:8	ponds 11:14,24	178:11 195:22
137:23,24	183:11 184:9	12:7,15 14:11	201:3 216:15
138:1,3,4,6,12	184:12,13,14	15:3,5,10,19,22	216:16 219:5
138:13,13,15	184:15,23	17:4,5,7,9,12	poorest 7:14
138:16,18	186:8,14,22	18:8,9,12,13,17	46:14,15
139:1,3 140:1	187:3,11,11,12	19:5 20:3,4,10	population
140:9,18,20,22	187:14,18,23	20:11 21:4,13	45:14
142:22 143:14	188:3,8,9,12	21:19,22 22:18	portion 36:6
143:16,19	189:20 190:22	23:16,21 24:4	132:7 145:7
144:9 145:4,6	192:19 193:14	24:10,17 27:6	183:14
145:7,13,17,19	193:21 194:14	27:8,15 29:2,4	portions 57:12
145:22 146:2,3	195:8,12,14	30:4,6,9,12,18	

<p>pose 34:13,23 35:2</p> <p>posed 32:4</p> <p>position 77:7</p> <p>possible 89:20 115:22 123:17 140:9 141:8,21 141:24 142:10 142:14,22 143:2</p> <p>possibly 73:9</p> <p>post 65:18</p> <p>posted 31:7</p> <p>potential 34:15 74:20</p> <p>power 1:4 5:5 5:23 6:1 7:6,7 7:13 8:7 9:1,5 9:7,8,10,12,13 9:23 13:24 14:20,21 18:5 19:18,18 21:3 25:7,8 26:15 26:20,24 32:17 39:5 40:3 42:16,20 43:8 45:8,12,13,17 49:6 65:1 82:12 105:5,8 105:17,18,23 110:5 192:17</p> <p>powered 110:20</p>	<p>powerpoint 4:6 4:7 44:9,13,20 44:23 45:1,11 53:13 61:11 62:16 67:24 107:9,13,19,22 108:1 109:18 109:22 110:4 116:24 125:9 135:4 139:11 217:4,6</p> <p>practices 211:4</p> <p>prairie 16:7,8 28:1 186:23,24 187:4</p> <p>pre 28:10 161:15</p> <p>precedent 12:6</p> <p>preceding 142:8</p> <p>precipitators 111:10,14</p> <p>predominantly 52:21 110:21</p> <p>pregnant 25:2</p> <p>prep 159:23 161:2</p> <p>preparation 47:19 88:21 159:16,21 160:1 176:18</p> <p>prepare 7:21 43:13,17 66:23 99:11,18</p>	<p>106:19</p> <p>prepared 43:24 44:20 107:3,19 160:1 172:3</p> <p>preparing 106:13</p> <p>present 2:3 34:12 38:11 80:3 143:9 199:21 220:6</p> <p>presentation 45:12 143:15 146:1 154:16</p> <p>presented 99:24</p> <p>president 105:17,18,23</p> <p>presumably 175:9</p> <p>pretty 124:22 172:22 199:3</p> <p>prevent 28:23</p> <p>previous 57:6 83:21 84:5 86:8,12 184:7</p> <p>previously 55:12 190:7</p> <p>prices 112:24</p> <p>pricing 7:23</p> <p>primarily 33:20</p> <p>primary 70:20 71:11 72:7 74:2</p>	<p>prior 43:4,7 55:5 65:8 80:13,15 100:21 105:4 105:23 123:18 176:4 198:21</p> <p>probably 12:18 21:9 24:22 30:11 78:3 94:8 98:18 158:19 182:18 186:18</p> <p>procedural 5:18</p> <p>procedure 169:21</p> <p>proceed 32:13 67:6 98:2</p> <p>proceeding 17:14 35:15 39:7 43:16 45:4 67:23 68:5,6 69:18 76:7,12 77:4 94:22 160:7</p> <p>proceedings 1:11 5:1,15 81:16 220:8,11</p> <p>process 16:16 22:20 34:5 115:9 116:12 121:2 129:5 142:15,18 161:17 163:4</p>
---	---	---	--

procurement 87:22 88:1 89:3 158:22,24	project 168:15 promoted 105:16	provide 16:14 16:16 37:14 102:23 138:16	187:11 188:11 188:18 195:6 204:24
produce 110:14 110:16,19 117:5 125:18 162:20,20	promulgated 42:24	172:1,10 177:6 218:10	pumped 98:21 98:23 128:6 137:5 142:12 211:11,18
produced 41:24 64:17 93:3 104:9 110:21 112:10 117:7 126:3	property 10:19 17:23,24 29:12 48:22,23 124:8 125:23	provided 49:12 157:6,9	pumping 135:24 136:6,8 136:8,11
producers 82:13	proposal 169:2	provides 34:18 45:13	pumps 113:20 113:21 120:20 128:14 129:9 133:23 136:13 138:18 188:8
produces 50:24 162:8,15	propose 37:12 74:11	providing 37:8	purchase 88:2 88:5
producing 164:11	proposed 68:13 75:7 76:16 103:9,14 189:23 199:6	ps 168:14	purpose 5:13 58:4 62:8 73:2 82:11 127:10 131:5 132:10 133:5 138:14 150:15 152:15 152:19,20 153:4 200:21 214:14,18,22 216:20 217:12
production 52:16 75:2 100:8 105:17 105:19,24 110:3 192:17	proposing 71:5 75:6 76:18	public 3:2 6:7,9 6:14 11:21 16:10 20:12,15 22:4,10,19 28:14 32:11 39:1,1 40:1 77:20	purchase 88:2 88:5
products 187:2	protect 18:4	pugmill 113:12	purpose 5:13 58:4 62:8 73:2 82:11 127:10 131:5 132:10 133:5 138:14 150:15 152:15 152:19,20 153:4 200:21 214:14,18,22 216:20 217:12
professional 106:6,8,10	protecting 11:21 29:8	pull 109:19 120:21 121:5 168:2	purposes 52:20 73:17,21
professor 10:14 13:21 15:1	protection 2:16 12:24 15:14 18:11 25:5 38:21 72:16,24 76:21	pulled 121:22 153:1	pursuant 5:16 5:17 97:15
profit 9:21 40:11 45:13,16 46:20 47:1	protections 16:15	pulling 45:11	push 155:1
profitable 9:23	prove 39:6,11 39:15,20,20,21 39:22 160:10	pump 98:24 113:22 128:11 128:14,16,17 128:19,20,21 129:6,8,10,11 129:11,13,15 129:21,23,24 130:2,8 136:9 136:13,15,17	put 9:22 12:2 40:22 64:1
programs 69:9			

88:13 122:23 129:19,21 148:10,11 149:10 187:4 202:4 211:2 213:5,7,17 214:3 putting 166:22	30:4 37:9,23 37:24 39:15 53:2 65:22 80:3 83:14,22 83:23 84:6,8 84:16,22,23 85:6 86:3,8,12 86:14,15 92:7 95:9 98:12,19 103:3,8 104:14 124:20 126:11 140:8 141:1 152:11 154:9 155:14 157:8 160:24 162:11 162:24 164:6 169:8 171:12 172:4 176:9 180:3,6,17 184:16,17,18 185:23 191:6 196:21 197:10 198:5 199:5 202:13 207:18 209:11 211:3 212:24 213:4,8 219:7 questioning 38:13 83:3 171:18 questions 19:19 19:24 37:7,8 37:16,17 38:1 38:2,4,6,8,12	76:15 77:14 79:19 83:8 85:7 95:24 96:1 99:4 100:2 101:24 102:9 110:2 124:13,14 156:9 158:8,19 160:13 172:10 176:4 198:11 212:2,6,10 215:22 218:20 quick 16:13 165:22 quicklime 121:4 quickly 26:24 60:13 95:24 quite 8:14 11:6 11:6 16:1 75:3 77:16 124:19 124:24 202:21 quote 81:21 83:4 84:6	radium 31:23 rain 141:22 142:7 175:11 raise 94:9 raised 37:21 86:14 184:6 ran 106:1 137:5 range 149:3 rare 75:2 rate 19:24 rates 46:21 rather 75:10 119:13 rda 161:14 rdas 161:12 rea 8:17 reached 199:23 read 20:1 21:12 21:20 24:10 81:14 91:1 92:5 93:13 176:15 178:11 186:6 reading 86:10 173:3 179:16 197:7 reads 44:14 107:14 ready 41:7 153:15 168:7,8 178:3 179:17 180:2
q			
qq 4:16 175:20 176:11,12,12 176:13 177:5 qualified 92:13 93:14 98:18 99:2 qualify 75:24 87:15 quality 49:4,11 54:17 55:12,15 55:22 57:3 59:21 60:21 102:18,20 129:2 135:17 136:18,20 157:13,17,21 quantifying 141:2 quantitatively 20:7 queen 175:20 175:23 question 18:9 21:19 27:6			
		r	
		r 7:1 10:13 11:20 16:6 23:10 26:10 31:3 210:5 radioactive 31:23 radionuclides 31:22	

real 98:17 165:22 167:21 217:23	128:8,23 130:21 131:7 131:15 132:3	recessed 219:24	158:14 167:14 171:16 176:2
realize 12:18	141:5 150:17	recession 112:23	212:1 219:18 219:19,21
really 10:24,24 11:8,13,15,21 12:15 20:4,6 31:20 61:24 92:13 93:14 113:1 119:17 125:6 128:20 141:22 142:14 153:2 155:7 156:10 158:3 159:23 187:2 194:7 205:8	150:20 151:16 152:17 153:8 190:8 193:16 198:20,24 215:3	reclamation 50:20 52:12 53:11 122:2	220:7
reason 48:15 48:18 160:20 206:14	received 8:20 34:1 37:6 54:7 56:15,18 59:4 59:5 60:15 61:5 65:6 66:9 83:5,9,17,23 84:9,11 85:8 130:18 131:19 142:8 151:17 151:20 154:13 154:17 174:18 174:21 204:9 215:22 219:2	recognize 43:21 44:17 106:24 107:16	records 37:9,15 79:7 217:23 218:1
rebecca 2:20 6:4 38:21		recollecion 81:22 82:1,2 84:8 163:14 216:19,22	recreate 12:17 16:8
rec 4:3		recommend 27:11	recreating 22:7 24:21
recall 89:9 145:7 165:12 190:18 215:22		recommenda... 62:22 171:5	recross 3:18 101:21 218:18
receipt 85:15 86:5,21 171:7		recommenda... 39:13	recycled 75:1
receive 7:7 17:5 33:23 53:24 54:13 55:7,9 56:7,20 57:9 58:17 59:8 65:15 84:24 85:10,23 86:16	receives 58:2 59:2,6 60:19 131:2	recommenda... 29:4 32:1	red 28:17 53:20 63:1 64:16 67:5 132:7
	receiving 58:4 58:6 131:22 152:20 153:4 155:7 219:1	reconstructed 50:5	redirect 3:17 3:21 99:8,9 212:7
	recent 14:10	reconstruction 50:12	refer 216:21,24
	recently 21:15	record 5:15,21 41:17 42:5,23 78:9,12 79:6,8 83:22 84:7 94:3 98:11 102:15,18 108:13 113:23 118:9 158:11	referenced 156:19
	recess 41:15 78:10 158:12 219:22		referred 33:1 56:11 57:20 58:13,21 62:18 64:8 114:10 116:23 127:4 140:5 175:2
			referring 66:18 79:15 102:22 108:14 114:7 139:10 191:15

194:8 217:10 refers 32:23 35:15 137:20 149:19 reflected 46:22 reflective 213:1 213:21 refresh 81:22 82:2 163:14 216:22 refuse 161:12 161:14 regard 7:9 regarding 27:4 45:3 66:3 83:1 91:12 92:7 124:14 141:8 142:1 156:3 164:16 215:23 regards 85:8 199:23 region 28:5 168:15 regs 39:24 regular 46:4 regulate 65:9 67:10 regulated 17:8 24:23 33:7,17 56:10 57:18 58:19 61:7,19 regulation 15:2 regulations 13:6 19:6 28:8	36:14 42:24 43:11 64:4 65:23 66:15,18 66:18 68:9 69:4 70:11 74:14 75:24 81:6,12 97:4,7 regulatory 68:19 69:9 rehn 3:6 10:9 15:24 16:4,6,6 reiterate 65:23 171:14 related 26:20 45:7 57:12 58:14 188:8 218:11 relates 88:1 relevant 98:4,6 reliable 50:14 77:1 105:20 relied 119:10 relief 35:6 36:22 67:23 68:5,6 69:14 76:6,10 96:24 relieve 169:4 rely 31:5 32:7 remain 12:7 28:12 44:3,7 107:6 remained 120:18	remaining 37:16 remember 14:4 39:21 79:18 81:20 85:6 92:19,21 94:7 99:16 138:22 165:20 187:15 205:6 212:12 216:17 remind 78:14 removal 35:21 71:7,9 72:18 72:20 75:6 109:2,14 126:14 remove 64:14 65:1 126:18 143:19 148:5 148:21,23 209:19 removed 75:15 120:1 123:19 143:15,24 144:12 145:21 146:2,12,19,22 148:3,18 149:2 174:8 175:12 175:17 178:19 180:23 186:14 193:17 198:12 210:21 removing 51:8	repeat 70:5 83:7,13 97:13 99:13 100:11 108:11,21 121:18 132:18 140:8 142:17 152:11 154:9 155:14 157:8 198:5 199:5 201:8 rephrase 154:10 173:10 rephrasing 86:7 replaced 50:5,6 51:17 replacement 50:7,9 63:6 112:17 113:6 114:6 118:13 119:5,9 127:12 127:21 128:2 149:18 151:9 151:15 152:2 190:23 191:14 197:14,21,22 198:8,15,16 199:22 200:14 201:12,16,24 202:2,5,11 219:3,4,10,13 reply 118:8 report 4:5 20:2 65:16 92:5,8
---	--	---	--

93:8 94:11,19 94:21,21,24 95:17,20 96:4 99:15,18,20,24 102:20 164:21 165:7,19,20 173:20 reported 1:22 reporter 8:4 10:11 11:18 13:15 17:19 23:8 26:7 27:18 29:19 31:1 41:22 104:3,5,13 188:21 220:4 reporting 31:8 42:23 reports 15:11 31:7 65:18 representative 156:7 request 19:4 29:24 30:2,22 65:15,17 requested 35:4 35:5,20 36:24 67:23 69:15,20 70:7,14 73:22 74:19 requesting 68:6 68:7,12 70:1 70:17 72:22 73:12 76:6,11	requests 33:4,9 35:17 require 13:5 29:15 69:16,21 85:22 171:22 required 15:21 37:1,22 38:13 39:23 40:11 43:15 160:17 161:5 199:21 requirements 30:7 68:19 69:17 71:17 74:17 requires 15:9 rescue 26:23 reserve 6:15 reside 26:12 resident 13:22 23:10,11 residual 18:10 203:6 residuals 82:6 89:24 163:8,19 residue 162:23 163:4 resolve 66:21 respect 36:21 65:21 76:6,11 respectfully 19:6 respond 20:15 37:23	response 38:7 62:22 83:3,8 102:24 160:8 168:1 responsibilities 81:4 responsibility 13:1 29:11 responsible 37:20 42:22 105:20 106:4 158:24 restoring 26:24 restriction 71:20 result 22:4 24:5 27:7 33:15 35:8,11 157:18 resulted 39:8 results 31:16 66:6,8 102:18 102:21 retire 105:12 retired 8:9 13:17,21 19:20 47:12 52:3 59:12 105:2,11 139:21 140:1 187:17,21,22 192:16 200:9 retirement 23:13 105:4 165:2	retriever 18:1 retrofit 55:1 72:13 returning 56:5 reused 75:1 review 16:18 39:3 44:23 88:6 107:22 167:5 176:18 176:20 reviewed 96:4 186:3 revised 43:21 richard 200:4,7 rick 3:5,7 11:19 19:14 rid 24:6 ridiculous 12:16 right 6:6,15 9:14,15 10:16 13:4 19:16 22:12 25:13 38:19 41:4,5 41:16 45:9 49:13 50:8 51:18 56:5 57:23 62:15 67:22 70:2 71:10 77:13 78:4,8,23 80:23 95:15 98:7,19 99:6 103:1,23
--	--	--	--

[right - says]

Page 52

108:23 109:15	215:10 218:8	21:8 22:16,19	42:6 58:13
110:1 111:19	219:11	22:21,22 23:4	190:10 191:2
114:12 116:2,3	risk 12:9 20:13	23:24 24:1	197:15 220:16
122:4 123:4,21	20:14 32:3	27:5 28:22	safe 16:16
125:8 129:17	34:13,22,23	run 9:7 47:13	29:13 30:20
130:17 132:15	35:2	88:20 113:2	105:20
132:22,22	rivers 16:7,8	132:12 147:14	safety 13:3
135:11 137:13	28:1	159:16,21	25:10
137:19 139:14	rj 93:17	160:1 178:12	saline 48:9
139:22,24	rmr 220:16	214:7	sam 190:11
140:24 141:5	road 19:16,17	running 133:14	191:2 197:15
142:9 143:4	26:13 211:18	175:9	sample 90:22
144:10 145:3,4	rock 128:12	runoff 33:21	samples 31:21
145:5,10,24	188:18	34:7,8 56:18	31:22
149:11,14	roger 210:5	58:1 59:2,5	sampling 49:5
150:13 151:3	role 43:1 81:1	73:8,9,23	102:14,14
152:5 155:2	105:14,18	98:13,19 128:6	sarah 2:9 5:24
163:8 165:22	room 44:16	129:5 130:19	save 12:2 96:1
166:22 167:2	90:12 107:16	130:20,24	saw 82:3
168:5,9 169:10	108:16 152:24	131:1 132:11	163:15
171:8 173:3,9	roosevelt 8:16	132:13,24	saying 13:11
173:10 175:13	roughly 159:21	133:16 134:10	92:10 98:8
176:22 179:9,9	185:24 187:16	134:24 135:1,8	114:21 136:24
180:3,16	rpr 1:22 220:16	141:5,17 142:7	164:13,14,21
181:19 184:2	rr 4:17	143:1,3 175:6	172:20,21
187:17,23	rule 12:1 24:2	193:14 210:16	183:14,17
188:1 190:1	56:12 57:21	211:4,17 215:4	186:3 190:21
191:15 193:6	58:21 61:8,20	runs 8:10 59:20	209:10
195:14,21	80:7,10,21,22	rural 8:17,19	says 80:22 82:9
198:12 201:11	203:2,6,12,15	8:22 46:16	82:18 90:22
202:19 203:17	rules 5:16,19		91:2 93:9
203:20 205:11	12:1,2 13:2	s	168:11,14
206:18 207:14	16:14,23 17:3	s 4:1 7:1 11:20	169:3,14,21
209:9 212:6	18:4,6,7 21:4,6	17:21 33:1	176:12,12

177:5 178:4,4 178:14 181:17 181:20 182:16 191:9,11 193:12,19 199:19 206:22 206:24 209:8 210:14 scarlet 28:16 scars 28:5 schedule 206:19 schedules 33:11 schematic 209:2,6 schiff 2:8 5:22 5:24 science 24:13 42:9 104:22 scientist 5:9 21:12 scooped 148:9 scope 16:21 69:24 70:6 88:23 89:8 94:10 160:4 171:18 192:8 202:15 scrape 143:21 screen 44:16 107:15 108:18 scrubber 52:7 52:13,13 55:8	55:9 64:13,13 64:14,18,20 90:3,4,6,19,22 91:4 92:9,22 93:1,3,9 94:18 100:3,3,5,19,22 101:3,15 110:16 113:13 114:18 115:1 117:7 118:4 119:11,13 120:3 121:12 122:4,8,11,21 123:14 126:18 134:20,23 153:1 154:13 154:17,18 164:10 193:16 210:15 216:10 sea 28:17 search 37:13 second 24:10 35:14 70:1 87:6 96:11 165:6 170:12 180:5 181:20 182:12 190:22 193:4 secondary 33:20 54:12 61:14 174:24 seconds 137:4 168:1	section 32:2 39:8 46:6 65:11,13 81:8 209:15 sections 5:17 sediment 34:15 34:18 62:11 72:3 129:14 136:9 142:11 142:23 143:6 143:22 145:15 145:18 148:13 sedimentation 140:6,11 sediments 136:16 139:17 145:7 see 31:7 32:12 34:16 35:4 62:21 81:22 82:7,16 86:19 86:21 108:22 136:1 139:7 144:6 145:15 163:19,23 164:2 165:18 168:13,16,24 169:4,18,22 177:4 179:15 181:17,22 183:4 186:18 186:22 187:5 194:13,21,23 195:1,4 196:13	201:11,13,14 205:9 206:20 207:15 208:14 217:7 seeing 11:8 90:18 94:7 165:20 183:8 206:1 seeking 20:13 39:7,9 68:5 70:21 71:12,13 71:16 72:7,9 74:3 96:24,24 97:3,6,23 seems 22:16,24 192:22 seen 60:4 165:7 167:8 176:8,11 176:16 181:5 185:18 189:13 189:19 190:17 197:17 201:10 201:10 203:23 205:17 206:12 208:16 210:7 selenium 31:13 self 80:21 sell 173:4 selling 25:22 semi 147:24 send 12:9 sending 54:3 131:5 219:4
---	--	---	---

sense 24:13 71:21 75:9 84:17 sent 53:1,4,11 54:1,2,17,17,18 54:20,22 56:2 64:15 75:19 100:24 115:11 119:9 120:3 177:13 sentence 93:13 separate 60:13 73:18 124:4,5 separated 55:19 56:3 57:6 59:24 75:15 111:24 115:20 separates 137:4 separation 57:16 127:1 separators 111:23 september 4:11 165:10 serious 15:7 seriously 25:22 serve 36:17 57:24 59:1 61:13 135:4 178:5 served 45:14,15 46:13 132:23 174:24	serves 58:1 services 42:18 42:20 81:2 89:6 95:12 set 21:8 27:6 30:3 40:14 73:11 220:12 sets 12:5 settle 54:21 178:8 settled 59:24 settling 168:15 169:3,15,19 177:5,8 178:7 181:21 seven 45:18 46:1 203:9 several 23:16 31:12 33:18 37:19 112:22 141:4 shape 215:23 216:3 shed 95:14 sherry 3:5 13:20 shingle 123:9 shingles 52:20 shop 8:11 short 12:22 27:2 shorthand 32:19 220:4,8	show 31:8 43:20 48:23 49:8 106:22 135:23 192:12 192:22 showed 31:12 49:9 156:8 197:18 201:10 showing 163:17 217:7,24 218:2 shown 62:22 shows 17:1 18:16 29:1 209:3,8,14 shut 15:21 119:13 shutdowns 118:24 side 19:22,23 19:23 124:23 133:22 134:8 183:11 184:24 187:5 208:10 215:14,15 sidestep 12:5 sierra 16:11 sign 32:12 signature 220:15 signed 8:17 32:10 191:3 200:7 205:12 significant 21:21	silent 40:23 silo 111:22 112:2,8 113:14 115:21 124:6,7 126:5 silos 124:4 similar 109:3 147:3 148:22 187:2 207:4 simply 12:6 25:4 single 12:23 37:24 159:11 sipc 2:10,13 7:20 12:5 13:3 17:7 18:15 21:6,7,11 27:11,24 29:6 29:23,24 31:3 31:14 32:6,16 32:22 35:15 37:6,7,10,16,19 40:6,10 41:20 43:4,7 44:14 45:7,8,17 46:11,13,18 47:1,21 49:3 50:17 52:9 53:15 63:3 67:6,15 68:5,6 68:12 69:2,16 69:21,24 70:4 70:6,16,17,20 71:5,12 72:7
---	--	--	---

[sipc - sluiced]

Page 55

72:18,21 73:12	39:15,21 40:18	202:21	152:10 154:15
74:3 75:6,12	43:13,18,21	sites 28:7,15	slides 104:17
76:6,10,17,23	44:1 52:1	sitting 134:1,4	slight 86:7
79:2,23 80:2	53:14 62:18,22	195:7 212:14	slow 196:18
80:17 85:11	67:23 68:12,16	212:18	slowly 134:9
87:22 90:3	69:14,15,20	situation 11:2	sludge 52:14
91:12,19,23	90:9 106:14,23	situations 11:3	55:8,9 64:13
96:6,11,24	107:3 127:2	six 7:13	64:14,16,18,20
99:11,15	137:20 139:13	size 217:16	90:20,22 91:4
102:19 105:14	143:5	skip 21:10	92:9 93:1,9
105:19 106:11	sir 8:2 26:8	slag 82:10	94:18 96:6,11
107:13 111:9	78:14 84:18	90:23 93:10	100:3,3,19,22
140:5 149:19	90:10,19 95:6	110:22 137:3	101:3,16,24
153:7 154:3	99:1 158:18	164:1 168:11	110:16 113:13
158:23 159:6	161:14 163:20	169:3,15,18	114:18 115:1
159:16 160:9	163:22 166:3	173:4,5 177:8	117:7 118:4
161:18 165:10	167:16,23	178:4,6,9,9,14	119:11,13
165:16 167:5	168:9,16	slide 44:14,15	120:3 121:13
171:6 173:21	176:10,14	45:11 53:13,20	122:4,8,11,21
176:1 179:20	178:2 180:2	53:23 56:14	123:14 128:19
181:8 183:4	181:3,16	57:23 58:24	129:23 134:12
187:19 191:23	182:24 185:18	61:11 62:15,23	134:21,23
194:12 196:23	192:16 193:4	63:2,2,9 64:7	153:2 154:13
205:15	197:23 198:17	67:24 70:17	154:18,18
sipc's 11:22	204:21 209:5	71:10 72:6	164:11 175:7,9
13:5 18:16	209:18 212:3	73:10 107:14	210:15 216:10
19:4 21:22	sit 41:18	110:3 116:23	sluice 113:20
22:4 23:3 27:4	site 4:5 34:8	125:8 127:3,10	113:21 127:19
28:21 29:1,14	51:13 53:4	130:18 132:8	129:8,12,23
31:7,10 32:18	71:9,9 72:20	132:23 137:19	138:18
33:3,4,9,12	72:20 100:10	139:11 143:5	sluiced 130:11
34:10 35:16,17	100:23 101:16	143:14 144:6	134:15 137:14
35:20 36:2,21	102:1,5 123:22	146:1,21 148:2	198:24
36:24 37:6	124:3 126:22	151:10,11,12	

<p>slurry 196:8</p> <p>small 8:24 24:23 33:18 46:4 112:9 130:16 132:21 134:20 137:18 138:7 144:1,15 144:18 217:15</p> <p>smaller 141:18</p> <p>smallest 8:24</p> <p>smart 78:2</p> <p>smoke 14:5</p> <p>so2 90:3 126:18 164:10</p> <p>solar 27:14</p> <p>sold 52:16,19 52:21 100:7 116:10,12 122:2 123:1,10 123:14</p> <p>solids 18:19 31:19 54:21 55:19 56:1,2 57:5,16 59:23 128:13,20 135:24 178:7 193:16</p> <p>soluble 31:23</p> <p>solution 27:10</p> <p>somebody 9:24 80:17 98:18 99:2 160:9,11 169:10</p>	<p>son 8:9 17:22 17:23</p> <p>sorry 16:1 20:18 43:5 44:5 51:2 70:5 70:8 76:9 79:7 83:7,13 85:17 85:18 90:1 94:4 96:8 99:13 100:11 103:12 108:10 113:18 114:13 117:18 118:8 120:23 122:18 130:1,8 131:6 131:12 141:14 145:24 149:11 152:11 162:4,6 164:7 165:5 170:2,15,15 175:15 176:9 180:14 182:8 184:20 189:16 190:21 198:6,7 200:6 203:3 210:1 211:20 211:22 213:15</p> <p>sort 215:23</p> <p>sound 78:6 83:11 176:22</p> <p>sounds 84:14 96:2 168:4 176:6</p>	<p>source 14:1 22:10 24:18 31:5 72:16 88:17 157:6,10 159:5,8,11 185:1</p> <p>sourced 159:10</p> <p>sources 34:19 88:24 89:20 140:6,11</p> <p>south 2:9,12 31:4 33:2 53:18,22 54:5 54:6,7,11,18,20 54:22 55:13,16 55:20,22 56:4 56:6,9,21 57:4 70:15,21 71:6 72:1 127:5,8 127:11,20 128:2,3,7,8,15 128:22 129:3 129:16 130:5 130:11,14,21 131:1,6 134:9 143:14,15,19 144:9 145:4,6 145:22 166:12 183:11,14 184:14,23 185:5 186:8,14 186:22 187:11 187:12 188:4,5 188:8 211:12</p>	<p>211:15 213:16 214:11,12,14 214:17</p> <p>southeastern 26:14 45:21</p> <p>southern 1:4 5:5,23 6:1 7:6 7:13 10:15 13:24 18:5 23:11 25:7,24 26:15 27:23 28:4 29:1,7 30:13 32:17 36:5 39:5 42:15,20 45:22 46:14 104:22 105:5,7 140:18 161:8 183:21 184:3,8,9 196:2</p> <p>space 200:10 200:11</p> <p>speak 6:21 7:3 7:24 10:14 13:12 27:22 29:6 30:1 78:19 92:14 96:8 109:19 131:13 212:18</p> <p>speaking 6:22 7:19 102:3</p> <p>special 190:20 191:3,6</p>
---	---	--	---

[specific - station]

Page 57

specific 79:10 102:21 150:14 specifically 70:24 71:14 72:11 85:6 87:12 88:19 89:2 93:12 125:3 156:13 170:9 180:15 210:2 specified 79:20 speculation 157:24 spell 6:22 8:3 10:10 11:17 13:14,19 16:4 17:18 19:13 23:8 26:7 27:17 29:18 30:24 42:4 104:5 spend 12:13 spent 113:16 114:9 115:8,11 115:13 118:5 118:11,15 120:4,7 121:8 134:11 151:17 sports 18:23 spread 155:4 springfield 2:18,22 159:14 ss 4:17 197:15 220:1	ssm 109:14 stacks 14:6 staff 2:3 stake 23:15 stand 7:1 standard 1:5,5 5:6 17:14,15 30:2 32:20 33:10 35:6,20 35:23 36:22 37:1 39:6,9,23 40:19 68:13 69:15,16,20 70:1,7,13,17 71:1,3,4,16 72:12,16,24 73:12,17,22 74:11,20 75:8 76:16,24 97:7 97:20 98:4 182:6 standards 9:16 11:23 13:4 21:8 28:22 29:12,16 31:13 36:1 49:11 69:22 76:21 98:6,9 start 6:19 37:5 41:13 52:9 53:22 110:1 111:2 113:3 125:15 126:7 127:8 146:1	150:13 158:18 167:16 168:3 177:19 185:24 189:6 started 50:22 79:23 100:17 100:17 111:3 112:3,19,20 117:12 118:2 126:1 134:8 151:2 185:21 starting 117:9 117:19 118:1 119:24 121:19 132:12 143:13 150:14 193:12 218:5 starts 90:19 177:17 startup 118:24 state 6:22 7:9 7:14 8:3 9:1 10:10 11:17 13:19 15:20 16:4 17:2 25:15 27:5 30:3,19 42:4 42:11,12 45:15 45:16 46:15,16 66:14,17,18 71:22 81:12,13 96:13 106:9 139:24 186:24 186:24 187:4	220:1,5 state's 27:9 stated 31:10 80:5 84:18 102:13 200:13 218:24 219:2 statement 32:14 38:16 statements 3:11 44:3,6 107:6 states 32:2 111:9 158:5 191:7 stating 84:6 station 5:8 31:17 32:22 33:14,19 46:7 47:4,5,10,23 48:12,16 49:1 49:18 51:11,14 52:1 54:9 61:23 72:17 100:9,12,13,17 100:18,19,21 100:23 101:9 101:17 105:21 105:23 110:5 123:19 125:16 126:22 128:10 128:11 132:23 133:22 136:1,6 136:8,11,13 140:12 157:1
---	---	---	---

<p>157:18 158:23 stations 136:8 status 54:24 61:22 62:3,5 63:15,16,18 65:4 107:6 150:23 152:2 153:16 statute 30:5 39:24 67:10 81:13 stay 27:8 89:8 196:17 stayed 116:1 steger 3:5 10:8 11:17,19,20 step 60:18 steps 66:11,21 steve 3:8 19:10 26:4,9 stick 143:21 148:7 stop 32:6 59:11 132:13 164:24 175:6 219:4,9 stopped 36:7 114:15 121:16 122:22 131:22 131:23 135:24 136:2 145:15 155:7 218:24 storage 32:4 33:24 112:12 123:15,21,23</p>	<p>175:7 177:17 177:20 178:6 178:16 181:22 199:24 210:16 215:1 store 64:16 198:3,9,11 204:7,8 stored 87:14 123:18 198:10 stores 82:22 87:5 storing 153:8 stormwater 33:21 34:7,8 54:4 55:2,3,7 56:18 58:1 59:2 73:8,23 128:5 129:5 130:19,24 132:11,24 133:16 134:10 135:1 142:24 188:13 strange 14:20 strauss 2:20 6:4,4 38:22 streams 151:15 street 1:12,12 65:2 220:6 strict 15:9 strike 188:23 strip 209:8,16 209:17</p>	<p>stripping 209:3 strips 201:14 202:22 218:9 218:10 struck 26:21 structural 36:17 structure 180:18 190:3 209:24 struggle 7:12 style 38:8,13 sub 193:16 subject 36:23 38:12 40:3 64:4 80:6,10 81:16 submit 6:9 65:16 submitted 16:11 66:24 submitting 70:22 71:13 72:9 74:5 subpart 40:13 56:11 57:19 58:20 subsequent 202:18 substance 93:5 93:7 substances 12:19</p>	<p>substitute 173:5 suitable 29:13 suite 2:9,12 sulfate 31:19 122:24 126:17 126:20 sulfite 122:9,24 195:11 sulfur 51:8 88:15 126:14 sullivan 3:5 10:8 13:10,16 13:20,20 15:18 sulphate 18:19 sum 15:16 summer 4:12 23:20 186:21 sunset 27:9 supervisor 105:16 supply 19:2 support 10:21 43:18 44:1 106:20 107:3 supports 89:2 suppose 172:9 supposed 24:1 24:1 89:8 171:24 supposedly 15:13 sure 10:17 15:10 17:20</p>
--	---	--	--

20:18 41:6 67:12 83:15 84:14 91:9,22 94:8,15 98:17 102:2,21 108:11 162:12 162:19 168:4 172:9,14,21,22 173:1 179:22 183:10 185:17 194:8 196:21 209:15 surface 12:21 17:10 18:10 30:10 33:7,16 34:16 35:1,19 36:6,12 39:17 40:6,7 56:10 57:19 58:20 61:8,20 63:14 64:5 67:15,20 82:16,18,21 83:1 85:14,19 85:22 87:15 155:12,18,21 155:23 156:14 168:16 187:19 187:24 188:12 195:24 206:16 surrounding 43:14 survey 91:15 91:18	susceptible 25:2 suspended 60:12 178:7 swam 30:15 swear 41:22 104:3 swim 18:1,20 22:13,23 23:19 swimmer 23:19 swimming 18:22 24:20,24 40:8 switched 217:19 sworn 41:23,24 104:4,9 system 32:5 48:4 54:15 59:4 73:2 74:1 76:19 111:19 111:21 117:20 151:18 167:22 t t 4:1 11:20 19:15,15,15 26:10 31:3,3,3 42:6 104:7 189:7,10,11,12 tab 167:22 168:5 172:20 180:8,9	tabitha 3:10 26:5 31:2 table 7:22 31:11 96:10,11 tables 31:15 tailings 161:2 take 41:13 64:12 77:22 113:12 123:11 138:17 158:10 186:6 taken 9:13 41:15 65:1 66:21 78:10 122:17,19 123:23 124:3 145:8 147:6,10 149:5,8 158:12 178:22 220:8 takes 145:1 147:18 talk 41:2 49:14 50:1 57:24 58:23 71:11 88:23 95:14,15 95:15 101:2 110:24 135:3 137:19 156:18 167:4 174:10 208:3 211:23 talked 55:12 101:6 112:18 136:7 137:8 142:5 160:17	217:3 talking 24:23 53:7 56:5 93:1 93:4,5,7 117:18 127:8 130:3 145:3 147:21 172:22 173:3 188:7 193:3 196:2 207:8 216:23 talks 154:16 tandem 147:24 tasting 158:5 taxes 10:19 18:3 teacher 23:11 technical 2:4 38:23 209:7 technically 158:4 165:1 technique 91:23 technology 90:6 tell 21:20 95:13 98:8 170:20 186:7 216:9 telling 25:22 temperatures 193:16 temporary 17:6 123:15 ten 158:10 203:16
--	---	--	--

tense 87:2	170:24 171:3	103:18,20,22	think 7:21
tenure 85:11	175:3 176:19	104:19 106:19	14:19,22 15:3
term 12:22,24	178:19 179:20	108:19 109:4,9	15:19 21:9
20:5,5 23:10	200:13 202:15	109:17 110:1	35:3 41:8,10
28:23 39:18	210:19 215:7	112:18 116:1	46:24 52:21
88:4	text 180:10	119:24 124:13	64:19 70:16
terminology	thallium 18:19	126:24 130:9	77:22 78:2
170:17 191:16	31:14,19	132:15 134:14	80:11 86:10
terms 7:23	thank 6:6 7:24	135:2 140:3	92:13,14,16
10:20 164:13	8:1,2 10:6,7,13	143:4 158:8	94:17 98:17,19
tertiary 33:20	11:15,16 13:7	161:11 162:7	104:13 129:7
tested 75:20	13:9,13,13	167:23 168:8	152:23 153:14
testified 42:1	15:23 16:9	170:13 173:17	154:16 158:19
96:17 97:3,14	17:15,17 19:6	174:10 178:2	165:1 189:4
104:10 160:5	19:8 20:15,17	185:4,8 188:7	191:11 197:12
165:23 166:1,8	20:23 21:1	188:20 189:11	200:2 202:20
170:24 171:2,7	23:2,4,5,6 26:3	208:8 212:3,4	209:9 214:20
190:7 192:20	26:11,20 27:15	218:15,16,18	thinking 14:7
202:17 215:7	27:16,21 29:16	219:16,17,23	14:10
testifies 172:5	29:17 30:23	thanks 102:6	third 14:13
testify 149:17	32:8,9 38:14	161:17 192:1	168:23 169:3
171:9 202:21	38:17,23,24	206:4	190:16 191:2
212:14	40:19,21 41:14	thermal 159:3	thirds 26:22
testifying 95:21	42:7 43:17	thing 13:4	thomas 191:3
183:17 192:9	46:1 49:13	19:21 39:4	thorough 37:2
197:2	53:12 55:21	40:22 72:3	thought 14:20
testimony 38:3	59:8 67:22	92:14 96:11	27:10
44:10,14,20	70:12 72:6,21	97:3,6 195:2	thoughts 77:21
78:24 80:1	73:10 75:22	things 6:18	thousands
83:2 94:12	76:5 77:13,15	7:15 10:4 21:9	26:24 28:12,12
96:23 102:13	78:8 85:5	30:21 39:6,13	threat 12:16
107:10,14,19	87:21 94:2	40:2 75:4 79:1	threatening
127:4 156:19	96:15 99:6	88:15 97:15,24	12:21
165:24 167:3	101:19 103:1	112:22	

[three - transported]

Page 61

three 6:18 9:24 14:12,24 15:24 16:2 17:24 18:21 19:15 40:4 50:5 82:15 109:7,8 112:9 119:22 141:18 198:11 211:17	120:10 121:12 123:9 128:1 134:14 138:17 138:22 147:2 147:10 148:13 150:24 151:5,6 151:22 152:3 153:17,22 154:3,8,11 155:4,11,16 156:2 161:4 165:10 167:5 167:19 173:21 175:21 188:11 188:12 189:16 195:4 197:18 198:19 205:1 207:9 210:7 211:14 214:9 215:7 216:12 218:4	118:16 176:16 186:4 192:9 212:14,18 todd 3:19 4:4,7 33:12 104:1,7 104:9 107:14 together 36:20 73:16,19,20 86:24 113:14 tom 189:8,10 tomorrow 6:16 41:3 219:23 tons 148:1 166:9 187:1 took 8:9 104:13 116:15 123:2,9 127:19 143:10 143:13,20 155:3 156:8 top 36:18,19 98:7 111:22 168:12 169:14 193:13 194:1,6 195:7 197:5 201:16,18 202:2,4,19 203:13 208:15 208:18 215:19 215:23 216:4,5 218:9 topic 26:19 38:10 topics 37:21 38:11	topo 139:7,10 topographic 82:19 topped 36:8 tops 138:23 144:5 topsoil 209:3,8 209:16,17,19 tornado 26:21 total 18:19 31:19 112:10 175:12 tough 160:24 tourism 22:11 towards 94:16 201:20 town 8:12 towns 8:20 toxic 21:24 22:8,13,23 24:4,6 28:15 toxins 18:22 19:2 22:22 24:11 transcribed 220:9 transcript 84:7 220:10 transparency 20:13 22:14,15 transport 119:14 transported 111:7
thursday 6:12 6:12	155:4,11,16 156:2 161:4	tom 189:8,10 tomorrow 6:16 41:3 219:23	total 18:19 31:19 112:10 175:12
till 113:19	165:10 167:5	tons 148:1 166:9 187:1	tough 160:24
tim 3:4 10:12	167:19 173:21	took 8:9 104:13 116:15 123:2,9 127:19 143:10 143:13,20 155:3 156:8	tourism 22:11
time 5:20 6:9 6:16 7:10 8:13 8:21 10:5,16 11:15 12:13 14:7,8,14,19 17:16 19:7 21:2 23:2 29:14 32:6 37:12 40:20 52:8 54:8 56:15,24 58:10 59:6,14 61:1 70:22 71:13 72:9,22 74:5,8 79:21 80:12 86:23 87:3,8 87:10 99:5 100:17,21 101:13 108:10 111:5,7 113:17 114:15 120:5	175:21 188:11 188:12 189:16 195:4 197:18 198:19 205:1 207:9 210:7 211:14 214:9 215:7 216:12 218:4 timeline 35:5 times 14:12 30:16 80:6 83:3 title 42:17 44:14 107:14 titled 168:11 177:20 today 5:9 8:1 30:1 37:10 38:24 39:12 44:10 96:4 107:10,19	top 36:18,19 98:7 111:22 168:12 169:14 193:13 194:1,6 195:7 197:5 201:16,18 202:2,4,19 203:13 208:15 208:18 215:19 215:23 216:4,5 218:9 topic 26:19 38:10 topics 37:21 38:11	towards 94:16 201:20 town 8:12 towns 8:20 toxic 21:24 22:8,13,23 24:4,6 28:15 toxins 18:22 19:2 22:22 24:11 transcribed 220:9 transcript 84:7 220:10 transparency 20:13 22:14,15 transport 119:14 transported 111:7

travel 59:17 136:4 treat 65:9 154:4 198:3,9 204:7 treated 36:13 67:19 87:14 154:1 156:17 treats 82:22 87:5 trees 140:19 tremendous 140:15 160:21 tri 7:5,8 45:23 tripled 217:16 tripp 3:10 30:24 31:2,2 troubling 12:8 truck 124:5,6,7 145:2 147:20 147:21 166:9 trucking 147:16 truckload 149:3 166:8 truckloads 144:2,4,7,17 146:20 147:11 147:13 166:2 166:12,16,18 166:24 174:7 175:14,16 178:20 180:23 186:14	trucks 116:16 123:10 125:22 126:6 143:22 144:18,20 147:15,18,24 166:8,21 true 22:9 44:4 44:7,19 80:24 92:8 107:6,18 192:21 220:10 truly 11:1 39:18 try 38:2 41:3 113:3 131:13 141:21 trying 14:13,23 24:6 25:14 191:13,15 tt 4:18 189:8 turbines 47:13 turn 53:12 58:24 61:10 93:15 137:19 177:16 189:7 199:11 turned 148:9 turning 64:7 135:3 143:14 turns 161:23 twenty 205:8 twice 14:13 29:3 30:6 140:17	two 13:23 23:12 26:22 32:20 39:6,9 39:10 47:13 49:22 95:24 109:7,7 123:20 124:4 161:21 172:1 185:24 185:24 type 50:15 52:4 101:15 117:5 125:18 129:6 129:15 136:15 136:17 188:11 typed 180:13 types 46:6 110:10,20 129:9 212:15 212:19 typewritten 169:14,19 177:17 u u 23:10 27:20 uh 109:16 149:7 165:4 186:20 ultimate 34:6 35:23 ultimately 7:22 115:2 unable 6:8 16:21	unburned 125:1,6 under 17:12 18:10 29:5 30:5 33:17 35:23 36:13 40:12 45:4 56:10 57:19 58:20 61:8,20 65:24 66:1 67:7,10 75:7 75:24 76:16 78:14 80:22 96:14 98:3 103:10,14 118:23 119:8 150:5 155:3 158:14 169:21 underlined 177:21 underlying 91:8 underneath 63:19 150:7,8 194:19 198:19 209:9 understand 7:22 8:14 16:21 21:11,16 21:18 22:21 24:14 44:9 53:2 81:11 86:15 89:7 93:6 107:9
---	---	--	---

111:18 169:8 191:16 203:3 211:21 213:3 219:7 understanding 65:13 68:4 88:12 91:3 100:24 153:6 157:21 191:18 unidentified 40:24 unique 33:15 71:24 unit 2:4 47:6,10 47:12 49:17,17 49:19,20 50:1 50:3,8,9,15,18 50:21 51:16 52:3,5,6,9 53:5 56:23 57:12 58:19,23 59:12 61:19 62:11,13 64:13 70:14 71:12 72:8 73:19 76:15 90:3 92:21 100:4,5,19 101:2,3,10,15 102:1 110:12 112:3,11,19,20 112:22 113:2,3 114:18 116:22 117:1,3,5,11,13 117:18,22	118:8,20 120:2 120:9,16 121:15,16,20 121:21,23 122:3,11,21,22 123:3,6 124:14 124:16,24 125:2,2,4,9,15 125:18,20,24 126:4,4,8,11,12 126:21 143:13 148:14 150:16 152:6,7,22 161:22,23 164:10 168:19 169:10 193:13 197:6 198:24 213:22 217:3 217:14 united 158:5 units 32:21,22 32:23,24 33:5 33:9,11,15,15 33:18,23 34:3 34:11,23,24 35:14 36:22 37:3 39:18 47:9 49:15,23 50:9 51:17,20 51:24,24 53:14 53:15,16 62:17 63:3,4 64:2 68:10,11,13,14 69:7,18,21	70:18 73:11 76:7,11 77:3 91:12 101:7,9 103:9,13 110:2 110:5,7,10,11 110:14,18,19 110:20,21 111:1,2,4,10,15 112:6,9,21 113:1,6 114:14 114:16 116:3,6 116:19 124:17 124:18 125:2,5 127:3,5 140:5 141:4,9 142:2 142:11 143:6 147:21 149:16 149:20,23 150:10,14,18 151:21,21,21 153:24 154:1 159:3 160:7 161:18,21 162:8,14 164:17 166:5 198:21 university 10:15 42:11 104:23 unlined 24:11 195:24 unwater 206:16,22	unwatered 204:23 unwatering 207:1,4 upgradient 49:1,2 uphill 48:14 uphold 25:14 upsets 195:7 urge 11:22 29:14 urging 23:3 usda 8:18 use 24:19 27:8 31:6 33:14 35:22 43:15 52:16 53:1 73:5 74:9,10 74:20,21 75:7 75:9,21,23 79:2 91:24 100:8 113:20 121:1 157:3 191:15 196:23 196:23 198:9 213:2 used 33:19 35:22 47:16 48:5 50:19 51:8 52:11 55:2,5,6 56:23 58:9 59:13 62:7 64:12,13 64:24 74:24
---	--	---	--

[used - water]

Page 64

76:19 112:21 120:20 127:21 129:7,15 133:4 136:15 138:8 138:12,13,20 138:21 146:7 147:3,14 148:8 148:22,23 153:4 157:9 159:6,9,15 191:21 192:20 193:14,15 195:5 197:6 209:10 212:15 212:19 213:12 214:17,22 216:12 usepa 35:1 80:22 user 31:3 uses 173:5 213:1 using 25:3 65:3 77:1 161:13 164:13 166:9 192:11 193:22 usually 61:1 119:22 utilities 45:16 45:16 82:12 utility 19:20 utilized 153:2	v vacuum 113:20 120:20,21 valuable 74:24 value 88:6 values 88:4 valve 137:10 various 37:20 37:20 79:8 80:2,6 83:4,17 96:16 97:15 141:3 167:7 212:19 vehicle 216:13 verbs 87:2,4 verified 75:20 75:23 version 108:1 108:17 165:18 versus 129:14 viable 74:9,10 vice 105:17,18 105:23 vicinity 48:11 viewed 69:2 156:13,14 violation 66:9 66:12 67:9 165:13 virtue 14:2 visible 60:24 vistra 43:9	voice 22:20 volume 87:13 110:18 141:12 141:13 142:6 142:23 148:12 148:13,16 166:21 210:20 volumes 213:19 213:21 vp 192:14,15 w w 19:15 42:6,6 wacker 2:9,12 wait 200:20 waiting 123:16 waive 27:5 walk 45:6 68:3 70:13 108:4 wallet 9:14 want 7:9,16 10:24 16:3,9 16:12 18:21 26:2,5 78:1,23 81:1,24 87:21 91:21 102:1 115:18 123:13 141:19,20 144:7 149:12 158:18 167:22 178:18 186:6 196:20 200:3 213:4,5	wanted 38:23 38:24 39:4 65:23 77:17 103:3,8,13 153:11 wards 26:13 washed 160:19 161:1 washing 178:6 178:14,14 washington 7:4 waste 110:2 151:15 160:5 160:18,22,24 161:3,8,10,11 171:7 wastewater 47:22,24 water 12:3,14 12:21 15:5 17:4 18:22 19:1,17 22:7,8 22:10,12,23 23:17 24:18,19 25:11 26:16,17 28:14 29:7 30:16 31:6,23 34:4 47:16 48:2,5,8,11,16 48:24 49:4,5 49:10 54:3,5 54:13,16,17,20 54:22 55:3,13 55:15,19,19,22
--	--	---	---

56:3,4,18,20	157:4,6,10,13	82:5 91:10	19:8,12 20:17
57:3,5,6,17	157:17,21,21	94:5,10 96:3	20:21,23 23:5
58:2,5,6,7 59:4	158:4,5 168:16	99:11 101:19	23:7 25:19
59:9,17,18,21	177:9,10 178:8	102:22 103:21	26:3,11 27:16
59:23,24 60:1	178:10 184:6	116:23 149:17	29:17 30:23
60:3,4,5,12,14	184:10 188:4	158:20 205:12	32:9 38:15
60:19,21,24	195:3,9,10,18	watson's 88:24	40:21 41:2,12
61:1 62:13	195:20,23	94:20 127:4	41:16,21 77:15
72:2 86:24	196:1,7 199:8	156:19	77:18,24 78:4
102:17,20	199:10 200:2	waugh 1:22	78:8,11 84:1
112:1 113:16	200:23 201:14	220:4,16	84:12,16,21
113:21,21	201:19 202:10	way 13:13	85:5 86:2,9
114:4,9,22	202:19,23	22:24 28:18	89:4,9,13,16,23
115:8,11,13	207:17,19	41:1 50:22	90:14 94:13
116:1 118:5,11	213:5,6,7,17	69:1 71:6	95:3,11,19,23
118:16,17,21	214:8 217:14	84:22 109:11	99:6 102:8
120:4,7,10,20	217:17,19	109:12 116:14	103:20,23
121:2,4,7,8	218:10 219:1,3	134:7 140:20	104:2 131:11
124:11 127:19	219:5,7,11	141:22 171:21	158:1,9,13
128:8,21,23	water's 34:6	178:11 188:4	160:14 165:4
129:3,4,5,12,14	208:1	188:19 199:13	170:11,14
129:15 130:8	waterfront	200:3	171:1,10,20
130:21 131:1,5	13:23	ways 74:24	172:13,23
131:18,20	waters 28:17	75:2	176:6 177:22
133:14,19,20	73:8	we've 19:9 28:9	179:24 183:18
134:1,4,13	waterways	28:18 70:16	185:16 189:4
135:5,17,19,21	18:2	75:19 139:8	189:10,18
136:4,9,13,16	watson 3:16	140:4 173:19	192:11,23
136:18,20,22	4:4,6 33:12	weather 119:11	197:7,11 198:6
137:1,4,5,7,8	41:20,24 42:6	webb 1:12 5:3	202:12,20
138:3,5,13,17	42:7 43:12	5:4 6:6 8:2	212:4 218:16
139:3,9 142:8	44:15,16 48:10	10:2,7 11:16	218:19 219:17
142:12 143:20	49:13 67:24	13:9,18 15:16	219:20
151:17 152:24	77:14 78:13,17	15:23 17:17	

weeds 62:2	184:24	179:23 185:15	world 9:19
week 138:23	western 132:7	189:11 192:9	worried 11:13
206:22	westernmost	202:15 211:20	worsen 12:9
week's 144:5	216:15,20	211:24 220:12	worth 144:5,20
144:19	wet 51:10	witnesses 3:15	wow 14:8
weeks 34:2	111:16 112:12	33:3,12 34:10	wrap 10:2
109:8 147:17	112:15 115:6	35:17 36:2,2	25:19,21
172:1 205:2	119:14 150:17	36:10 37:6,18	written 6:9,14
207:2,2	150:20 190:8	37:19,20,22	13:2 16:11
weight 6:14	whereof 220:12	38:3,9,11	109:11 166:2,5
welcoming	whitecotton 3:7	171:15 172:1	208:14
38:5	16:1 19:9,11	woman 13:11	wrong 40:15
wells 31:12	19:14,14	women 25:2	x
48:11,21,22	wicket 128:12	won 158:4	x 3:1 4:1 92:15
wendell 3:16	wickets 128:11	word 86:19	y
4:4,6 33:12	136:12 188:16	words 86:21	y 92:15
41:20,24 42:6	wife 17:24	92:15 108:6	yard 146:15
44:15 137:2	26:12	109:14	147:7 168:15
went 26:21	william 23:14	work 28:1	177:6,6 178:23
55:20 59:21	williamson 5:9	38:19 43:4,7	182:16 193:14
60:1 97:16	10:18 28:9	79:23 105:4,7	yards 181:22
112:1,23,23,24	willing 77:10	144:20	yeah 11:19,20
113:1,6 114:3	withdrew 67:8	worked 19:22	21:1 42:12
114:18 115:20	witness 38:6	43:8 53:8,9	43:6 53:7,10
116:9 117:16	41:8,14,18,18	79:21 101:18	70:6 74:23
118:4,13 119:5	41:22,23 77:19	105:5,14	77:8 82:4
124:7 125:22	89:11 91:7	116:12 171:6	84:14 93:22
136:21 138:6,8	94:21,22 102:9	173:21	95:19 96:21
145:23 159:23	103:22,24	working 54:8	99:14 101:12
167:3 177:10	104:3,4 160:5	57:15 80:11,15	102:4 109:13
217:15	160:5 168:5	100:17 103:7	113:24 117:24
west 132:6	170:23 171:8	106:11 151:2	118:1,3 125:11
133:22 134:9	171:22 172:3	165:10,16	129:12 131:11
175:4 178:6	176:3,5 179:19	181:8 205:15	

[yeah - zinc]

Page 67

133:21 134:3	yesterday
135:1,1 140:9	108:2
141:11,13	z
142:13,18	zinc 31:14
143:2,3 144:11	
144:14,22	
145:14 147:23	
149:13,13	
154:10,15,21	
155:15 157:9	
162:13 168:8	
177:24 178:13	
181:17 182:15	
189:15 191:13	
192:18 198:7	
199:18 200:9	
200:12 202:20	
203:10,22	
206:23 208:14	
213:10 219:12	
year 10:19	
36:24 65:15	
103:5 119:21	
119:23 140:17	
years 9:3,4,11	
23:12 24:21	
43:9 63:13	
113:2 158:5	
159:11,19	
185:21,24,24	
203:9,16	
yellow 217:7	
yep 167:13	