Electronic Filing: Received, Clerk's Office 2/23/2022

Page 1

BEFORE THE ILLINOIS POLLUTION CONTROL BOARD IN THE MATTER OF: ) Amendments to 35 Ill. Adm. Code, ) No. R22-17 Part 203: Major Stationary ) Sources Construction and ) Modification, 35 Ill. Adm. Code ) Part 204: Prevention of ) Significant Deterioration, and ) Part 232: Toxic Air Contaminants

REPORT OF THE PROCEEDINGS held in the above-entitled cause before HEARING OFFICER DANIEL PAULEY, called by the Illinois Pollution Control Board, 100 West Randolph Street, Chicago, Illinois, on the 17th day of February, 2022, commencing at the hour of 9:00 a.m.

Reported By: Raelene Stamm, CSR License No.: 084-004445

Г

February	17,	202
----------	-----	-----

	Page 2
1	APPEARANCES:
2	
3	MR. DANIEL PAULEY, Hearing Officer (via video)
4	MS. CHLOE SALK (via video)
5	MS. CYNTHIA SANTOS, Board Member
6	MS. JENNIFER VAN WIE, Board Member
7	MS. ANASTASIA PALIVOS, Board Member
8	MR. ANAND RAO, Board Member
9	
10	ILLINOIS ENVIRONMENTAL PROTECTION AGENCY
11	BY: MS. SALLY CARTER (via video)
12	MR. JASON SCHNEPP (via video)
13	1021 North Grand Avenue East
14	PO Box 19276
15	Springfield, Illinois 62794
16	(217) 782-5544
17	On behalf of the Illinois
18	Environmental Protection Agency;
19	
20	
21	
22	
23	
24	

Г

		Page	3
1	APPEARANCES: (Continued)		
2			
3	HEPLER BROOM, LLC		
4	BY: MS. MELISSA BROWN (via video)		
5	MR. ALEX DAVIS		
6	MS. LADONNA DRIVER		
7	4340 Acer Grove Drive		
8	Springfield, Illinois 62711		
9	(217) 993-6077		
10	On behalf of the Illinois		
11	Environmental Regulatory Group.		
12			
13	ALSO PRESENT:		
14			
15	MR. COLIN CAMPBELL		
16			
17			
18			
19			
20			
21			
22			
23			
24			

Page 4 1 HEARING OFFICER PAULEY: Good morning and welcome to the Illinois Pollution Control Board 2 3 hearing. My name is Daniel Pauley, and I am the hearing officer for the rulemaking proceedings 4 5 entitled, Amendments to Part 203, Major Stationary 6 Courses Construction and Modification; 204, 7 Prevention of Significant Deterioration; and 232, Toxic Air Contaminants of Forced Air Pollution. 8 The board docket number for this rulemaking is 9 R22-17. 10 11 Also present today from the board here in 12 Springfield, we have Board Member Michelle Gibson 13 and Attorney Advisor Chloe Salk. In Chicago we have Board Member Anastasia Palivos, assigned board 14 15 member, Advisor Attorney Carlie Leoni, and Anand Rao, Board's technical unit, as well as Vanessa 16 17 Horton, advisor to the chair. 18 And I don't think -- am I missing anybody, 19 Anand? 20 MR. RAO: No. HEARING OFFICER PAULEY: This hearing is 21 governed by the board's procedural rules. All 22 23 information that is relevant is not --24 (Reporter clarification.)

	Page 5
1	HEARING OFFICER PAULEY: This hearing is
2	governed by the Board's procedural rules. All
3	information that is relevant and that is not
4	repetitious or privileged will be admitted into the
5	record. Please bear in mind that any questions
б	posed today by the Board and its staff are intended
7	solely to help develop a clear and complete record
8	for the Board's decision and do not reflect any
9	decision on the proposal estimate.
10	For the sake of our court reporter, please
11	speak clearly and avoid speaking at the same time
12	as another person so that we can produce a clear
13	transcript.
14	The Illinois Environmental Regulatory
15	Group, or IERG, filed this rulemaking proposal to
16	the Board on August 16th of 2021.
17	MR. RAO: Danny, are we losing you?
18	HEARING OFFICER PAULEY: I was hearing a lot of
19	rustling, so I was waiting for a second.
20	In mid December 2021, the Board published
21	notice of this hearing in eleven newspapers across
22	the state. December 10, 2021, the hearing officer
23	directed participants intending to testify at this
24	hearing to prefile their testimony by January 6,

Page 6 1 2022. On that day the Board received prefiled testimony on behalf of IERG by Alec Davis and Colin 2 3 Campbell. No other participants prefiled 4 testimony. January 27 with the hearing officer order, 5 6 the Board attached 31 questions with the hope of 7 expediting a hearing without requiring a written response or setting a deadline for one. 8 February 15, 2022, IERG prefiled answers 9 to the Board's questions. 10 11 Next we will begin with IERG's prefiled 12 testimony of Alec Davis. 13 (Reporter clarification.) HEARING OFFICER PAULEY: Section 104.424F of 14 15 the Board's procedural rules provides that this 16 prefiled testimony will be entered into the record 17 as if read. IERG and Mr. Davis may begin with your 18 19 brief introduction or summary if they wish to do 20 so. We'll then turn to questions for Mr. Davis. Following this, we will move to the second IERG 21 22 witness prefiled testimony, Mr. Colin Campbell, and 23 also will be entered into the record as if read. 24 Mr. Campbell may begin with a brief introduction or

	Page 7
1	summary if he wishes to do so. We will then turn
2	to questions for Mr. Campbell.
3	As time allows, we can determine whether
4	anyone wishes to offer a public comment.
5	Hearing and seeing none, we will continue.
6	So IERG will the court reporter please
7	swear in the first IERG witness, Mr. Davis?
8	(WHEREUPON, the witness was
9	duly sworn.)
10	HEARING OFFICER PAULEY: As mentioned earlier,
11	the prefiled testimony is entered into the record
12	as if read. This is prefiled testimony exhibit?
13	MS. BROWN: Yes, please.
14	HEARING OFFICER PAULEY: Thank you.
15	Does IERG or Mr. Davis wish to offer a
16	brief introduction or summary?
17	MR. DAVIS: My name is Alec Davis, executive
18	director at the Illinois Environmental Regulatory
19	Group, or IERG, IERG is an Illinois nonprofit
20	corporation affiliated with the Illinois Chamber of
21	Commerce. It is comprised of 50 member companies
22	that are regulated by governmental agencies that
23	promulgate, enforce or administer environmental
24	laws, rules, regulations or other policies. IERG

1 was founded in 1985 and is a frequent participant 2 in regulatory development and rulemakings that have 3 the potential to impact businesses in Illinois. In this rulemaking IERG proposes to amend 4 the Pollution Control Board's review regulations at 5 6 35 Illinois Administrative Code, Part 203. IERG's 7 proposal intended to make the Board's nonattainment new source review regulations up to date and 8 consistent with the federal nonattainment resource 9 review regulation. Part 203 was last amended in 10 11 1998, and significant amendments to the federal 12 regulations have been made since that time. 13 As such, not only does IERG's proposal make Part 203 language more consistent with the 14 15 federal regulatory language, but also provisions are present in the federal regulations but are not 16 17 in the current Part 203 regulations. Amendments are also intended to make --18 (Reporter clarification.) 19 20 MR. DAVIS: The proposed amendments are also intended to make the nonattainment new source 21 22 review regulations at Part 203 as consistent as 23 possible with the regulatory structure and language 24 used in the prevention of significant deterioration

> L.A. Court Reporters, L.L.C. 312-419-9292

Page 8

Page 9 1 rules at 35 Illinois Administrative Code, Part 204. 2 Thank you. 3 HEARING OFFICER PAULEY: All right. I'd also like to make a note that Member Van Wie has joined 4 5 the meeting or hearing. 6 As I stated earlier, IERG prefiled answers 7 to the Board's questions on February 15, 2022. Ιf there's no objection, we will enter Mr. Davis's 8 answers into the record as if read. 9 10 Thank you. 11 If Mr. Davis is ready, we'll proceed to 12 any questions. If any member of the audience has a 13 question, raise your hand, get my attention, and we'll go from there. 14 15 All right. Without hearing anybody asking 16 any questions, we'll move on to the next witness. 17 Thank you, Mr. Davis. 18 MR. RAO: Danny, I thought you were waiting for 19 the audience to ask questions. I have one 20 follow-up. HEARING OFFICER PAULEY: Sorry. Go ahead. 21 22 Sorry, I was including you in that statement. I'm 23 sorry. 24 MR. RAO: No worries.

Page 10 Morning, Alec. Thank you very much for 1 2 all the detailed answers that you have provided to the Board. We have just one follow-up, and this is 3 4 in reference to Question 14A. I don't know if you 5 are the person to answer this, but I'll ask the 6 follow-up. 7 So it's basically in IERG's response to Ouestions 14A and B. You referred to some kind of 8 9 image inventory information or database, and we're just wondering if that inventory information is 10 11 part of the record or, if not, would it be possible 12 for IERG to submit that information? It is not in the record at this 13 MS. BROWN: 14 time, but yes, we can put it in the record. 15 Thank you. That's all I have. MR. RAO: 16 HEARING OFFICER PAULEY: Would the court 17 reporter please swear in the second IERG witness, 18 Mr. Campbell? 19 (WHEREUPON, the witness was 20 duly sworn.) 21 HEARING OFFICER PAULEY: Thank you. As mentioned earlier, the prefiled testimony is 22 23 entered into the record as if read. Would you like 24 to have the witness's prefiled testimony made a

## Electronic Filing: Received, Clerk's Office 2/23/2022

February 17, 2022

Page 11 1 hearing exhibit? 2 MS. BROWN: Yes. 3 HEARING OFFICER PAULEY: Thank you. 4 Does IERG or Mr. Campbell wish to offer a 5 brief introduction or summary? 6 MR. CAMPBELL: No, thank you. 7 HEARING OFFICER PAULEY: As stated early, IERG prefiled questions to the Board's questions on 8 February 15, 2022. If there's no objection, we 9 will enter Mr. Campbell's answers into the record 10 11 as if read. 12 And if Mr. Campbell is ready we'll proceed 13 to any further questions that people may have. 14 MR. RAO: I don't have any questions. 15 HEARING OFFICER PAULEY: Thank you. 16 That's it for Mr. Campbell then. Nobody 17 has questions. 18 Is there anybody who wishes to offer a 19 public comment? 20 So let me take a moment to address the issue of an economic impact statement. Section 27B 21 22 of the Environmental Protection Act provides that 23 the Board must request that the Department of 24 Commerce and Economic Opportunity, DCEO, conduct an

1 economic impact study of proposed rules before the 2 Board adopts the rules. 3 The Board must make either the economic 4 impact study or the department's explanation for 5 not conducting one available to the public at least 6 20 days before a public hearing. 7 In a letter dated September 9, 2021, the Board's chair, Barbara Flynn Currie, requested that 8 DCEO conduct an economic impact study of this 9 rulemaking proposal. 10 11 November 22, 2021, the Board received a 12 letter from the DCEO declining to conduct an 13 economic impact study. Is there anyone present today who would 14 15 like to testify regarding the Board's request for a 16 study and DCEO's response? 17 We'll go off the record for a minute. 18 (WHEREUPON, a short recess was 19 taken.) 20 HEARING OFFICER PAULEY: All right. So we went off the record to discuss procedural issues. The 21 22 pre-filing deadline for the second hearing is 23 March 10, 2022, for the April 7, 2022, hearing held 24 between Springfield and Chicago.

1 A copy of the transcripts of today's 2 hearing are expected to be later no later than 3 Thursday, February 24, 2022. Promptly after the 4 Board receives the transcript it will be posted to 5 COOL, our online clerk system, from which it can be 6 viewed and printed. 7 Are there any other matters that need to be addressed at this time? 8 MS. CARTER: This is the Illinois EPA, 9 Sally Carter. The agency does intend on 10 11 posthearing comments, so I just wanted to make the 12 Board aware of that. So I don't know if you guys 13 would like a date that those would qualify or what you're looking for. I wanted to make you aware of 14 15 that. 16 HEARING OFFICER PAULEY: Thank you. Did you quys have a date in mind that you would -- can we 17 18 go off the record for just a minute? (WHEREUPON, a discussion was had 19 20 off the record.) HEARING OFFICER PAULEY: All right. So we just 21 discussed IERG filing post hearing comments, and 22 they are going to file at least two weeks before 23 24 the next hearing which again is April 7, 2022.

> L.A. Court Reporters, L.L.C. 312-419-9292

Page 13

	Page 14
1	MS. CARTER: You said IERG.
2	HEARING OFFICER PAULEY: I apologize. IEPA is
3	to file the posthearing comments.
4	All right. So are there any other matters
5	that need to be addressed at this time?
6	Seeing none, I would like to thank
7	everyone for participating today. This first
8	hearing is adjourned.
9	(WHEREUPON, these were all the
10	proceedings had at this time.)
11	
12	
13	
14	
15	
16	
17	
18	
19	
20	
21	
22	
23	
24	

Electronic Filing: Received, Clerk's Office 2/23/2022

February 17, 2022

Page 15 1 STATE OF ILLINOIS ) 2 ) SS: COUNTY OF C O O K 3 ) 4 5 RAELENE STAMM being first duly sworn, on 6 oath says that she is a court reporter doing 7 business in the City of Chicago; and that she 8 reported in shorthand the proceedings of said 9 hearing, and that the foregoing is a true and 10 correct transcript of her shorthand notes so taken 11 as aforesaid, and contains the proceedings given at 12 said hearing. 13 14 15 Certified Shorthand Reporter 16 17 18 19 20 21 22 23 24

<b></b>				Page 16
A	<b>April</b> 12:23 13:24	<b>Campbell's</b> 11:10	corporation 7:20	discuss 12:21
<b>a.m</b> 1:19	asking 9:15	Carlie 4:15	<b>correct</b> 15:10	discussed 13:22
above-entitled	assigned 4:14	Carter 2:11 13:9	<b>COUNTY</b> 15:3	discussion 13:19
1:15	attached 6:6	13:10 14:1	Courses 4:6	docket 4:9
Acer 3:7	attention 9:13	cause 1:15	court 5:10 7:6	doing 15:6
Act 11:22	<b>Attorney</b> 4:13,15	Certified 15:15	10:16 15:6	Drive 3:7
address 11:20	audience 9:12,19	<b>chair</b> 4:17 12:8	<b>CSR</b> 1:23	<b>DRIVER</b> 3:6
addressed 13:8	August 5:16	Chamber 7:20	current 8:17	duly 7:9 10:20
14:5	available 12:5	Chicago 1:17 4:13	Currie 12:8	15:5
adjourned 14:8	Avenue 2:13	12:24 15:7	CYNTHIA 2:5	
<b>Adm</b> 1:5,8	avoid 5:11	<b>Chloe</b> 2:4 4:13		E
administer 7:23	<b>aware</b> 13:12,14	<b>City</b> 15:7	D	earlier 7:10 9:6
Administrative		clarification 4:24	<b>Daniel</b> 1:15 2:3	10:22
8:6 9:1	B	6:13 8:19	4:3	<b>early</b> 11:7
admitted 5:4	<b>B</b> 10:8	<b>clear</b> 5:7,12	<b>Danny</b> 5:17 9:18	East 2:13
adopts 12:2	Barbara 12:8	clearly 5:11	database 10:9	economic 11:21
advisor 4:13,15	basically 10:7	<b>clerk</b> 13:5	date 8:8 13:13,17	11:24 12:1,3,9
4:17	bear 5:5	<b>Code</b> 1:5,8 8:6 9:1	dated 12:7	12:13
affiliated 7:20	<b>behalf</b> 2:17 3:10	<b>Colin</b> 3:15 6:2,22	<b>Davis</b> 3:5 6:2,12	either 12:3
aforesaid 15:11	6:2	commencing 1:18	6:18,20 7:7,15	eleven 5:21
agencies 7:22	<b>board</b> 1:1,17 2:5,6	comment 7:4	7:17,17 8:20	enforce 7:23
agency 2:10,18	2:7,8 4:2,9,11	11:19	9:11,17	enter 9:8 11:10
13:10	4:12,14,14 5:6	comments 13:11	<b>Davis's</b> 9:8	<b>entered</b> 6:16,23
<b>ahead</b> 9:21	5:16,20 6:1,6	13:22 14:3	day 1:18 6:1	7:11 10:23
<b>Air</b> 1:11 4:8,8	10:3 11:23 12:2	Commerce 7:21	days 12:6	entitled 4:5
Alec 6:2,12 7:17	12:3,11 13:4,12	11:24	<b>DCEO</b> 11:24 12:9	environmental
10:1	<b>board's</b> 4:16,22	companies 7:21	12:12 DCEO1-12:16	2:10,18 3:11
<b>ALEX</b> 3:5	5:2,8 6:10,15	complete 5:7	<b>DCEO's</b> 12:16	5:14 7:18,23
allows 7:3	8:5,7 9:7 11:8	comprised 7:21	deadline 6:8	11:22 EDA 12:0
amend 8:4	12:8,15 <b>B</b> == 2:14	conduct 11:24	12:22	<b>EPA</b> 13:9
amended 8:10	<b>Box</b> 2:14	12:9,12	December 5:20,22	
amendments 1:5	<b>brief</b> 6:19,24 7:16	conducting 12:5	decision 5:8,9	<b>executive</b> 7:17
4:5 8:11,17,20	11:5 <b>BROOM</b> 3:3	consistent 8:9,14	declining 12:12 Department	exhibit 7:12 11:1
Anand 2:8 4:15		8:22	11:23	expected 13:2
4:19	<b>BROWN</b> 3:4 7:13 10:13 11:2	<b>Construction</b> 1:7		expediting 6:7
Anastasia 2:7	<b>business</b> 15:7	4:6	<b>department's</b> 12:4	explanation 12:4
4:14	business 13:7 businesses 8:3	contains 15:11	detailed 10:2	F
<b>answer</b> 10:5	Dusinesses 0.5	Contaminants	deterioration 1:10	<b>February</b> 1:18 6:9
answers 6:9 9:6,9	C	1:11 4:8	4:7 8:24	9:7 11:9 13:3
10:2 11:10	<b>C</b> 15:3	continue 7:5	<b>determine</b> 7:3	<b>federal</b> 8:9,11,15
anybody 4:18	<b>called</b> 1:16	Continued 3:1	develop 5:7	8:16
9:15 11:18	Campbell 3:15	<b>Control</b> 1:1,16 4:2	development 8:2	<b>file</b> 13:23 14:3
apologize 14:2	6:3,22,24 7:2	8:5 COOL 12:5	directed 5:23	<b>filed</b> 5:15
APPEARANCES	10:18 11:4,6,12	<b>COOL</b> 13:5	director 7:18	<b>filing</b> 13:22
2:1 3:1	11:16	<b>copy</b> 13:1		<b>first</b> 7:7 14:7 15:5
	l	l	l	

Page 17

**IEPA** 14:2 **laws** 7:24 number 4:9 **Flvnn** 12:8 **post** 13:22 follow-up 9:20 **IERG** 5:15 6:2.9 **Leoni** 4:15 **posted** 13:4 0 10:3,6 **letter** 12:7,12 posthearing 13:11 6:18,21 7:6,7,15 **O**15:3,3 Following 6:21 7:19,19,24 8:4 License 1:24 14:3 oath 15:6 Forced 4:8 9:6 10:12,17 **LLC** 3:3 potential 8:3 objection 9:8 11:9 foregoing 15:9 11:4,7 13:22 **looking** 13:14 pre-filing 12:22 offer 7:4,15 11:4 founded 8:1 **losing** 5:17 14:1 prefile 5:24 11:18 lot 5:18 frequent 8:1 **IERG's** 6:11 8:6 prefiled 6:1,3,9,11 officer 1:15 2:3 further 11:13 8:13 10:7 6:16,22 7:11,12 Μ 4:1,4,21 5:1,18 9:6 10:22,24 **Ill** 1:5,8 G **Major** 1:6 4:5 5:22 6:5,14 7:10 **Illinois** 1:1,16,17 11:8 **Gibson** 4:12 **March** 12:23 7:14 9:3,21 2:10,15,17 3:8 present 3:13 4:11 given 15:11 **MATTER** 1:3 10:16,21 11:3,7 3:10 4:2 5:14 8:16 12:14 **go** 9:14,21 12:17 **matters** 13:7 14:4 11:15 12:20 7:18,19,20 8:3,6 prevention 1:9 13:18 meeting 9:5 13:16,21 14:2 9:1 13:9 15:1 4:7 8:24 **going** 13:23 MELISSA 3:4 **online** 13:5 image 10:9 printed 13:6 Good 4:1 member 2:5,6,7,8 **Opportunity impact** 8:3 11:21 privileged 5:4 governed 4:22 5:2 4:12.14.15 7:21 11:24 12:1,4,9,13 procedural 4:22 governmental **order** 6:5 9:4.12 including 9:22 5:2 6:15 12:21 7:22 mentioned 7:10 information 4:23 proceed 9:11 Р Grand 2:13 10:22 5:3 10:9,10,12 11:12 **Palivos** 2:7 4:14 Group 3:11 5:15 Michelle 4:12 intend 13:10 proceedings 1:14 part 1:6.9.11 4:5 7:19 **mid** 5:20 4:4 14:10 15:8 **intended** 5:6 8:7 8:6,10,14,17,22 Grove 3:7 **mind** 5:5 13:17 8:18.21 15:11 9:1 10:11 **guys** 13:12,17 **minute** 12:17 intending 5:23 produce 5:12 participant 8:1 13:18 introduction 6:19 **Promptly** 13:3 Η participants 5:23 missing 4:18 promulgate 7:23 6:24 7:16 11:5 hand 9:13 6:3 **Modification** 1:8 **proposal** 5:9,15 **inventory** 10:9,10 hearing 1:15 2:3 participating 14:7 4:6**issue** 11:21 8:7,13 12:10 Pauley 1:16 2:3 4:1,3,4,21,21 **moment** 11:20 **issues** 12:21 proposed 8:20 5:1,1,18,18,21 4:1,3,21 5:1,18 morning 4:1 10:1 12:1 5:22,24 6:5,7,14 6:14 7:10,14 9:3 J move 6:21 9:16 proposes 8:4 9:21 10:16,21 7:5,10,14 9:3,5 **January** 5:24 6:5 **Protection** 2:10 Ν 9:15,21 10:16,21 11:3,7,15 12:20 **JASON** 2:12 2:18 11:22 11:1,3,7,15 12:6 name 4:3 7:17 13:16.21 14:2 **JENNIFER** 2:6 provided 10:2 need 13:7 14:5 12:20,22,23 13:2 **people** 11:13 joined 9:4 provides 6:15 person 5:12 10:5 13:16,21,22,24 **new** 8:8,21 11:22 Κ 14:2,8 15:9,12 newspapers 5:21 please 5:5,10 7:6 provisions 8:15 held 1:14 12:23 nonattainment 7:13 10:17 **K**15:3 public 7:4 11:19 **help** 5:7 **kind** 10:8 8:7.9.21 **PO** 2:14 12:5.6 **HEPLER** 3:3 nonprofit 7:19 policies 7:24 **know** 10:4 13:12 published 5:20 **Pollution** 1:1,16 **hope** 6:6 **North** 2:13 **put** 10:14 L **Horton** 4:17 **note** 9:4 4:2,8 8:5 LADONNA 3:6 hour 1:19 **notes** 15:10 **posed** 5:6 Q **language** 8:14,15 possible 8:23 **notice** 5:21 qualify 13:13 Ι 8:23 10:11 November 12:11

				Page 18
question 9:13	10:17 15:6,15	3:8 4:12 12:24	transcripts 13:1	<b>10</b> 5:22 12:23
10:4	request 11:23	<b>SS</b> 15:2	<b>true</b> 15:9	<b>100</b> 1:17
questions 5:5 6:6	12:15	staff 5:6	<b>turn</b> 6:20 7:1	<b>1021</b> 2:13
6:10,20 7:2 9:7	requested 12:8	Stamm 1:23 15:5	<b>two</b> 13:23	<b>104.424F</b> 6:14
9:12,16,19 10:8	requiring 6:7	state 5:22 15:1		<b>14A</b> 10:4,8
11:8,8,13,14,17	resource 8:9	stated 9:6 11:7	U	<b>15</b> 6:9 9:7 11:9
	<b>response</b> 6:8 10:7	statement 9:22	<b>unit</b> 4:16	<b>16th</b> 5:16
R	12:16	11:21		<b>17th</b> 1:18
<b>R22-17</b> 1:5 4:10	review 8:5,8,10,22	Stationary 1:6 4:5	V	<b>19276</b> 2:14
Raelene 1:23 15:5	right 9:3,15 12:20	<b>Street</b> 1:17	<b>Van</b> 2:6 9:4	<b>1985</b> 8:1
<b>raise</b> 9:13	13:21 14:4	structure 8:23	<b>Vanessa</b> 4:16	<b>1998</b> 8:11
Randolph 1:17	<b>rulemaking</b> 4:4,9	study 12:1,4,9,13	<b>video</b> 2:3,4,11,12	
<b>Rao</b> 2:8 4:16,20	5:15 8:4 12:10	12:16	3:4	2
5:17 9:18,24	rulemakings 8:2	submit 10:12	<b>viewed</b> 13:6	<b>20</b> 12:6
10:15 11:14	rules 4:22 5:2	summary 6:19 7:1		<b>2021</b> 5:16,20,22
read 6:17,23 7:12	6:15 7:24 9:1	7:16 11:5	W	12:7,11
9:9 10:23 11:11	12:1,2	swear 7:7 10:17	waiting 5:19 9:18	2022 1:18 6:1,9
ready 9:11 11:12	rustling 5:19	sworn 7:9 10:20	wanted 13:11,14	9:7 11:9 12:23
<b>received</b> 6:1 12:11	Tusting 5.17	15:5	<b>we'll</b> 6:20 9:11,14	12:23 13:3,24
receives 13:4	S	system 13:5	9:16 11:12	203 1:6 4:5 8:6,10
recess 12:18	sake 5:10	5 <b>y5tem</b> 15.5	12:17	8:14,17,22
record 5:5,7 6:16	Salk 2:4 4:13	Т	<b>we're</b> 10:9	<b>204</b> 1:9 4:6 9:1
6:23 7:11 9:9	Sally 2:11 13:10	take 11:20	weeks 13:23	<b>217</b> 2:16 3:9
10:11,13,14,23	SANTOS 2:5	<b>taken</b> 12:19 15:10	welcome 4:2	<b>22</b> 12:11
11:10 12:17,21	says 15:6	technical 4:16	went 12:20	<b>232</b> 1:11 4:7
13:18,20	<b>SCHNEPP</b> 2:12	testify 5:23 12:15	<b>West</b> 1:17	<b>24</b> 13:3
reference 10:4	second 5:19 6:21	testimony 5:24	<b>Wie</b> 2:6 9:4	27 6:5
referred 10:8	10:17 12:22	6:2,4,12,16,22	wish 6:19 7:15	<b>27B</b> 11:21
reflect 5:8	Section 6:14	7:11,12 10:22,24	11:4	
regarding 12:15	11:21	thank 7:14 9:2,10	wishes 7:1,4 11:18	3
regulated 7:22	seeing 7:5 14:6	9:17 10:1,15,21	witness 6:22 7:7,8	<b>31</b> 6:6
regulation 8:10	September 12:7	11:3,6,15 13:16	9:16 10:17,19	<b>35</b> 1:5,8 8:6 9:1
regulations 7:24	setting 6:8	14:6	witness's 10:24	
8:5,8,12,16,17	<b>short</b> 12:18	think 4:18	wondering 10:10	4
8:22	shorthand 15:8	thought 9:18	<b>worries</b> 9:24	<b>4340</b> 3:7
regulatory 3:11	15:10,15	Thursday 13:3	written 6:7	
5:14 7:18 8:2,15	significant 1:10	time 5:11 7:3 8:12		5
8:23	4:7 8:11,24	10:14 13:8 14:5	X	<b>50</b> 7:21
relevant 4:23 5:3	solely 5:7	14:10	<u> </u>	6
repetitious 5:4	sorry 9:21,22,23	today 4:11 5:6	A	<b>6</b> 5:24
<b>REPORT</b> 1:14	source 8:8,21	12:14 14:7	Z	<b>62711</b> 3:8
reported 1:23	Sources 1:7	today's 13:1		<b>62794</b> 2:15
15:8	speak 5:11	<b>Toxic</b> 1:11 4:8	0	<b>U2</b> 1 <b>74</b> .1 <b>3</b>
reporter 4:24 5:10	speaking 5:11	transcript 5:13	<b>084-004445</b> 1:24	7
6:13 7:6 8:19	Springfield 2:15	13:4 15:10		7 12:23 13:24
	r 8		1	
			I	I

Page 19

			Fage 19
<b>782-5544</b> 2:16			
8	-		
	-		
<u>9</u> 912:7	-		
<b>9:00</b> 1:19			
<b>993-6077</b> 3:9			