1	BEFORE THE I	LLINOIS POLLUTION CO	NTROL BOARD
2			
3	IN THE MATTER OF:		
4	TED HARRISON OIL CO	MPANY	
5	Pe	etitioner,	
6	V:	s.	No. PCB 99-127
7	IEPA,		
8	Re	espondent.	
9			
10			
11	Th o	following is a trans	agarint of the
12	above-entitled matte		cally before Ann
13	Marie Hollo, CSR, Ri for the County of Mc Said hearing was ta	ontgomery and State	of Illinois.
14	2002, commencing at Pollution Control Bo	9:00 o'clock a.m. a	at the Illinois
15	Room 403, Springfie		second street,
16			
17			
18			
19			
20			
21			
22			
23			
2.4			

1	APPEARANCES:
2	ILLINOIS POLLUTION CONTROL BOARD 600 South Second Street
3	Suite 402 Springfield, Illinois 62704
4	By: Steven C. Langhoff, Hearing Officer
5	Hedinger Law Office
6	1225 South Sixth Street Springfield, Illinois 62703
7	By: Stephen F. Hedinger, Esq.
8	Appearing on behalf of the Petitioner
9	Illinois Environmental Protection Agency
10	1021 North Grand Avenue East P.O. Box 19276
11	Springfield, Illinois 62794-9276 By: Daniel P. Merriman, Esq.
12	
13	Appearing on behalf of the Respondent
14	INDEX
15	Douglas Oakley Page Examination by Mr. Hedinger
16	Valerie Davis Examination by Mr. Hedinger
17	Examination by Mr. Merriman
18	Examination by Mr. Hedinger
19	Ted Harrison Examination by Mr. Merriman
20	
21	EXHIBITS Marked Admitted
22	Petitioner's Exhibit Nos. 1 - 8 before hearing 97
23	
24	

1	HEARING OFFICER LANGHOFF: Good morning,
2	everyone. My name is Steven Langhoff. I'm the
3	Pollution Control Board Hearing Officer who is handling
4	this matter, and I will be holding the hearing today.
5	This is PCB 99-127, Ted Harrison Oil
6	Company versus Illinois Environmental Protection
7	Agency.
8	For the record, it is Wednesday, October 6,
9	2002, and we are beginning at 9:00 a.m. I want to note
10	for the record that there are no members of the public
11	present. Members of the public are encouraged and
12	allowed to provide public comment if they so choose.
13	At issue in this case is the January 25,
14	1999 Illinois Environmental Protection Agency or agency
15	decision denying certain reimbursement costs concerning
16	the Ted Harrison Oil Company, or the petitioner's
17	underground storage tanks located in Cass County,
18	Illinois. The Board accepted this matter for hearing on
19	May 6, 1999.
20	I want to take a brief moment and let you
21	know what is going to happen today and after the hearing
22	today. You should know that it is the Illinois
23	Pollution Control Board, and not me, that will make a
24	final decision in this case. My job as a hearing

officer requires that I conduct this hearing in a
neutral and orderly manner so that the Board has a clear
record of the proceedings here today.

It is also my responsibility to assess the credibility of any witnesses giving testimony today, and I will do so on the record at the conclusion of the proceedings.

We will begin with any opening statements from the parties. And then we will proceed with the petitioner's case, followed by the agency having an opportunity to put on a case in its behalf. We will conclude with any closing arguments that may wish to be made on the record today. And then we will discuss off the record a briefing schedule which will then be set on the record at the conclusion of the proceedings.

The Board's procedural rules and the Act provide that members of the public shall be allowed to speak or submit written statements at hearing. Any such person offering such testimony today shall be subject to cross examination by both of the parties. Any such statements offered by members of the public shall be relevant to the case at hand. I will call for any statements from members of the public at the conclusion of these proceedings.

1	This hearing was noticed pursuant to the
2	Act and the Board's rules and regulations and will be
3	conducted pursuant to Sections 101.600 through 101.632
4	and Part 105 of the Board's procedural rules.
5	At this time, I'll ask the parties to make
6	their appearances on the record beginning with the
7	petitioner.
8	MR. HEDINGER: My name is Steve Hedinger,
9	H-e-d-i-n-g-e-r. I'm an attorney for the petitioner,
10	Ted Harrison Oil Company. And with me at the table,
11	counsel table, is Mr. Ted Harrison present of the
12	company. Also accompanying us today are
13	Mrs. Harrison, who is here as an observer and member of
14	the public. And Jeff
15	MR. WEINHOFF: Weinhoff, W-e-i-n-h-o-f-f,
16	from CWM3 company consultant for Ted Harrison Oil
17	Company.
18	HEARING OFFICER LANGHOFF: Thank you,
19	Mr. Hedinger.
20	And for the agency?
21	MR. MERRIMAN: My name is Dan Merriman,
22	M-e-r-r-i-m-a-n.
23	Seated here to my left is Mr. Doug Oakley,
24	O-a-k-l-e-y, who is the manager of the LUST claims unit

from the LUST claims unit, s, from the LUST technical R LANGHOFF: Thank you,
R LANGHOFF: Thank you,
R LANGHOFF: Thank you,
preliminary matters
motions that need to be
The only pre-hearing I
ns I would have would be to
I'd be allowed to conduct
mployees as cross-examination
the Board's rules.
R LANGHOFF: Mr. Merriman?
Well, I see no reason to
I think that's certainly
uest that. And I think it is
agency witnesses as adverse
adverse.
R LANGHOFF: So no objection,

MR. MERRIMAN: No objection.

1	grant both those motions then, Mr. Hedinger.
2	And I'd ask the witnesses for the agency to
3	have a seat in the vestibule of our office right down
4	the hall here.
5	MR. HEDINGER: And for the record, we have
6	named Mr. Weinhoff on our witness list. So he
7	understands that he'll have to leave as well.
8	Mr. Harrison, even though he's on our
9	witness list, is a client. So he will stay with me.
10	MR. MERRIMAN: Mr. Oakley will be the
11	agency representative, and I would ask that he stay with
12	me.
13	HEARING OFFICER LANGHOFF: Thank you.
14	And, Mrs. Harrison is there a problem
15	with Mrs. Harrison?
16	MR. HEDINGER: She's not on the witness
17	list.
18	HEARING OFFICER LANGHOFF: Mr. Merriman?
19	MR. MERRIMAN: I have no problem with her
20	staying.
21	HEARING OFFICER LANGHOFF: Then we'll have
22	Mrs. Harrison then stay here in the hearing room, since

23 she will not be a witness, okay? 24 MR. HEDINGER: Yes. 7 KEEFE REPORTING COMPANY 1 HEARING OFFICER LANGHOFF: All right. 2 Would the petitioner, Mr. Hedinger, like to give a brief opening statement on behalf of his client? 3 4 MR. HEDINGER: We'll reserve our statements for the briefs. HEARING OFFICER LANGHOFF: Thank you. 6 And for the agency? 8 MR. MERRIMAN: The same. 9 HEARING OFFICER LANGHOFF: Thank you. Mr. Hedinger, call your first witness 10 please. 11 12 MR. HEDINGER: We would call Mr. Doug 13 Oakley please. HEARING OFFICER LANGHOFF: Mr. Oakley, 14 would you come right up here and have a seat by the 15 16 court reporter. If she has a question, I'm sure she'll 17 just stop you and ask you what something might mean. 18 All your acronyms, she might be asking you what those

THE DEPONENT: Okay, fine.

HEARING OFFICER LANGHOFF: And would you

19

mean.

23	[Witness sworn.]
24	HEARING OFFICER LANGHOFF: Thank you.
	8 KEEFE REPORTING COMPANY
1	DOUGLAS OAKLEY
2	of lawful age, being produced, sworn and examined on
3	the part of the Petitioner, testifies and says:
4	EXAMINATION
5	QUESTIONS BY MR. HEDINGER:
6	Q. Mr. Oakley, the notice to appear and
7	produce was served on you, or at least on the agency
8	concerning you, and ask that you bring documents with
9	you today. Did you bring any?
10	A. Yes, I did. As a matter of fact, I left
11	them on my I better get them.
12	Q. And as a preliminary matter, may I take a
13	look at what you brought with you? And go ahead and
14	have a seat.
15	I notice the top document here has written
16	on it attorney/client confidential communication,
17	attorney work product. Is this for my eyes,
18	Mr. Merriman?
19	MR. MERRIMAN: Apparently let me take a
20	look at that.

swear the witness please.

21	HEARING OFFICER LANGHOFF: Thank you,
22	Mr. Hedinger.
23	The hearing officer is handing the notice
24	to appear and produce here to Mr. Hedinger.
	9 KEEFE REPORTING COMPANY
1	MR. HEDINGER: I'm showing it to
2	Mr. Merriman.
3	MR. MERRIMAN: Okay. It's all in the
4	record.
5	MR. HEDINGER: Yes.
6	MR. MERRIMAN: Yeah.
7	MR. HEDINGER: The top page. So, Dan,
8	you're saying that there's nothing in the notice to
9	appear and produce beyond what's already been submitted
10	in the record?
11	MR. MERRIMAN: That's my understanding.
12	MR. HEDINGER: That is not confidential?
13	MR. MERRIMAN: That is my understanding,
14	yes.
15	MR. HEDINGER: Okay.
16	Q. Mr. Oakley, just for my
17	benefit, generally speaking and don't tell me the
18	contents of anything that may be privileged, but what
19	documents did you have in that pile that you handed me?

20	A. Essentially some brief type information
21	that Dan had written in regards to a summary judgment
22	motion. I had some notes. I think that's pretty much
23	it. It was just basically stuff that Dan had written in
24	regards to this hearing.
	10 KEEFE REPORTING COMPANY
1	Q. Okay, okay. All right. Very good.
2	Mr. Oakley
3	HEARING OFFICER LANGHOFF: I'm sorry,
4	Mr. Hedinger. This brings up a small question on my
5	part.
6	Mr. Merriman, I know the record has already
7	been tendered, and I see what I perceive to be the
8	record on your table. Do you have any desire to tender
9	that as exhibits today? Is there anything additional
10	that you plan on offering today?
11	MR. MERRIMAN: That's not already in the
12	record? No.
13	HEARING OFFICER LANGHOFF: That's right.
14	MR. MERRIMAN: No.
15	HEARING OFFICER LANGHOFF: And you're not
16	going to be handing me a copy of the record for these
17	proceedings, are you?
18	MR. MERRIMAN: Well, first, I was hoping

19	that this was I think when the record was filed, you
20	were not the assigned hearing officer. I was hoping
21	that the Board's copy would be available, if it was
22	necessary, today. This is the only copy that I have of
23	the record here. So if I tendered it, then I wouldn't
24	have a copy.

1	HEARING OFFICER LANGHOFF: And that's
2	fine. I'm sure there is one in Chicago. I checked the
3	file here today. There is not one. I don't have one,
4	nor do I want one. I was just asking. Sometimes it
5	seems that's what you do
6	MR. MERRIMAN: Well, sometimes we stipulate
7	to the admission of the record as a joint exhibit, but I
8	think the record and, Steve, correct me if your
9	thinking is any different that the record is already
10	with the agency before the Board.
11	MR. HEDINGER: It would be my understanding
12	it doesn't need to be tendered because it is already
13	before the Board, but if you would like a motion
14	HEARING OFFICER LANGHOFF: No. I just
15	wondered if that's what might happen.
16	MR. HEDINGER: I will tell you I have
17	copied some pages from the record.

18	HEARING OFFICER LANGHOFF: Okay. That's
19	fine.
20	MR. HEDINGER: That are stamped.
21	HEARING OFFICER LANGHOFF: That you intend
22	to offer? That's fine.
23	MR. HEDINGER: Yeah, just for simplicity.
24	MR. MERRIMAN: That's fine. That's what I
	12
	KEEFE REPORTING COMPANY
1	would assume they would be doing.
2	HEARING OFFICER LANGHOFF: That's fine. I
3	just had a small question about that. So I apologize,
4	Mr. Hedinger. Your witness.
5	MR. HEDINGER: That's right.
6	Q. Mr. Oakley, Mr. Merriman
7	introduced you as the manager of the LUST claims unit at
8	the bureau of land of the EPA; is that correct?
9	A. That's correct.
10	Q. Can you tell me first off, how long have
11	you been in that position?
12	A. I've been manager since 1997. Prior to
13	that, I was a subunit manager, and I've worked in the
14	LUST claims since its inception in actually, the
15	legislation was passed in July of '89 and I started in
16	January of 1990.

17	Q. So you've been working with LUST claims
18	since 1990?
19	A. That's correct.
20	Q. And LUST, we're talking about the Leaking
21	Underground Storage Tank program?
22	A. Yes.
23	Q. And you're here today, you understand, on
24	the appeal of Ted Harrison Oil Company from a
	KEEFE REPORTING COMPANY
1	reimbursement decision that the agency has made,
2	correct?
3	A. Correct.
4	Q. And just for the record, you understand I
5	may refer to the IEPA as either the IEPA or the agency,
6	but that's your agency, correct?
7	A. That's fine, yes.
8	Q. And, again, this reimbursement appeal in
9	PCB 99-127, you're familiar generally with that
10	reimbursement decision that your agency made, correct?
11	A. Yes.
12	Q. And you personally were involved with that
13	decision, correct?
14	A. That's correct.
15	Q. Can you tell me just briefly for the

16	record, what your job descriptions were at the time
17	in I guess it was 1999 that the decision was made on
18	this reimbursement application?
19	A. Well, I was and am the manager of the LUST
20	claims unit, and such that we have a staff of 10
21	accountants that review these claims to make sure that
22	costs are eligible, reasonable and associated with
23	agency approved corrective action. And that was what I
24	was doing in this particular instance, overseeing the

KEEFE REPORTING COMPANY

1	claims unit,	yes.
2	Q.	And when you say they are accountants on
3	your staff,	are they certified public accountants?
4	Α.	No.
5	Q.	What is their generally speaking, what
6	is their tra	ining and job requirements?
7	Α.	I have some college Bachelor's degrees.
8	Essentially,	they have learned this program from its
9	beginning.	
10	Q.	Okay.
11	Α.	So they qualified as accounting titles by
12	taking tests	through the State of Illinois.

Q. So we're talking about a civil service

13

14 accounting title?

15	A. Correct.
16	Q. And what is your own background, education
17	and training?
18	A. I have a degree in business from Lincoln
19	Land Community College.
20	Q. And beyond that, it's all been on-the-job
21	training in this unit?
22	A. Correct.
23	Q. I'd like to then ask you a little bit about
24	how your unit works, how it is organized and how reviews
	KEEFE REPORTING COMPANY
1	are done with that background. Can you please tell me
2	just generally how your unit works.
3	A. Well, when a claim is submitted for
4	payment, we, as I said earlier, review it to make sure
5	that costs are eligible and reasonable associated with
6	the agency approved corrective action plan. We deal
7	with them first in, first out. You know, the earliest
8	claim submitted is the one that gets reviewed first. I
9	mean, in a nutshell, that's it.
10	Q. And how are reviewers assigned to
11	reimbursement claims?
12	A. Whoever has finished one and whoever has an
13	opening at that particular point, they simply take

14	whichever is next on the list.
15	Q. Okay.
16	A. We have a list of dates received and claim
17	amounts, and they go to the top of that list and take
18	the next one.
19	Q. So there's no reviewer assigned to review
20	all claims by a particular applicant; is that correct?
21	A. That's correct.
22	Q. This file reflects two different kinds of
23	review, if I'm not mistaken. One is a fiscal review and
24	another is a technical review. Can you please describe
	16 KEEFE REPORTING COMPANY
1	the difference between those two kinds of review.
2	A. Well, I've never done a technical review.
3	That's essentially to make sure my understanding is
4	that they make sure the technical person, in this case,
5	Valerie Davis, to make sure the corrective action plan
6	has been followed accordingly, that the cleanup levels
7	have been met and so forth. That's my understanding of
8	a technical review.
9	Q. What bearing does that play on your
10	reimbursement decision making?
11	A. It's possible that they could the

technical people could notice something. For instance,

13	a line leak or something like that, that we wouldn't
14	notice on the accounting side of it. We're simply
15	looking at the numbers.
16	Q. Okay.
17	A. And eligibility and reasonableness of
18	costs.
19	Q. And would it also be fair to say that by
20	the same token, the technical review allows certainty
21	that work being billed is work that was necessary for
22	the particular cleanup?
23	A. Not necessarily.
24	Q. Okay. Well

1	A. In theory, yes, but
2	Q. Okay. Well, again, you know, this record
3	itself reflects that at some point, this reimbursement
4	application was sent to Valerie Davis for a technical
5	review. What was the purpose of doing that?
6	A. We send all claims that have incident
7	numbers of 10 years or older for technical review. We
8	send all claims over \$30,000 for technical review. And
9	the basic reason is to make sure that costs are
10	associated with an agency approved corrective action
11	plan.

12	Q.	Okay. So the technical reviewer is to look
13	at the cost }	being billed and compare that to the work
14	that was being	ng done and make sure that the work that
15	they match,	correct?
16	A.	Correct.
17	Q.	Okay. Is the technical reviewer, does that
18	person's job	duty or review duty extend to
19	reasonablenes	ss of the costs?
20	A.	In some cases they make suggestions, yes.
21	Q.	They make suggestions?
22	A.	Mm-hmm, yes.
23	Q.	Okay. Tell me what authority do the
24	technical rev	viewers have in terms of your own decision

1	making?
2	A. Well, actually, their decisions generally
3	trump ours in that they are the project managers, and
4	so
5	Q. And is that applied to all issues that they
6	may comment on?
7	A. Not necessarily all, no.
8	Q. Okay.
9	A. We would discuss we've had discussions
10	regarding issues that they have brought up that don't

11	necessarily that we wouldn't necessarily follow their
12	recommendation.
13	Q. And what types of issues are those?
14	A. We have had some, like, misunderstandings
15	regarding billing period dates and interpretations by
16	the technical staff that differ with our accounting
17	reviews. They sometimes don't see dates, but we
18	look at you know, dates are important to us. So
19	we and things of that nature.
20	Q. Okay. Well, you understand this
21	case one of the issues in this case involves some
22	handling charges?
23	A. Correct.
24	Q. Is that an issue, the reasonableness of
	19 KEEFE REPORTING COMPANY
1	handling charges, that would ordinarily be reviewed on a
2	fiscal review or a technical review?
3	A. It's usually done fiscally.
4	Q. Okay.
5	A. However, they can make recommendations.
6	Q. And what would be the basis or

A. If they perhaps noticed something that we

the -- yeah. Upon what basis would they make any

7

recommendation?

8

10	didn't, that would be the only generally, the only
11	time.
12	Q. What kind of training do the people in your
13	unit go through aside from just on-the-job training?
14	A. It's pretty much on the job.
15	Q. Okay.
16	A. And we've done this now for 13 years. So
17	we've got a pretty good grasp of it.
18	Q. Okay. And just again, for the training
19	purposes, you hire someone new and just give them a
20	reimbursement package, and then start walking through
21	the package with them?
22	A. We have someone mentor them, one of my
23	older claim reviewers.
24	Q. And how long does that mentoring process
	VEREE DEDODETING COMPANY
	KEEFE REPORTING COMPANY

1 take? That generally takes -- it's usually, I A. want to say, close to a month --3 Q. Okay. -- before they actually physically do one. 5 A. 6 Q. Okay. 7 Yeah. Α.

8

Q. Does your unit use any policy or procedure

10	Α.	Yes.
11	Q.	Okay.
12	А.	We use the Act, the administrative rules.
13	That's pretty	y much it.
14	Q.	Just those two documents?
15	Α.	We have some in-house guidelines as far as
16	rates are con	ncerned that we use.
17	Q.	Okay. Do you have in-house guidelines
18	concerning re	easonableness? Or is that what you mean?
19	Α.	Yes.
20	Q.	Reasonableness of particular rates?
21	Α.	Yes.
22	Q.	And what form do those in-house guidelines
23	take?	
24	Α.	Well, they're simply we have a list of
		21 KEEFE REPORTING COMPANY
		REEFE REPORTING COFFANT
1	personal titl	les, duties and reasonable rates calculated
2	for that part	ticular title. We have equipment, cost
3	associated w	ith equipment. That's
4	Q.	Okay.
5	Α.	Yeah.
6	Q.	And where did the information on those
7	lists come fi	rom?

9 manuals?

8	Α.	We gathered those from actual claims
9	submittals o	ver the years.
10	Q.	So experience basically?
11	Α.	Exactly.
12	Q.	Does that list change from time to time as
13	inflation mo	ves those numbers up?
14	Α.	Yes, it does.
15	Q.	And is the compilation of that information
16	solely done	by your office? Or do you jointly do that
17	with other u	nits at the
18	Α.	We work with the technical staff on that
19	also.	
20	Q.	Okay. So they're involved in actually
21	making those	lists?
22	Α.	Well, they I mean, we have like it's
23	just like on	e or two project managers over there that
24	get involved	in this particular part of it. And in this

1	particular	case,	Ιd	don't	believe	Valerie	was	involved	ir
2	gathering t	the act	ual	rate	es.				

- Q. Okay. Tell me -- so gathering rates is a case by case activity for your unit?
- 5 A. Well, I mean, we've gathered rates from 6 claim submittals from all over the state over the past

- 7 years and adjusted the rates accordingly.
- 8 Q. And I assume you have on this list of yours
- 9 for a particular job description, there would be a range
- 10 of acceptable --
- 11 A. That's correct.
- Q. And so is it a matter -- just a simple
 matter of the project manager, or rather, the reviewer
 from your unit comparing a particular job title to a
 particular job description on that list? And if it's
- 16 within the range, approve that?
- 17 A. Correct.
- 18 Q. Then explain to me again what role it is 19 that the technical staff play in compiling that list.
- A. Well, as I said before, I've never done a
 technical review. This is my interpretation as to what
 the technical staff do. We simply -- we did our
 accounting review; we send it over.
- 24 My understanding is that they look at it to

- make sure that costs are -- or actually the work is
 performed in accordance with an agency approved plan.
- I think Valerie could perhaps answer that
- question better than me, because I'm more the accounting
- 5 side than the technical side.

6	Q.	Okay. And I'm sorry. I think you
7	misunderstoo	d the thrust of my question at this time.
8	I'm asking a	bout the list that you created.
9	Α.	Okay.
10	Q.	And I think you said that one or two people
11	from the tec	hnical staff worked with your staff in
12	preparing th	at list, and I was wanting to know what role
13	they played.	
14	Α.	Well, they helped us gather some data also.
15	Q.	Okay.
16	Α.	And then we crunch the numbers on our side.
17	Q.	Okay.
18	Α.	Yeah.
19	Q.	But Valerie wasn't one of them that helped?
20	Α.	No.
21	Q.	At this time, I'm going to hand you I
22	only made tw	o of these, but with the exception of the
23	top document	, they're all directly out of the records.
24	The first on	e I copied a different version, so I'm not

KEEFE REPORTING COMPANY

1	sure what page that is in the record. Try R15. It
2	starts at R15. It should have been 134.
3	MR. MERRIMAN: What was the

4 MR. HEDINGER: 134. And the rest of them

- 5 are straight from the record, so.
- 6 MR. MERRIMAN: If you just mention the
- 7 record page, that will be fine.
- 8 MR. HEDINGER: If you want to see what I'm
- 9 handing the witness -- --.
- 10 Q. Okay. Mr. Oakley, I'm going
- 11 to hand to you a stack of documents that are marked
- 12 Petitioner's Exhibit -- that's Pet. Ex. Numbers 1
- 13 through 8. And those are all separately stapled as
- 14 separate exhibits. With the exception of Petitioner's
- Exhibit 1, the rest of them are Numbers 2 through 8, and
- all have the bate stamped number from the record at the
- 17 bottom right corner. Do you see those except for Number
- 18 1?
- 19 A. Date stamp?
- 20 Q. I'm sorry. Bates, the record numbers
- 21 stamp.
- 22 A. Oh, okay. Yes, I see those.
- 23 Q. The document that is marked as Petitioner's
- 24 Exhibit 1 is in the record, I believe, starting at

- page -- well, page 3 of that exhibit is of page 15 of
- 2 the fiscal record, and I know the rest of it is in the
- 3 record, but I'm not certain where.

4	MR. MERRIMAN: That should go pages 15
5	through 27.
6	MR. HEDINGER: That's correct.
7	THE WITNESS: Exhibit 1 is page 15 through
8	27?
9	MR. MERRIMAN: Yes.
10	THE WITNESS: Correct.
11	MR. HEDINGER: Correct. Except for the top
12	page, which is somewhere else but off the top of my
13	head, I'm not sure where it is at, but I know it's in
14	there.
15	THE WITNESS: Okay.
16	Q. (By Mr. Hedinger) But having said that, I
17	mean, looking at that Exhibit 1, are you familiar with
18	that document?
19	A. Vaguely.
20	Q. Okay. And with reference to that, what was
21	your understanding of what this document is?
22	A. It appears to be a summary of costs
23	associated with this particular claim submittal.
24	Q. Okay. And the third page of that

- 1 particular exhibit, what is your understanding of what
- 2 that is?

4	Harrison's Environmental Solutions associated with
5	digging and hauling contaminated soil.
6	Q. Okay. And that's also associated with the
7	same reimbursement claim, correct?
8	A. Correct.
9	Q. All right. And on to Exhibit
10	HEARING OFFICER LANGHOFF: For the Board
11	record, Mr. Hedinger, I'm going to ask you to identify
12	the pages of the record for your exhibit in your brief,
13	or however you want to do it.
14	MR. HEDINGER: I would intend to do that.
15	HEARING OFFICER LANGHOFF: Okay. Thank
16	you.
17	MR. HEDINGER: Yes.
18	Q. Mr. Oakley, on to Exhibit
19	Number 2. Can you identify that?
20	A. Yes. That is our final decision letter
21	regarding this particular claim.
22	Q. And that's your signature on it, correct?
23	A. Yes, sir.
24	Q. The attachment A to that?

A. That appears to be an invoice from

27

- 2 Q. Is that part of your letter?
- 3 A. Yes, it is.
- 4 Q. That's record pages 09 and 10, correct?
- 5 A. Correct.
- 6 Q. And I notice that we've also copied pages
- 7 11 and 12 from that record on that particular exhibit,
- but that's not part of your letter, right?
- 9 A. No, that's correct.
- 10 Q. I just got a little overzealous in copying
- 11 those this morning, I believe.
- 12 So your letter is just the first four
- pages, record pages 7 through 10, correct?
- 14 A. That's correct.
- 15 Q. Okay. Turn your attention then to Exhibit
- Number 3. That's record pages 13 and 14. Do you
- 17 recognize that document?
- 18 A. Yes, I do.
- 19 Q. And can you explain what it is?
- 20 A. That is a request for more information in
- 21 regards to some -- apparently some subject contractor
- 22 invoices and missing documentation.
- Q. Okay. And the date on that is November 9,
- 24 1998, correct?

- 1 A. Correct.
- Q. And, again, that's your signature?
- 3 A. Yes, it is.
- 4 Q. I have more questions about each of these,
- 5 but for the moment, I just want to walk through them and
- 6 make sure we get a record as what they are. So if you
- 7 turn your attention to Exhibit Number 4, that's the
- 8 handwritten you have right now?
- 9 A. This one?
- 10 Q. Yes.
- 11 A. Oh, I see it. Okay.
- 12 Q. Do you know what that is?
- 13 A. Yes. I believe that was in response to one
- of the questions on Exhibit Number 3.
- 15 Q. Okay. And this would specifically be the
- 16 submittal by the applicant of information concerning the
- job description or job duties of Lori and Ted Harrison,
- 18 right?
- 19 A. Right.
- 20 Q. Which again, Exhibit Number 3, that would
- 21 be paragraph three?
- 22 A. That's correct.
- 23 Q. Petitioner's Exhibit Number 5, can you tell
- us what this document is? And that's at page 30 of the

- 1 fiscal record.
- 2 A. That is a summary sheet that was prepared
- 3 by Cathy Elston.
- 4 Q. Cathy Elston was the staff person who did
- 5 the review of the --
- 6 A. She did the accounting review, correct.
- 7 Q. And she is one of your staff members?
- 8 A. Correct.
- 9 Q. On to Petitioner's Exhibit Number 6, which
- 10 starts at page 31 of the fiscal record and goes through
- 11 page 38.
- 12 A. Okay.
- Q. Can you identify what this document is.
- 14 A. Well, it's a number of documents by this
- 15 top --
- 16 Q. Go through them. The top page, page 31 of
- 17 the record?
- 18 A. The top page is a memo from Cathy to me
- 19 that was attached to the claim when we sent it to the
- 20 technical section for technical review.
- Q. Okay. So if I understand correctly, this
- is dated October 26, 1998, right?
- 23 A. Right.
- Q. And you attached this document to the

1	package that goes to technical staff for review?
2	A. Correct.
3	Q. All right. And what is the record page 32?
4	A. It's a federal tax payer ID number and
5	legal status disclosure certification requirements
6	form. That was a form that we require for payment
7	purposes.
8	Q. And how about pages 33 and 34? I
9	guess I'm sorry. 33 through 36. That's another copy
10	of your
11	A. Yes. That's another copy of a final
12	decision letter.
13	Q. Okay. How about 37 and 38? Do you
14	recognize those two pages?
15	A. These appear just to be notes from Cathy
16	and regarding the incomplete letter that was written,
17	which I made a notation here. She had discussed this
18	with me before we sent the incomplete letter.
19	Q. Okay. So these two pages, pages 37 and 38,
20	are her notes preceding Petitioner's Exhibit 3, which is
21	in the record as page 13, right?
22	A. Yes, that's correct.
23	Q. Turn your attention again to the first page
24	of this Petitioner's Evhibit Number 6

1	A. Okay.
2	Q. Down at the bottom quarter, bottom fourth,
3	bottom third of that page, there's a handwritten page
4	that says accounting cuts, and there's number 4, number
5	18, number 2. Do you see where I'm at?
6	A. Yes, I do.
7	Q. To the right of that, it says see
8	attached. Do you have any idea what was attached?
9	Might that have been these pages 37 and 38?
10	A. It might have, but I don't know to be
11	honest with you.
12	Q. Okay. Did you see this document before it
13	was sent to technical?
14	A. I'm sure I did, yes.
15	Q. And in fact, down at the bottom of that
16	first page on page 31 of the record, it says, "Needs
17	tech review." So this apparently was before the
18	technical review as you said, right?
19	A. Correct. I believe so.
20	Q. Now, your letter, your incompleteness
21	letter is dated November 9, and this memo is dated
22	October 26. Would there have been any additional review
23	before or after this first page, which is page 31, was

written prior to the sending out of your letter?

Okay. Now, page 31 --1 Α. 2 Q. And I apologize, but there is Petitioner's 3 Exhibit 6, and when I say page number --4 Α. Okay. I see. 5 Unless I say it's with the exhibit, I'm talking page in the records, so. 6 7 Α. Could you repeat the question? 8 Well, here's where I am going. This 9 document is dated October 26, and your letter, Petitioner's Exhibit 3, is dated November 9, which is 10 11 only about two weeks apart. Would there have been any 12 additional review after this October 26th memo prior to 13 your letter going out? 14 Α. Possibly. Q. 15 Okay. 16 There would have been a technical review. Α. 17 Ο. Okay. I believe. 18 Α. 19 Q. Before your letter went out? Α. Before the final decision letter? 20 No. I'm sorry. This is your deficiency 21 Q.

22

23

24

letter.

Α.

Q.

Oh, no, no.

That goes out before the technical review?

1	A. Yes.
2	Q. And would your staff typically only do one
3	review for fiscal purposes before a deficiency letter
4	goes out?
5	A. A deficiency letter, you mean like a final
6	decision or an incomplete?
7	Q. I'm sorry, yes. That would be incomplete
8	is what I'm talking about.
9	A. I see what you're saying. The answer is
10	yes.
11	Q. The answer is, yes, they would only do one
12	review, send out the incomplete letter when the
13	information comes back, then do a further final review?
14	A. Correct.
15	Q. All right. Then I'd like to turn your
16	attention to Petitioner's Exhibit Number 7, and that's
17	pages 39, 40 and 41 of the record, okay? Do you see
18	where I'm at?
19	A. Yes, I do.
20	Q. What is that document?
21	A. These appear to be notes from Valerie Davi
22	regarding her technical review.

Q. Okay. The first page looks like it's some

form of memorandum. Is that a typical form?

23

1	A. Yes.
2	Q. This would be the form typically used by
3	the technical staff sending information back to your
4	staff?
5	A. Correct.
6	Q. And I see about a little over halfway down
7	that first page, page 39 of the record, the sentence
8	ends paragraph ends with the words "except as noted
9	below" colon. And is everything in that typed in by
10	whoever the technical reviewer is? In this case,
11	Valerie Davis?
12	A. Yes, I believe it was.
13	Q. Do you have any idea whose handwritten
14	notes are on that page?
15	A. No. I could only speculate.
16	Q. Would this document come back to you? Or
17	would this come back to, in this case, Cathy Elston?
18	A. It would come back through me. Then I
19	would give it to Cathy.
20	Q. You would review this before giving it to
21	Cathy?

A. Right. I don't do an in-depth review. I

do look at them, and I would just pass it on to Cathy

22

doing an analysis.

1	Q. So you'd only do an in-depth if there was a
2	reason for you to?
3	A. Correct.
4	Q. And the last two pages of that exhibit,
5	which are in the record as 40 and 41, do you know what
6	those pages are?
7	A. They appear to be handwritten notes. And
8	I'm not sure if they are from Valerie, or they're from
9	Cathy, but they are some sort of handwritten notes. And
10	I assume they're from Valerie, but I don't know for
11	sure.
12	Q. Would you know Cathy's handwriting to know
13	whether that's hers?
14	A. Let's see. I'll have to go back.
15	HEARING OFFICER LANGHOFF: I don't think
16	he's asking you to compare the handwriting on the
17	document, Mr. Oakley. I think he's just asking you if
18	you'd recognize the handwriting, but he can correct me
19	if I'm wrong.
20	THE WITNESS: No.
21	Q. (By Mr. Hedinger) Yeah, I mean without

23 Α. No. 24 Q. You don't know offhand if that's her KEEFE REPORTING COMPANY 1 handwriting? 2 No, I don't, to be honest. Α. 3 Ο. Have you seen those two pages before today? Well, I assume I have. I don't know, to be Α. honest. 5 Okay. 6 Q. 7 Α. Yes. You don't recall looking at them and 8 Ο.

36

9 discussing them before making your final decision then? As you sit here today, you don't recall doing that? 10 No, I don't. 11 Α. All right. And finally turn to 12 Ο. Petitioner's Exhibit 8, which is pages 44 and 45 of the 13 record. Do you see where I'm at there? 14 15 Α. Uh-huh, yes. Have you seen that document before? 16 Q. 17 Yes, I have. Α. 18 And, just, this would be the letter from 19 the applicant. In this case, it was from their consultant, RAPPS Engineering, responding to your letter 20

of incompleteness, correct?

22	A. That's correct.
23	Q. The word "Cathy" is written, handwritten at
24	the very top of that. Was that meaning that this letter
	KEEFE REPORTING COMPANY
1	should be directed to Cathy Elston?
2	A. That's my handwriting, yes. I would have
3	looked at this letter and then written Cathy's name on
4	it.
5	Q. So this would even though it's addressed
6	to Ms. Cathy Elston, this would first come to your desk?
7	A. Yes.
8	Q. Is that typical procedure in your office?
9	A. Sometimes, not necessarily always.
10	Q. Okay.
11	A. It depends. Now, if Cathy were at her desk
12	that day and the mail clerk thought they sometimes
13	give it directly to the claim reviewers.
14	Q. Okay. But in this case, since you wrote
15	her name on the top, you apparently got this first?
16	A. Yes, in this case.
17	Q. Do you recall reading it first?
18	A. Yes.
19	Q. And it had attachments to it when you
20	received it, correct? They're identified in the

21	document.
22	A. Okay. Apparently, it did, yes.
23	Q. And in fact, paragraph three on the second
24	page of this exhibit identifies that handwritten note
	38 KEEFE REPORTING COMPANY
	REEFE REPORTING COMPANI
1	that we talked about a few minutes ago. That's
2	Petitioner's Exhibit Number 4, right?
3	A. That's correct.
4	Q. Do you recall looking those materials over
5	when they came in?
6	A. Yes, I do.
7	Q. Okay. Did you look those over yourself?
8	Or did you have someone with you and talk about them
9	when you first looked at them?
10	A. I believe Cathy and I talked about them.
11	Q. And this happened close to four years ago,
12	correct?
13	A. That's correct.
14	Q. How is it that you recall this particular
15	conversation? What stands out about it? Why is it that
16	it's memorable to you?
17	A. I never seen an invoice that billed that
18	many hours associated with these sorts of activities.
19	Q. Now, we're talking the time billed by Ted

20	and Lori Harr	rison, correct?
21	Α.	Correct.
22	Q.	So it stands out because it was unusual?
23	Α.	Correct.
24	Q.	And it was unusual because you'd never seen
		39
		KEEFE REPORTING COMPANY
1	that many hou	ars billed on this type of activity, right?
2	A.	That's right.
3		And when you say "this type of activity,"
4	Q.	s specific as you can?
5	Α.	I would refer you to this description.
6	Q.	Okay.
7	Α.	Acting as safety officers, controlling
8	speed.	
9	Q.	You're talking about what was written in
10	Petitioner's	Exhibit Number 4, right?
11	Α.	That's correct.
12	Q.	Okay. But you had seen and at that time
13	you had seen	invoices larger than this, correct?
14	А.	Oh, yeah, yeah.
15	Q.	And you'd seen invoices for consultant work
16	that was larg	ger than this, correct?
17	А.	Larger, yes.
18	Q.	Just different kind of work apparently, or

19	work that didn't meet the same description as what was
20	being described here, correct?
21	A. Correct.
22	Q. In your experience, and in particular at
23	that time, what would have been the amount that you
24	would have expected to have been charged for this work?
	40
	KEEFE REPORTING COMPANY
1	A. That's speculation. I mean, I couldn't
2	Q. Well, what would have been the range that
3	you would have anticipated by you, such that this
4	wouldn't stand out in your mind after four years?
5	A. Could you repeat that question?
6	Q. Well, I think I'm going to withdraw the
7	question. I'll probably come back to that later.
8	Right now, what I'd like you to do is
9	compare, or if you have it in front of you, Petitioner's
10	Exhibit Number 2, which is your final decision, correct?
11	A. That's correct.
12	Q. And your incompleteness letter, which is
13	Petitioner's Exhibit Number 3. Do you have those two
14	documents?
15	A. Yes, sir, I do.
16	Q. Great. The first of those two documents,
17	Petitioner's Exhibit Number 2, was your final decision.

18	I'd like to turn your attention to attachment A to that
19	please.
20	A. Okay.
21	Q. And I'd like to focus your attention on
22	paragraph three of that document.
23	A. Okay.
24	Q. Do you see where I'm at?
	41
	KEEFE REPORTING COMPANY
1	A. Mm-hmm, yes.
2	Q. Now, comparing that paragraph 3 to the
3	items that are included on Petitioner's Exhibit Number
4	3, your incompleteness letter, it's true, isn't it, that
5	LFR 134, Harrison Environmental, 80,141.50, unreasonable
6	costs. You asked for additional information on that
7	back on November 9, 1998, right?
8	A. Correct.
9	Q. However, it's also true, isn't it, that you
10	did not ask for additional information concerning the
11	Prairie Analytical invoices or the Harrison
12	Environmental 15 percent markup, correct?
13	A. Apparently, we did ask for some invoices
14	legible in paragraph 2 of Exhibit 3. We had asked for
15	legible copies of subcontractor invoices and receipts
16	for field purchases.

17	Q. That corresponds to paragraph two of your
18	attachment A of your final decision, right?
19	A. It appears to, yes.
20	Q. Can you find any place in your November 9,
21	1998 letter where you asked for additional information
22	about the 24-hour turnaround charges for Prairie
23	Analytical?
24	A. No, I don't.
	42
	KEEFE REPORTING COMPANY
1	Q. Yeah, and neither did you ask for any
2	further information concerning Harrison Environmental's
3	15 percent markup, correct?
4	A. That's correct.
5	Q. Can you tell me why you did not ask for
6	that information before rendering your final decision?
7	A. No.
8	Q. Okay. I am not going to introduce this as
9	an exhibit because this is my copy, but I'm going to
10	show you what's in the record, starting at page 1 of the
11	fiscal record, and ask if you've seen that before.
12	A. Yes, I believe I have.
13	Q. Okay. Can I see that?
14	A. Yes.
15	Q. On page two of that letter, which is page

16	two of the fiscal record, there's a highlighted and
17	bullet-point portion concerning all Prairie Analytical
18	invoices, with an explanation for the 24-hour turnaround
19	charges. Do you see where I'm pointing to?
20	A. Yes, I do.
21	Q. Do you recall reviewing that information
22	previous to today?
23	A. Well, we're talking four years ago here.
24	So I assume I looked at these documents.
	43 KEEFE REPORTING COMPANY
1	Q. But you don't have any independent
2	recollection of reviewing it and passing judgment on it
3	or anything?
4	A. At this point in time, no.
5	Q. Could you take just a couple of minutes and
6	read those two paragraphs of that letter for me. Just
7	let me know when you're done reading them.
8	A. Okay.
9	Q. Essentially that I'm going to paraphrase
10	what I think that says, and you can tell me what you
11	think that this would be. The RAPPS engineering
12	explanation that the four-hour turnaround charges for
13	actually a cost savings effort, because without those

charges there would have been increased mobilization

15	charges and other types of charges associated with
16	basically the dig and haul that was occurring at that
17	time; is that correct?
18	A. That is RAPPS' opinion, yes, yeah.
19	Q. Okay. Is that the type of explanation that
20	you would find to be a reasonable justification for
21	24-hour turnaround charges?
22	A. The accounting side, what we would do is
23	tag if we see these 24-hour turnaround charges,
24	generally we would tag those, and ask the technical
	44 KEEFE REPORTING COMPANY
1	norgan if there was any reason in their mind for a
2	person if there was any reason in their mind for a 24-hour turnaround.
3	Q. Okay. And your office does not personally
4 5	even review the technical file, correct?
	A. Correct.
6	Q. So you wouldn't know whether those charges
7	were incurred at a time of active site management or
8	not, would you, without being told either by the
9	applicant or the technical staff?
10	A. That's correct.

Q. Okay. Your office does allow markups to be

made on invoices in certain circumstances, correct?

A. Correct.

11

14	Q. And in fact, the statute and regulation
15	both recognize those as legitimate charges, correct?
16	A. Correct.
17	Q. In this case, what would have been the
18	legitimate charge if markups had been approved; do you
19	know? Would it have been 15 percent, 12 percent, some
20	other amount?
21	A. Well, it depends on when the work was
22	performed. It's in the statute. A sliding scale
23	was went into regulation. I believe this was in
24	92.

45

KEEFE REPORTING COMPANY

1	Prior to that, we allowed a 15 percent
2	markup. But statutorily it went into effect in '92,
3	which imposed a sliding scale based on the you add
4	all the invoices together, then apply the sliding scale
5	based on whatever that amount would be. I believe it
6	ranges from 12 percent I believe it starts at 12
7	percent and goes up or down, depending.
8	Q. But you would have just followed that
9	formula?
10	A. Correct.
11	Q. Now, is it your office or is it the

12 technical staff that determines the applicability of

13	markups?
14	A. It could be either.
15	Q. And under what circumstances would it be
16	your office?
17	A. Well, generally, we look for markups. We
18	look to see if the prime contractor did hired
19	subcontractors to perform some of the work. That's
20	generally what we do in our review.
21	Q. Under what circumstances would it be the
22	technical staff that made that determination?
23	A. Well, they might perhaps disagree with us
24	as to who is the prime contractor.
	46 KEEFE REPORTING COMPANY
	REEFE REPORTING CONTAIN
1	Q. Okay. So there would just simply
2	be you'd be both doing the same review? It would
3	just simply be a matter if they took note of something
4	if they disagreed with or saw that you didn't see,

5 something like that?
6 A. Correct.
7 Q. There's no policy saying this one is one to
8 be reviewed by technical staff rather than fiscal staff?
9 A. No. It's a joint effort.
10 Q. And where do you look to find your source

of information as to who a prime contractor is?

12	A. Well, we've reviewed thousands of these
13	claims, and it's just common sense.
14	Q. So you're not aware of any definition in
15	the regulations or the statute that would guide you in
16	that?
17	A. I don't know that there's a definition in
18	the regs. or the statute. I don't believe so.
19	Q. And you don't have any internal policy
20	manual that defines that, do you?
21	A. We have an in-house document that we have
22	relied on in the past that just essentially says that a
23	prime contractor it defines a prime contractor is
24	someone that hires subcontractors, pays subcontractors

1	and	SO	forth.

- 2 And what document is that? Is that the 3 LUST project manager's manual?
- Well, there's all sorts of documents that we -- you know, I mean, I don't know. It could be that 5 6 particular one. I don't believe so. I believe it's probably a document that we have in-house that we use in 8 accounting to define what a prime contractor would be.
- But essentially, it's more common sense than anything.
- Q. But the document, is it part of a larger 10

11	document? Or is it a one-page description or
12	A. Well, we have documents that we refer to,
13	and accounting reviews a number of different documents
14	associated with our letters and our rates and so on. I
15	mean, I don't know that the exact particular
16	document I mean, I wouldn't know that. We have lots
17	of in-house documents that we use in order to perform
18	these reviews and write these final decisions.
19	Q. And I apologize if I'm confusing you, but
20	you're confusing me. I'm just trying to get this
21	clarified.
22	If I understood you correct, there is a
23	document that has some sort of a definition that your
24	staff can look to for guidance as to what a prime

1	contractor is?
2	A. Yes.
3	Q. That is true?
4	A. Yes. I believe so, yes.
5	Q. And this document, is it in the form of a
6	form letter? Is it in a form that's filled out? Is it
7	simply a guidance document that your staff can read and
8	review? Is it part of a larger manual? Can you
9	describe it for me?

10	Α. Γ	Well, we don't have a manual, per se. We
11	have well,	I guess you could call it a manual. We
12	just have a g	roup of documents that we refer to that
13	lists rates,	it lists denial points, ineligible costs
14	and eligible of	costs and so forth.
15	Q. <i>i</i>	And other issues that come up frequently
16	having to do t	with your reimbursement decisions?
17	Α. (Correct.
18	Q. <i>i</i>	And included in that is this decision or
19	this issue of	how do you define a prime contractor?
20	Α. (Correct.
21	Q. <i>i</i>	And is this group of documents something
22	that every new	w employee is handed when they start to
23	work for you?	
24	Α.	Yes.

KEEFE REPORTING COMPANY

1	Q. Is it a bound volume?
2	A. Bound, in that it may have rubber bands
3	around it, but I mean, it's not like a I don't know
4	what you mean by bound. It has rubber bands around it,
5	yes.
6	Q. It's pages that are rubber-banded together?
7	A. Yes. In some cases, they'll put them in

8

binders, but just essentially it's just a group of paper

9	associated wit	th doing claim reviews that we've gathered
10	over the years	s.
11	Q.	If, for instance, somebody came with some
12	novel question	n, you did some research, had the legal
13	staff do some	research, have one of your staff do the
14	research, came	e up with a memorandum on that issue, that
15	memorandum wou	uld become a part of this?
16	Α.	Correct.
17	Q.	Okay.
18	Α.	Correct.
19	Q	And somewhere along the line, somebody did
20	a page or two	on this prime contractor issue?
21	Α.	Yes.
22	Q	And now that's part of this compilation?
23	Α.	Yes.
24	Q. I	Do you have any recollection of who it was

1 who drafted that page?	1	who	drafted	that	page?
--------------------------	---	-----	---------	------	-------

- A. I believe that page was drafted by -- and once again, this is old -- but I believe John Steller, who was my previous boss, drafted the definition of a prime contractor.
- 6 Q. Do you have any idea when?
- 7 A. To be honest with you, no. I would assume

8	it would have been early in the program, perhaps even a
9	early as '90, '91, but that's speculation. I mean, I
10	don't know the exact date.
11	Q. Can you tell me, does the statute limit
12	these markups to prime contractors? Is that word
13	included those two words included in the statute?
14	A. I don't think so.
15	Q. How about the regulations?
16	A. I think it is now, but at that time, I
17	don't believe it was. It's simply a business decision
18	that was always done.
19	Q. I'd like to turn your attention to the
20	record again in the fiscal record. I want you to look
21	at pages 198 and 201. And I'm handing those to you
22	now.
23	A. Okay.
24	Q. Look at the very bottom of those two pages
	51

- if you would. Well, first look at the pages generally,

 so you know what they are.
- 3 A. Okay.
- Q. Okay? And you're looking at 198 and 201
 both? And those are invoices from Western Environmental
- 6 Service, correct?

7	Α.	Correct.
8	Q.	Just looking at those invoices, can you
9	tell me what	they were for?
10	Α.	It appears to be drilling and sampling and
11	monitor well	installation.
12	Q.	It was your understanding that Western
13	Environmental	l was the prime contractor on this job?
14	Α.	I've always believed that RAPPS was the
15	prime contrac	ctor.
16	Q.	At the bottom of that page, there's listed
17	a 15 percent	markup. Can you tell me what that would be
18	for?	
19	Α.	I assume that they had to have bought some
20	material, and	d they marked it up 15 percent.
21	Q.	Is that standard? Is that an expected
22	result?	
23	Α.	Perhaps that is standard from Western
24	Environmental	l's viewpoint.

1	Q. I mean from your viewpoint, from your
2	agency, is that something you would approve?
3	A. If this work was incurred after the
4	statutory handling charges were established, then I
5	would believe that this would have been in error.

6	Q. Okay. Look at Petitioner's Ex	hibit Number
7	7, if you would. We have lots of papers he	re in front
8	of you, don't we?	
9	A. Okay.	
10	Q. Look at the last page of that	document, if
11	you would. I think you testified earlier t	hat you're
12	not certain whose work product this is, rig	ht?
13	A. That's correct.	
14	Q. This would be either Valerie D	avis or Cathy
15	Elston?	
16	A. Correct.	
17	Q. I noted the last two lines of	what's in the
18	record of page 41, whoever drafted this too	k note of
19	those Western handling charges. Do you see	that?
20	A. Yes, I do.	
21	Q. And they actually reduced it t	o 12 percent,
22	correct?	
23	A. Correct.	
24	Q. Would that have been correct?	Or is that

- 2 A. I believe that would have been correct.
- 3 Q. So it was okay for Western to get a
- 4 handling charge? It should have just been reduced to 12

5	percent?
6	A. It appears that way.
7	Q. What did Western do that warranted the
8	handling charge?
9	A. It appears they bought some material.
10	Q. I'm sorry. I took the documents away from
11	you. So let me give them back. If you need to refer to
12	them
13	A. It appears they bought some material
14	associated with this well. However, if I were doing
15	this review, I would ask what material they bought, and
16	I would require receipts for that material.
17	Q. So even though Western wasn't the prime
18	contractor, they were still allowed to mark up any
19	purchase that they made for this job, correct?
20	A. Correct.
21	Q. All right. Let me take that back from you,
22	if you don't mind.
23	And I'd like to turn to your final decision
24	letter, Petitioner's Exhibit Number 2. And, again, that

L	letter is dated January 25, 1999. If you would please
2	turn to the first page of attachment A. Again, that's
3	in the record of page 9 of the fiscal record. And tur

4	your attention to paragraph three on that page. Do you
5	see the last item in that paragraph concerning 15
6	percent markup, correct?

- A. Correct.
- 8 Q. Now, this attachment, this is basically
 9 your work product, or at least you signed the letter
 10 that this attachment accompanied, correct?
- 11 A. Correct.
- Q. And those two lines say Harrison

 Environmental, \$33,250.07, 15 percent markup can only be

 taken by primary contractor, which was RAPPS, okay?
- A. Mm-hmm, yes.
- Q. All right. And just a minute ago, you said you'd always understood that RAPPS was the primary contractor on this matter, correct?
- 19 A. That's what I understood, correct.
- Q. Do you have a form -- does the agency use a form that asks the applicant to identify the prime or primary contractor?
- 23 A. Yes. We have it on billing forms.
- Q. Was that done in this case?

KEEFE REPORTING COMPANY

1 A. I believe so. I don't know that -- I
2 didn't review the claim myself. I don't have a copy of

3	the claim.
4	Q. Okay. Now, is the contractor on your
5	billing forms identified with those words, "primary
6	contractor"?
7	A. I don't know. It might just say
8	contractor. I'm not sure. I'd have to look at it.
9	Q. All right. Well, if you can give me just a
10	minute, I'll see if I can find it for you.
11	A. Okay.
12	MR. HEDINGER: Help me, Dan, if you know
13	where it's at.
14	Q. Is it the owner/operator and
15	professional engineer billing certification form?
16	A. No. It should be there might be a
17	subcontractor form there. I don't know that it
18	specifies prime.
19	MR. HEDINGER: Can we go off the record for

21 HEARING OFFICER LANGHOFF: Sure.

[Off-the-record discussion.]

HEARING OFFICER LANGHOFF: We're back on

the record. Thank you.

just a moment?

20

1

56

- 2 hand to you what's in the record on page 55. Is this
- 3 the document you're talking about?
- 4 A. Well, actually, I was more referring to the
- 5 actual, like, subcontractor sheet that would list -- I
- 6 don't know that it says primary contractor. I believe
- 7 it says contractor at the top. But this document would
- 8 also ask for that information.
- 9 Q. Well, that particular -- go ahead.
- 10 A. Okay. This is used for Women's Business
- 11 Enterprises.
- 12 Q. Yeah.
- 13 A. And so forth. But I believe either
- 14 document would work as far as determining who the prime
- 15 contractor would be.
- 16 Q. Well, of course, that document doesn't
- 17 identify anyone as the prime contractor, right?
- 18 A. That's correct, or any subcontractors.
- 19 Q. Yeah. We know that's not true.
- A. Right.
- 21 Q. So it couldn't have relied too heavily on
- 22 this?
- A. Not on that one, no. Our regular agency
- forms, though, I believe list contractor. I don't know

- 1 that they say the word "prime," but I think the
- 2 intention is that you would infer that the prime
- 3 contractor met all the requirements regarding payment
- 4 and so forth, and procuring subcontractors as is
- 5 statutorily defined.
- Q. As what is statutorily defined?
- 7 A. Handling charges.
- 8 MR. HEDINGER: Well, I'm going to ask to do
- 9 something if you wouldn't mind, Dan. Can we hand him a
- 10 copy of your record, and let him read through it and see
- 11 if he can find the form? I'd hand him mine, but mine is
- 12 taken apart. I'm afraid all the papers would be
- 13 scattered.
- MR. MERRIMAN: That's all right.
- 15 Q. (By Mr. Hedinger) This would be in the
- 16 fiscal, right -- file, right? It wouldn't be in the
- 17 technical file?
- 18 A. Right. It should be in the fiscal file.
- 19 HEARING OFFICER LANGHOFF: Let's go off the
- 20 record for two minutes.
- MR. HEDINGER: Okay.
- 22 HEARING OFFICER LANGHOFF: Let's go off the
- 23 record.
- 24 [Brief break.]

- 1 HEARING OFFICER LANGHOFF: We're back on
- 2 the record.
- 3 I want the record to reflect we did locate
- 4 the copy of the administrative record. And Mr. Oakley
- 5 has had a chance to take a look at the Board's copy.
- 6 Okay. Your witness, Mr. Hedinger.
- 7 MR. HEDINGER: Thank you.
- Q. Mr. Oakley, you have had a
- 9 chance to look through there. Did you identify the
- documents you're speaking of?
- 11 A. No, I didn't. I don't believe it's in
- 12 here.
- 13 Q. Does that mean it doesn't exist, or might
- 14 it have been separated? And let me rephrase the
- 15 question.
- 16 Would you have approved this application
- 17 without that form?
- 18 A. Yes.
- 19 Q. So it's not a required form?
- 20 A. It's -- the agency developed billing forms
- 21 on a time/material basis, and we allow a submittal
- 22 on -- it doesn't have to be on agency forms as long as
- 23 it follows a time and material format. In other words,
- 24 we didn't want to penalize owners that submitted their

1	bills	for	simply	not	using	our	forms.

- 2 Q. So aside from the requests that were
- 3 denied, this application did contain the necessary
- information for at least the information of the claims
- 5 that were allowed?
- 6 Α. Correct.
- Q. It just wasn't in -- some of it at least
- wasn't in or on the specific form that the agency 8
- 9 utilizes for that purpose?
- 10 Α. Correct.
- All right. Well, then if we didn't have 11 Q.
- 12 that form -- and again, I'm turning back to Petitioner's
- 13 Exhibit Number 2. And, once again, attachment A, first
- 14 page of attachment A, which is page nine of the record,
- 15 and I want you to look at paragraph three of that, last
- item in paragraph three. 16
- 17 The primary contractor, which was RAPPS, is
- the words used in that paragraph. You don't have the 18
- form that identified RAPPS as the primary contractor. 19
- And so my question is, what information did 20
- 21 you have that led you to conclude that RAPPS was the
- 22 primary contractor?
- 23 Α. I believe RAPPS had submitted claims prior
- 24 to this and had submitted most, if not all, the

1	technical documentation associated with this particular
2	claim, or this particular site. So I believe that's
3	what led us to believe that RAPPS would have been the
4	primary contractor.
5	Q. So I want to break that down. If I
6	understood you, there are two examples. One, RAPPS had

- 8 A. I believe so. I believe so.
- And number two, RAPPS is doing the 9 Q. environmental consulting work for the site? I mean, I'm 10 paraphrasing you. But the second part of it was --11

previously submitted reimbursement claims, correct?

- 12 Α. I believe RAPPS had submitted all or nearly 13 all the technical documentation previously. That's what I believe. 14
- 15 Q. Okay.

- 16 Α. And, generally, a primary contractor would do that. 17
- Okay. Is that required by the regulations? 18 Ο.
- 19 To submit technical documentation? Α.
- That the primary contractor submit the 20 Q. technical documentation. 21
- 22 Α. No.
- 23 In fact, the statute requires that Q. technical documentation be signed off on by a licensed 24

1	professional engineer, correct?
2	A. I believe so.
3	Q. And, again, at no point did you inquire of
4	the applicant as to further information concerning
5	primary contractor, correct?
6	A. Did we specifically ask the question in our
7	letter, our incomplete letter? Correct, you're right.
8	We didn't.
9	Q. Okay. The agency, and specifically your
10	unit, will approve reimbursement for the charges of a
11	remediation site supervisor, correct?
12	A. Correct.
13	Q. And typically, the remediation site
14	supervisor has a fairly broad job description, right?
15	A. Typically.
16	Q. I mean, their job, viewed broadly, is
17	general oversight of the entire site project, right?
18	A. Right.
19	Q. And that will include such things as
20	ordering materials, right?
21	A. I believe that could, yes.
22	Q. Making sure site safety measures are
23	maintained, correct?

A. Correct.

1	Q. Assuring that safe traffic patterns are
2	maintained as trucks and other equipment come and go
3	from the site, right?
4	A. That's possible.
5	Q. Making sure that the right amount of labor
6	is there when needed?
7	A. That's possible.
8	Q. Making sure that all of the workers and
9	subcontractors on site are performing their jobs safely
10	and in safe manner?
11	A. That could be done by a site supervisor.
12	Q. Also if they are lacking in labor, a site
13	supervisor may fill in on that job when needed, correct?
14	A. That could happen, yes.
15	Q. A site supervisor also is going to be
16	responsible for dealing with any inquiries that may come
17	in concerning the project, including inquiries from the
18	<pre>public, correct?</pre>
19	A. See, you're asking me to define what
20	a you know, what all the activities associated with a
21	site supervisor is. And, frankly, I mean, I don't know

the exact activities of an oversight supervisor

anywhere. I mean, I could speculate that, yes, but I

22

1	supervisors do these sorts of activities.
2	Q. Okay. But
3	A. It's possible. It could be done by a PE.
4	It could be done
5	Q. This seems to be unreasonable charges for
6	someone who is essentially a site supervisor?
7	A. Right pardon me?
8	Q. These would not be unreasonable activities
9	for someone identified as a site supervisor?
10	A. It depends on the situation.
11	Q. Right. How about keeping records of the
12	work that's being done? Is that something that a site
13	supervisor could legitimately bill for?
14	A. That's possible.
15	Q. I know this is you didn't bring that
16	chart with you that have your rates, correct?
17	A. Correct.
18	Q. To the best of your recollection, what's
19	the range of approvable values for a site supervisor
20	hourly rates?
21	A. I don't know to be honest. I'd have to
22	refer to the document.

24	A. I would think so, yeah.
	64 KEEFE REPORTING COMPANY
1	Q. How about 110?
2	A. That sounds I don't know. I'd have to
3	refer to the document. I mean, those rates have changed
4	over the years. Competition has driven some of them
5	down. And in other cases, they've increased. I'd have
6	to refer to the document in order to make that
7	decision.
8	Q. Well, again, Petitioner's Exhibit Number 2,
9	the first page of attachment A, paragraph three, the
10	second item discussed in that paragraph is LFR 134,
11	Harrison Environmental, \$80,141.50 in unreasonable
12	costs. Do you see where I'm looking there?
13	A. Yes, I do.
14	Q. And that was with reference to the
15	information provided in Petitioner's Exhibit Number 4,
16	correct?
17	A. Correct.
18	Q. So when making the decision that that
19	\$80,141.50 was unreasonable, you had before you and you
20	considered the information in Petitioner's Exhibit 4,
21	right?

Q. Well, would \$30 an hour seem reasonable?

22	A. Right.
23	Q. Did you have any other information other
24	than that?
	65 KEEFE REPORTING COMPANY
1	A. Other information in what respect?
2	Q. Any other information concerning the work
3	that was performed.
4	A. We had an invoice.
5	Q. And that was
6	A. That was
7	Q. That's Petitioner's Exhibit 1, right?
8	A. Where's 1? Oh, correct.
9	Q. Did you have any other information than
10	those two things?
11	A. Not that I'm aware of.
12	Q. You're aware, or are you aware that this
13	reimbursement application is concerning activities at
14	essentially two separate sites?
15	A. No, I wasn't aware of that.
16	Q. I'm sorry? You were not aware of that?
17	A. No.
18	Q. Would that have made a difference to you in
19	making your determination concerning the reasonableness
20	of that \$80,141.50?

21	A. So there's costs let me get this
22	straight. So there's costs in here that aren't even
23	associated with this site?
24	Q. Well, and I don't want to mislead you.
	66 KEEFE REPORTING COMPANY
1	Essentially, there's a land farm involved. So there was
2	dig and haul from one site transport to another site,
3	and application of the contaminated soil at that second
4	site. And if this application concerned activities at
5	both of those sites, would that have made a difference
6	in your analysis?
7	A. It's possible.
8	Q. I'm going to show you what's in the record
9	at page 52. And. Actually, you've got the Board's
10	record there if you want to look at that.
11	A. Okay. The fiscal
12	MR. MERRIMAN: Fiscal record.
13	Q. (By Mr. Hedinger) Fiscal record, page 52.
14	A. Okay.
15	Q. Can you identify that document?
16	A. It's an owner/operator and professional
17	engineer billing certification form.
18	Q. And it's signed by a professional engineer,
19	correct?

20	A. Correct.
21	Q. Does the statute require the professional
22	engineer to sign that?
23	A. I don't know that it's statutorily
24	required, but we've always required this as part of the
	67 KEEFE REPORTING COMPANY
1	billing certification.
2	Q. Do you have a professional engineer on your
3	staff who reviews these?
4	A. No.
5	Q. You're not a professional engineer?
6	A. No.
7	Q. And Cathy is not a professional engineer?
8	A. No.
9	Q. How about Valerie Davis, do you know
10	whether she's a professional engineer?
11	A. I don't know. I don't think so, but I
12	don't know. They have professional engineers on the
13	technical staff.
14	Q. Okay. If you will give me just a second
15	here, I think I'm finished.
16	One additional question, Mr. Oakley. You
17	said you reviewed the invoices that are in Petitioner's
18	Number 1 and also the handwritten description of job

19	duties as Petitioner's Number 4. Do you have any reason
20	to question whether these activities were actually
21	undertaken?
22	A. No, I don't question it.
23	MR. HEDINGER: Okay. That's all the
24	questions I have, sir.
	KEEFE DEDODEING COMPANY
	KEEFE REPORTING COMPANY
1	HEARING OFFICER LANGHOFF: Thank you,
2	Mr. Hedinger.
3	Mr. Merriman?
4	MR. MERRIMAN: Thank you.
5	HEARING OFFICER LANGHOFF: Do you want to
6	ask Mr. Oakley all your questions now, and then
7	MR. MERRIMAN: Yeah, if that would speed
8	things up, I think.
9	HEARING OFFICER LANGHOFF: Well, since he's
10	going to be here all day, it doesn't really matter, but
11	the other witnesses I assume were doing it that way.
12	That's what we talked about. Okay, I apologize. Go
13	ahead, Mr. Merriman.
14	MR. MERRIMAN: Thanks.
15	EXAMINATION
16	QUESTIONS BY MR. MERRIMAN:
17	Q. Mr. Oakley, I would like to ask you a
_ /	Q. Mr. ountey, I would like to ask you a

18	couple things about the fiscal record there. Could you
19	turn to page 58 in the record. You previously looked at
20	that.
21	A. Okay.
22	Q. For the record, that is an invoice from
23	Harrison's Environmental Solutions?
24	A. Correct.
	KEEPER DEPONETING COMPANY
	KEEFE REPORTING COMPANY
1	O And it lists on that invoice a number of
	Q. And it lists on that invoice a number of
2	subcontractors, and there's a plus 15 percent. That's
3	the handling charge you referred to; is that right?
4	A. Correct.
5	Q. So the \$33,250.77 handling charge that's at
6	issue in this particular reimbursement package basically
7	is derived from this invoice?
8	A. I believe so, yes.
9	Q. Now, there's a rather lengthy discussion
10	that you had with Mr. Hedinger about prime contractors
11	and the definition of prime contractor. But let me ask
12	you, can handling charge be earned by someone who is not
13	a contractor or doesn't acquire any field purchases?

Q. By field purchases, just again for the record, you mean material, expendable material, that are

Α.

14

15

16

No.

17	purchased in connection with a particular job; is that
18	right?
19	A. That's correct. That was the intent.
20	Q. This case is one that we refer within the
21	agency as an old law case; is that right?
22	A. That's correct.
23	Q. Contrasting that with the new law, which
24	isn't all that new anymore, can you explain what that
	70 KEEFE REPORTING COMPANY
1	is, what that means?
2	A. Old law sites my understanding is that
3	the cleanup levels are somewhat more stringent under old
4	law sites. Do you have a specific
5	Q. Let me interrupt you. I guess I mean more
6	general than that.
7	Isn't it true that the new law refers to
8	Title 16 as it presently appears in the Act as
9	supplemented by Part 732 of Title 35 of the Illinois
10	Administrative Code, the LUST regulations?
11	A. [Witness indicated.]
12	Q. You're nodding. Is that
13	A. I'm familiar with those.
14	Q. And that's what we refer to as new laws; is
15	that right?

16	A. That's correct.
17	Q. And in fact, that new law came into effect
18	back in 1993, and the regulations in September of
19	1993 and the regulations became effective the
20	following year in September of 1994?
21	A. That's correct.
22	Q. And in this particular case, the release of
23	petroleum occurred prior to 1993; isn't that right?
24	A. Yes.
	71
	KEEFE REPORTING COMPANY
1	Q. And it was reported to the Illinois
2	
	Emergency Management Agency, I guess, the time it was
3	reported? It used to be called ESDA. But prior to the
4	September 13, 1993 case?
5	A. That's correct.
6	Q. And cases such as that, that have a release
7	reported prior to the effective date of Title 16 may opt
8	into the Title 16 Program; is that right?
9	A. That's correct.
10	Q. And is it your understanding that this case
11	did or did not opt in? Or that this site did not opt
12	in?
13	A. I don't believe they did.

Q. I mean, in fact, again, you probably aren't

15	aware of this, but the Board previously found that in a
16	ruling on a motion in this case but this is an old
17	law case. Mr. Oakley, the sections of Title 16
18	presently in the Act, do they apply to old law cases?
19	A. No.
20	Q. In fact, pursuant to the effective law
21	provisions, we go back and look at former Section 2218
22	and 2218 (b) of the Act as it existed prior to 1993; is
23	that right?
24	A. That's correct.

KEEFE REPORTING COMPANY

Q. And that's where the definition of handling

2	charge that you referred to came from; is that right?
3	A. That's correct.
4	MR. MERRIMAN: Unfortunately, I didn't
5	bring a copy of the Act. The Board can take official
6	notice of the language of the specific provision, and I
7	have a copy of it. I'd like to show Mr. Oakley just to
8	clarify that that's what he's referring to when we talk
9	about handling charge.
10	And, specifically, it's the language of
11	former Section 2218 (b) (i).
12	Q. Mr. Oakley, I'm going to

hand you a copy of the statute. And, again, the Board

14	can take administrative notice of this, but I just want
15	to refer you to 2218 (b) (i), the provisions there.
16	Just to ask you after having taken a look at that, if
17	that's your recollection and understanding of the
18	handling charge as we've referred to it here.
19	A. Yes, it is.
20	Q. Prior to the effective date of the
21	provision that we just mentioned that was in the
22	statute, there was no statutory definition or limit on
23	handling charge, was there?
24	A. No.

1	Q. And the agency just applied a percentage to
2	the handling charge based on its experience and its
3	customary usage?
4	A. Correct.
5	Q. And that was the 15 percent that you
6	referred to earlier in your testimony?
7	A. Correct.
8	Q. And the statutory provision put in a
9	sliding scale?
10	A. That's correct.
11	Q. And so it depends on the amount of the
12	subcontractor, the field persons?

13	Α.	Correct.
14	Q.	The statutory provision contained a
15	definition o	f handling charge, didn't it?
16	Α.	Yes, it did.
17	Q.	And it said that a handling charge means
18	administrati	ve insurance and interest costs and a
19	reasonable p	rofit for procurement oversight and payment
20	of subcontra	cts and field purchases, correct?
21	Α.	That's correct.
22	Q.	So in order to be entitled to a handling
23	charge, it w	ould follow then that someone has to have
24	incurred tho	se kind of costs, right?

74

1	Α.	That's correct.
2	Q.	Procurement, oversight, payment of
3	subcontracts	or purchases?
4	А.	That's correct.
5	Q.	Now, again, referring you back to page 58
6	of the agency	's fiscal administrative record, it's
7	Harrison Envi	ronmental Solutions who are seeking the
8	\$33,250.77 ha	ndling charge in this case, right?
9	А.	Correct.
10	Q.	On that invoice about the middle there, for

example, there's a reference to Prairie Analytical. Do

13	A.	Yes, I do.
14	Q.	I'm going to ask you, if you would, turn to
15	page 65 of t	he fiscal record.
16	A.	Okay.
17	Q.	And that, for example, is a Prairie
18	Analytical S	ystems, Inc., invoice, right?
19	Α.	Correct.
20	Q.	And who is that invoice to?
21	Α.	Harrison Oil Company.
22	Q.	Harrison Oil Company? Not Harrison
23	Environmenta	1?
24	A.	That's correct.
		75 KEEFE REPORTING COMPANY
1	Q.	Or Harrison Environmental Solutions?
2	Okay.	
3		Turn to page 67, if you would.
4		MR. HEDINGER: I'm going to object at this
5	time. It se	ems to me the direction Mr. Merriman is
6	going is att	empting to add to the basis for the agency's
7	decision, bu	t Mr. Oakley has already testified as to

what that basis was, and it's also in the record. And

application and this matter is framed by and formed by

the agency's final decision on the reimbursement

12 you see that?

8

9

11	the bases for ruling that the agency has identified.
12	HEARING OFFICER LANGHOFF: Mr. Merriman?
13	MR. MERRIMAN: Well, in response to that, I
14	would say that I don't think I'm attempting to add or
15	modify anything, other than clarifying.
16	Attachment A and Mr. Hedinger is
17	correct, that attachment A, and written reasons for the
18	decision set out in attachment A define the issues in
19	this case. And attachment A at paragraph three says
20	that the sum total of \$116,732.82 deductions were made
21	and costs that the owner/operator failed to demonstrate
22	were reasonable. That's the basis that's the
23	statutory basis for the denial. The individual items
24	including the handling charge.

KEEFE REPORTING COMPANY

1	HEARING OFFICER LANGHOFF: Mr. Merriman,
2	that information is before the agency when they made
3	their decision; is that correct?
4	MR. MERRIMAN: Yes, it was.
5	HEARING OFFICER LANGHOFF: Anything else,
6	Mr. Hedinger?
7	MR. HEDINGER: Yeah. I mean, the document
8	itself says that the reason why the 33,250.77 markup is
9	unreasonable is because the markup can only be taken by

10	the primary contractor, which was RAPPS. Mr. Merriman
11	is trying to create some new basis for that ruling, and
12	apparently he's trying to say, well, it wasn't RAPPS at
13	all. It was Harrison Oil Company.
14	HEARING OFFICER LANGHOFF: No, I'm going to
15	overrule your objection and have Mr let
16	Mr. Merriman ask the questions and make his argument in
17	his brief. You can make your argument at that time.
18	MR. MERRIMAN: Okay.
19	Q. Page 67 for example.
20	HEARING OFFICER LANGHOFF: For the record,
21	I'm going to overrule the objection. I don't know if I
22	did that.
23	MR. MERRIMAN: Thank you.
24	Q. That is an invoice from
	77 KEEFE REPORTING COMPANY
	NEETE NEIGNIENG CONTING
1	Ishmael Construction Company?
2	A. Correct.
3	Q. And that is addressed to whom?
4	A. Harrison Oil Company.
5	Q. I think that we have that on pages 67 and
6	71 and 73, and they are additional Prairie Analytical
7	Systems invoices; is that right?

8 A. That's correct.

9	Q. And those invoices are addressed to whom?
10	A. Harrison Oil Company.
11	Q. And on page 75 and 77 of the fiscal record,
12	there's a bill, construction invoices?
13	A. Correct.
14	Q. And they are billed to who?
15	A. Ted Harrison.
16	Q. I guess we could go through, but at the
17	same time I think we it's your understanding that the
18	majority, if not all of the invoices in this request for
19	reimbursement, were directed to entities other than
20	Harrison Environmental Solutions?
21	A. That's correct.
22	Q. Now, in addition to the fact the
23	handling charge issue, back to this again.
24	That in addition to the fact that someone

KEEFE REPORTING COMPANY

l	has to actually procure a subcontractor or administer a
2	subcontract, pay it, or procure material purchases for
3	the site, isn't it also true that the subject matter of
1	the contract has to be something that would be
5	appropriate to be reimbursed, for the handling charge to
6	be reimbursed?

7 A. That's correct.

8	Q. So the issue and, again, under old law,
9	is there something is there some definition that
10	applies to what is or what is not reimbursable?
11	A. The broad definition is corrective the
12	definition of corrective action.
13	Q. And, in fact, corrective action is defined
14	under former Section 2218 (e) (s) (c), right?
15	A. Correct.
16	Q. And, again, the Board can take
17	administrative notice of that, but that's a part of your
18	review process, correct?
19	A. Yes.
20	Q. To determine that it meets the statutory
21	criteria of being appropriate corrective action?
22	MR. HEDINGER: I'm going to object again.
23	I mean, I think this is further afield than what he was
24	doing earlier. I mean, there's nothing in this record
	79
	KEEFE REPORTING COMPANY
1	
1	that says these costs are denied because they're not
2	associated with corrective action.
3	HEARING OFFICER LANGHOFF: Mr. Merriman?
4	MR. MERRIMAN: Well, at this point, I'm
5	asking him specifically, because there was a discussion

7	technical review that was requested and the reasons for
8	that.
9	And that the over-arching statutory
10	obligation is that it has to be corrective action. And
11	any charge we had listed as failure to document
12	reasonableness, and the statute as it existed at the
13	time says that we could only reimburse it if in fact
14	corrective action was reasonable and was adequately
15	documented.
16	And if they failed to document if the
17	reason that we deny it is that it's not reasonable,
18	because it wasn't documented to be reasonable, one of
18 19	because it wasn't documented to be reasonable, one of the reasons that it could be not reasonable is
19	the reasons that it could be not reasonable is
19 20	the reasons that it could be not reasonable is it's because it isn't something that is appropriate
19 20 21	the reasons that it could be not reasonable is it's because it isn't something that is appropriate reimbursement as corrective action. So I think it's all

KEEFE REPORTING COMPANY

1	MR. HEDINGER: I think you're just talking
2	around a big circle.
3	He said there were separate I mean, the
4	statute itself said there are separate bases for
5	denial. One is reasonableness and the other is I

6	mean, it has to be corrective action.
7	The letter and Mr. Oakley's previous
8	testimony have only identified reasonableness. They
9	haven't identified anything to do with whether it's
10	corrective action. And to boot strap that by saying,
11	well, it's unreasonable because it's not corrective
12	action is beyond the limitation of the scope of what
13	we're doing here today.
14	HEARING OFFICER LANGHOFF: I'm going to
15	overrule your objection, Mr. Hedinger. I believe that
16	Mr. Merriman is asking Mr. Oakley the general scope of
17	his review, what his part of the LUST review does under
18	what we'll call the old law, and I'll allow him to
19	answer the question.
20	Q. (By Mr. Merriman) Do you recall exactly
21	what that question was?
22	A. No.
23	HEARING OFFICER LANGHOFF: You'll have to
24	ask it again, Mr. Merriman.

KEEFE REPORTING COMPANY

1	MR. MERRIMAN: I can't guarantee I'll be
2	asking the question, unless the could I ask that it
3	be read back?

4 HEARING OFFICER LANGHOFF: Okay.

5	[Record read.]
6	MR. MERRIMAN: Yeah. I didn't obviously
7	finish the question.
8	Q. I guess it's part of your
9	review in determining reimbursibility (phonetic) in
10	determining whether or not the cost claimed meets the
11	statutory definition of corrective action?
12	A. Yes.
13	Q. And sometimes that's, I take it, a
14	technical question that is referred to the technical
15	section?
16	A. That's correct.
17	Q. Okay. And is that one of the reasons
18	why is that one of the reasons that you submit things
19	to the technical section for the review?
20	A. Yes.
21	Q. And I think you mentioned also to determine
22	whether the activity was part of an approved corrective
23	action plan?
24	A. Correct.

KEEFE REPORTING COMPANY

1	Q.	And that	's another	one of	the statutory
2	criteria fo	r payment,	was it no	t?	

A. Yes, that's correct.

4	Q.	The final decision letter that was sent in
5	this case,	I believe it's been referred to as
6	Petitioner'	s Exhibit 2. And it appears in a couple
7	places in t	he record, fiscal record, pages 33 through
8	36, for exa	mple.
9	Α.	Okay.
10	Q.	What is the date of that letter?
11	Α.	January 25, 1999.
12	Q.	I'm going to refer you to page one of the
13	fiscal reco	ord.
14	Α.	Okay.
15	Q.	And previously you testified that is a
16	letter addr	essed to you from RAPPS Engineering and
17	Applied Sci	ence?
18	Α.	Correct.
19	Q.	What date does that bear?
20	Α.	February 26, 1999.
21	Q.	That postdates the January 25th decision;
22	is that rig	ht?
23	Α.	That's correct.

KEEFE REPORTING COMPANY

Q. Were you aware of the information contained

1 in that letter with respect to, for example, the lab

24

2 24-hour turnaround charges prior to January 25, 1999?

ز	,	Δ.	 don't	, nc -	rcvc	

14

1.5

20

21

22

23

24

4	Q. To your knowledge, did the application that
5	you have before you and decided upon prior to January
6	25, 1999, contain any justification or explanation for
7	the 25-hour turnaround charge for RAPP or for Prairie
8	Analytical?

- A. I do not believe so.
- Q. Is there anything under the statute as it
 existed at that time that obligated or required the
 agency to notify an applicant that there were apparent
 deficiencies and asked for further information?
 - A. Is there anything in the statute?
 - Q. That required the agency to do that.
- 16 A. I don't know that it was in the statute,
 17 but we've done that -- yes. I believe it is. I believe
 18 the statute says it has to be a complete application for
 19 payment.
 - Q. The application has to be complete. But is there anything if the agency determines that there is something lacking in the application to justify reimbursement, is there anything at that time that would require the agency to contact or notify the applicant

- 2 A. I don't know that it's in the regulations,
- 3 but we've traditionally done that.
- Q. It was the agency's practice, but were you
- 5 obliged to do that under the statute?
- A. I do not believe so.
- 7 Q. Now, the letter that was sent on -- dated
- 8 November 9th, which it appears beginning at page 13 of
- 9 the fiscal record.
- 10 A. 13, okay.
- 11 Q. Signed by you. That is -- and previously
- 12 you had testified about this -- requested by you, a
- detailed discussion of all activities and duties
- 14 performed by Ted and Lori Harrison of Harrison's
- 15 Environmental Solutions during the billing period of
- 16 August 21, 1996 through December 3, 1996.
- 17 A. That is correct.
- 18 Q. That's correct. And that's at paragraph
- 19 three of that letter?
- 20 A. Correct.
- Q. Why did you make that request?
- A. Because we didn't feel we had enough
- 23 documentation on the original invoice. And we wanted to
- 24 know more detail as to what kind of activities was being

- performed by this particular --
- 2 Q. The purpose for wanting additional
- 3 information or additional detail?
- 4 A. To determine if the costs were associated
- $\,\,$ $\,$ $\,$ with corrective action, as well as get more of an idea
- of reasonableness.
- 7 Q. And is that an unusual thing for you to
- 8 make those kind of requests?
- 9 A. No.
- 10 Q. The response to that specific request,
- appearing at pages 28 and 29 of the agency fiscal record
- 12 previously testified, was there any additional response
- received by the agency regarding that request prior to
- 14 January 25, 1999?
- A. Not that I'm aware of.
- 16 Q. The only thing that the record contains
- 17 that you're aware of is this written response appearing
- 18 at pages 28 and 29 in the record?
- 19 A. Correct.
- Q. And did you review that response?
- 21 A. Yes, I did.
- 22 Q. The amount that's on page -- let me see.
- 23 58, yes. Referring to page 58 of the fiscal record, the
- first item under the heading subcontractors is what?

- 1 A. Harrison Environmental Solutions.
- Q. And the charge for that item?
- 3 A. \$80,141.50.
- Q. That's the amount that specifically was set forth in attachment A of the denial letter as not having been documented to be reasonable; is that right?
- 7 A. That's correct.
- Q. And does that lack of documentation of reasonableness of those charges fairly reflect your conclusion after having reviewed the additional information submitted by the applicant that appears in pages 28 and 29 of the record?
- 13 A. Yes, it does.
- 14 MR. MERRIMAN: I think that's all I have.
- 15 HEARING OFFICER LANGHOFF: Thank you.
- Mr. Hedinger, I'll give you a chance to
 question Mr. Oakley as in cross examination as a result
 of Mr. Merriman's questions. Sort of limit it in scope,
- 19 theoretically.
- 20 FURTHER EXAMINATION
- 21 QUESTIONS BY MR. HEDINGER:
- 22 Q. Turning your attention, Mr. Oakley, to page
- 23 one of the fiscal record. It's that letter from RAPPS
- 24 Engineering that provided information.

1	A. Okay.
2	Q. Okay? Mr. Merriman was asking you
3	questions about that. Do you recall these questions?
4	A. No.
5	Q. Do you recall him questioning you about
6	that?
7	A. Yes.
8	Q. One of the things he asked you was whether
9	you were aware of the information contained in this
10	prior to February 25, 1999. Do you recall that?
11	A. If I was aware of I believe he was
12	questioning me regarding the 24-hour turnaround charges;
13	is that correct?
14	Q. Right, exactly.
15	A. And was I aware of this document prior
16	to
17	Q. The information contained in this
18	document. I don't want to re-ask Mr. Merriman's
19	question. Strike all that.
20	Just turning your attention back to this.
21	It's my recollection of your testimony when we started
22	this morning, that issues pertaining to the turnaround
23	time generally are handled by the technical review,
24	correct?

- 1 A. Yes. We would ask their input on that.
- 2 Q. And you did not -- again, I think we just
- discussed this earlier. But just for the record, you
- 4 did not look at the technical file in making your
- 5 reimbursement determination, correct?
- A. That's correct.
- 7 Q. So the agency may have had information
- 8 relevant to this issue, but it wasn't in your office
- 9 when you were looking at this, correct?
- 10 A. Correct.
- 11 Q. You also answered some
- 12 questions -- turning away from this document.
- 13 Mr. Merriman was asking you questions
- 14 concerning your request for additional information. And
- just for reference, that's page 13 of the fiscal
- 16 record.
- 17 A. Okay.
- 18 Q. You said that -- and this is what I've
- 19 written down. "We have traditionally done that,"
- 20 meaning you have traditionally asked for additional
- 21 information. Do you recall that answer to
- 22 Mr. Merriman's question?
- A. Yes, yes.
- Q. And since what time have you been -- I

1	mean,	since	what	year?	Since	the	inception?	

- 2 Α. Always, yes.
- 3 Q. Typically, would there be one or more
- 4 letters go out requesting additional information?
- 5 Α. Typically one.
- 6 Okay. And when you say typically one, does
- 7 that mean it's not at all uncommon for a reimbursement
- 8 application to receive a request for additional
- 9 information?
- It's not uncommon, especially in old law 10 Α.
- 11 sites, yeah.
- 12 And for these old law sites -- let's limit
- 13 the question to that. Can you give me a percentage of
- 14 applications in which you would send a request for
- additional information? 15
- No, I couldn't. 16 Α.
- Or a range of percent? Somewhere between 17
- 50 and 75 percent? 18
- I wouldn't think it would be that high, 19
- but, you know, I really don't know. I'd have to have 20
- 21 the numbers.
- 22 Okay. Mr. Merriman turned your attention
- 23 to invoices at pages 65 and 67 and 71 and 73 and 75 of
- the record. Do you recall that line of questioning --24

1	A. Yes, I do.
2	Q generally? And he ended that
3	questioning with just sort of a broad question of
4	whether the majority or all of the invoices were
5	directed toward an entity other than
6	environmental Harrison Environmental. Do you
7	remember that?
8	A. Yes, I do.
9	Q. Let me get an overview of what you had here
10	then. Is it accurate to say that this reimbursement
11	application contains a number of invoices directed to
12	either Harrison Oil Company or Ted Harrison? Or was
13	there anybody else? Or do you know?
14	A. I don't know.
15	Q. But in any event, there's a stack of
16	invoices from suppliers and subcontractors and other
17	third parties that were addressed to Harrison Oil,
18	correct?
19	A. Correct.
20	Q. And then you have what's in the record at
21	page 58, which is the Harrison's Environmental Solutions
22	list of all of these invoices that comes up with the
23	amount being sought, correct?

A. Correct.

1 Ο. And this list includes all of the 2 subcontractors that were involved in this portion or 3 this request for reimbursement, correct? 4 That's what this document says. Α. 5 And this summarizes all of those invoices that were addressed to either Harrison Oil or Ted 6 Harrison or someone else, correct? I believe so. I don't know that it's 8 9 any -- there's any addressed to someone else. Most of them that I've looked at were either addressed to Ted 10 Harrison himself or Harrison Oil Company. 11 12 Q. Okay. 13 Α. Just the ones I looked at. I understand. 14 Ο. 15 Α. Okay. 16 I wasn't trying to trick you. Q. 17 Α. No. But as far as you know and as far as what 18 we've discussed this morning, that's what we've had in 19 20 front of us? 21 Α. Yes. This bill here, page 58, it also is 22

addressed to Ted Harrison Oil Company, isn't it?

A. Correct.

92 KEEFE REPORTING COMPANY

1	Q.	From Harrison's Environmental Solutions,
2	correct?	
3	Α.	Right.
4	Q.	And Ted Harrison Oil Company is the
5	applicant he	re, right?
6	Α.	Correct.
7	Q.	In fact, Ted Harrison Oil Company is the
8	entity that	signed the owner certification certifying
9	that everyth	ing in this application is true and
10	accurate, co	rrect?
11	Α.	I'll have to look. Can you direct me to
12	where that d	ocument is?
13	Q.	I'm looking like you are.
14	Α.	Okay.
15	Q.	How about 32. That's the taxpayer
16	certificatio	n. That's not what you're looking for, is
17	it?	
18	Α.	No. I'm, like, looking for the
19	owner/operat	or certification.
20		HEARING OFFICER LANGHOFF: Mr. Merriman, do
21	you have thi	s indexed?

MR. MERRIMAN: I'm sorry?

23	HEARING OFFICER LANGHOFF: Do you have this
24	indexed, the record indexed?
	93 KEEFE REPORTING COMPANY
1	MR. MERRIMAN: Yes, I do, but I'm not sure
2	how detailed.
3	MR. HEDINGER: Page 52.
4	THE WITNESS: That's it, yes.
5	Q. (By Mr. Hedinger) That says owner/operator
6	is Mr. Ted Harrison, right?
7	A. Correct.
8	Q. It's signed by Mr. Ted Harrison, right?

That's correct, but it's not Harrison Oil

Do you have any reason -- or tell me what

Well, to begin with, the intent was never

But I guess my question is, what facts are

reason you do have to dispute that the application page

to list each individual subcontractor or whoever was

working on this, this particular site, and add a 15

percent markup on each individual one. That would lead

you aware of to question whether Harrison Environmental

me to dispute it when I would see that. I would look

9

10

11

12

13

14

15

16

17

18

19

20

21

Α.

58 is inaccurate.

Α.

further into it.

Company.

22	Solutions procured, oversaw and or paid the
23	subcontractors listed on page 58?
24	A. What facts am I aware of that Harrison's
	94 KEEFE REPORTING COMPANY
1	Environmental Solutions, if that's the question,
2	procured, paid, etcetera?
3	Q. And oversaw the work of the subcontractors
4	listed on page 58.
5	A. I am unaware of any facts.
6	Q. Those are the statutory requirements,
7	right, that Mr. Merriman was asking you about earlier in
8	22.18 (b) (i)?
9	A. I believe so.
10	Q. I mean, among other things, that is to be a
11	reasonable profit for procurement, oversight and payment
12	of subcontractors?
13	A. Correct.
14	Q. No other entity involved in this matter,
15	aside from the Western Environmental invoices for
16	procurement we talked about earlier, are you aware of
17	any other handling charges being sought in this
18	reimbursement application?
19	A. I'm unaware of any.
20	Q. RAPPS never charged any, did they?

21	A. On this particular submittal?
22	Q. Correct.
23	A. I'm unaware. I don't believe so. I
24	believe they may have charged some previously, but I
	95 KEEFE REPORTING COMPANY
	REEFE REPORTING COMPANI
1	don't know that for sure either.
2	MR. HEDINGER: I'm finished.
3	HEARING OFFICER LANGHOFF: Thank you.
4	Mr. Merriman, anything further?
5	MR. MERRIMAN: Yeah, real short.
6	FURTHER EXAMINATION
7	QUESTIONS BY MR. MERRIMAN:
8	Q. So whose obligation is it to make sure that
9	the information you need to make a decision is contained
10	in the application?
11	A. It would be the owner/operator ultimately.
12	MR. MERRIMAN: I think I'm not going to ask
13	any further questions. I think it's all in the record.
14	HEARING OFFICER LANGHOFF: Thank you.
15	Thank you, Mr. Oakley. You can step down
	and have a seat.
16	
17	MR. HEDINGER: I will only be calling one
18	more witness, and that will be Valerie Davis. So you
19	can tell Ms. Elston that I won't need her. No, wait a

20	minute. There's a slim chance I will. But I will be
21	calling
22	MR. MERRIMAN: We all rode here together.
23	So it's not going to make much of a difference, unless
24	she wants to walk back to the agency.
	96 KEEFE REPORTING COMPANY
	NDDIE NDIONING COMPINI
1	MR. HEDINGER: All right.
2	HEARING OFFICER LANGHOFF: Do you wish to
3	offer Petitioner's Exhibit 1 through 8? Or do you want
4	to wait?
5	MR. HEDINGER: Well, yeah. I'll go ahead
6	and offer those.
7	HEARING OFFICER LANGHOFF: Everything is
8	part of the record, except for Exhibit 1.
9	MR. HEDINGER: Page 1 is page 58 of the

record, and the rest of it is as we discussed earlier. 10 HEARING OFFICER LANGHOFF: Mr. Merriman, 11 any objections to Petitioner's 1 through 8? 12 MR. MERRIMAN: No. They're all in the 13 14 record. Again, as indicated, the first page of Exhibit 1 was page 58 of the agency fiscal record, the remainder 15 pages 15 through 27 of the agency's fiscal record. 16 HEARING OFFICER LANGHOFF: Petitioner's 17 Exhibit 1 through 8 will be admitted. 18

19	[Whereupon Petitioner's Exhibit
20	Numbers 1 - 8 were admitted into
21	evidence.]
22	HEARING OFFICER LANGHOFF: Ready for your
23	next witness, Mr. Hedinger?
24	MR. MERRIMAN: I'd ask for a two- or
	97
	KEEFE REPORTING COMPANY
1	three minute record for Mr. Oakley
2	three-minute recess for Mr. Oakley.
	HEARING OFFICER LANGHOFF: Sure. We'll be
3	back in two or three minutes.
4	[Brief break.]
5	HEARING OFFICER LANGHOFF: We're back on
6	the record.
7	Mr. Hedinger, would you call your next
8	witness please.
9	MR. HEDINGER: We will call Valerie Davis.
10	HEARING OFFICER LANGHOFF: Would you swear
11	in Ms. Davis please.
12	[Witness sworn.]
13	HEARING OFFICER LANGHOFF: Thank you.
14	VALERIE DAVIS
15	of lawful age, being produced, sworn and examined on
16	the part of the Petitioner, testifies and says:
17	EXAMINATION

18	QUESTIONS BY MR. HEDINGER:
19	Q. And please state and spell your name for
20	the record.
21	A. Valerie, V-a-l-e-r-i-e; Davis, D-a-v-i-s.
22	Q. And, Ms. Davis, can you tell us where
23	you're currently employed?
24	A. The Illinois Environmental Protection
	98
	KEEFE REPORTING COMPANY
1	
1	Agency in the Leaking Underground Storage Tank section.
2	Q. What's the nature of your job please.
3	A. I am a project manager.
4	Q. And what do you do in that role?
5	A. We review technical plans, reports,
6	budgets, bills, various work groups, rule making, things
7	like that associated with the LUST program.
8	Q. Pretty much anything involving the LUST
9	program?
10	A. Yes.
11	Q. Okay. The notice to appear and produce
12	that you were served with today asked you to bring
13	certain documents. Did you bring anything with you?
14	A. No. I wasn't served with anything.
15	MR. HEDINGER: It was sent to Mr. Merriman,
16	but I assume that means that everything is in the

17	record?
18	MR. MERRIMAN: Everything that I'm aware of
19	is in the record. I just want to state, Stephen, that
20	I, for whatever reason, don't have a copy of that notice
21	to produce.
22	MR. HEDINGER: Oh.
23	MR. MERRIMAN: But I will I'm sure that
24	you served it. I just don't have a copy of it, but I
	99 KEEFE REPORTING COMPANY
1	just want to make sure that I mean, everything is in
2	the technical record, and if it's the same scope that
3	you asked
4	MR. HEDINGER: It's exactly the same.
5	MR. MERRIMAN: Then it's all there.
6	MR. HEDINGER: Let me check if you don't
7	mind.
8	HEARING OFFICER LANGHOFF: I'm handing
9	Mr. Hedinger a copy of the hearing notice to appear and

9 Mr. Hedinger a copy of the hearing notice to appear and
10 produced to Ms. Valerie Davis.

11 MR. HEDINGER: Yeah, that was the same or
12 even less.
13 Q. Okay. Ms. Davis, you're
14 familiar with the matter we're here on today, correct?

Ted Harrison Oil Company?

16	A. Yes.
17	Q. And you understand that we're here for a
18	LUST fund reimbursement appeal?
19	A. Yes.
20	Q. And your role in this case consisted of
21	having conducted the technical review of the
22	reimbursement at issue, correct?
23	A. Right.
24	Q. Were there other requests for reimbursement
	100 KEEFE REPORTING COMPANY
1	submitted for this site that you've been involved with?
2	A. I may have been.
3	Q. Okay.
4	A. Since this was four years ago, I know this
5	one that I have been, because it's under appeal. The
6	other ones I have, or I may have not. I don't know.
7	Q. How is that assigned to you? How are these
8	technical reviews assigned when they come into your
9	unit?
10	A. I am the assigned project manager on the
11	technical side. So if there's some questions for
12	reimbursement, you know, that I could assist with, then
13	it comes to me.
14	Q. So you would be the one that would conduct

15	any technical review for Ted Harrison Oil at this site?
16	A. That site, yes.
17	Q. Okay. Can you tell me what is involved
18	with conducting the technical review?
19	A. Of the bills?
20	Q. Yes.
21	A. We look at the technical documentation,
22	compare that to what has been submitted with the bills
23	to make sure that the invoices and what is being
24	requested is supported technically with reports and that
	101 KEEFE REPORTING COMPANY
	NBBIE NBIONTING CONTINU
1	type of thing, that the costs are eligible, and that
2	basically that they are corrective action costs.
3	Q. Okay. And what sort of training have you
4	received to be able to do that review?
5	A. Training? Mentoring from the time that I
6	was hired at the agency, as far as the bills go. Just a
7	mentor program and kind of get experience from there.
8	Q. And who was it that conducted the
9	mentoring?
10	A. For the reimbursement?
11	Q. Yes.
12	A. Review from Kyle Rumminger (sp).
13	Q. And when you say mentoring, do I assume he

14	just basically was there to answer questions when you
15	needed when you had questions? Or what do you mean
16	by mentoring?
17	A. He introduced the concepts behind the
18	reimbursement review. We kind of went through things
19	together. And then as I was assigned more and more
20	projects, if I have questions, I would have went to Kyle
21	at that time, to the point that I was comfortable enough
22	not to have to go to Kyle. But, basically, that's what
23	the mentoring involved.
24	Q. Okay. Now, are there any guidance
	102 KEEFE REPORTING COMPANY
	REEFE RETORTING COMPANY
1	documents that you use to help you do these
2	reimbursement package technical reviews?
3	A. No.
4	Q. There's no definitional or any sort of
5	policy statements that you ever reviewed?
6	A. No policy statements. The Act and
7	regulations. Pretty much that's what leads us, yeah.
8	Q. And then what you may have discussed with
9	Mr. Rumminger or anyone else relevant to a particular
10	review? Is that accurate?
11	A. Right.
12	MR. HEDINGER: Can we hand to Ms. Davis the
1 /	

13	stack of exhibits? Okay. These have previously been
14	introduced, and we've discussed these with Mr. Oakley
15	earlier.
16	Q. And I have now handed you
17	therefore what we've marked as Petitioner's Exhibits 1
18	through 8.
19	Ms. Davis, when you conduct your portion of
20	reimbursement review, do I understand that you look not
21	only at the reimbursement application, but also at the
22	technical materials that have been submitted for the
23	site?

KEEFE REPORTING COMPANY

1	Q. And at least the technical information
2	relevant to the charges requested in that reimbursement
3	application, correct?
4	A. Right.
5	O. So you had before you not only the

- Q. So you had before you not only the reimbursement application for this site, but also what we have marked here as our technical record for this site, right?
- 9 A. Right.

6

10 Q. Okay. I'd like you to leaf through your
11 stack of documents. And down at the bottom right-hand

12	corner is where the exhibit number is marked. And if
13	you would please, find what's marked there as
14	Petitioner's Exhibit 6. Did you find that?
15	A. Mm-hmm, yes.
16	Q. Now, you'll see just above where it says
17	Petitioner's Exhibit 6, there's a bates stamped number
18	31. Flip back there until you come to bates stamp
19	number 37 please. It's the second to last page of that
20	document.
21	A. Okay.
22	Q. Find it? I'll ask you whether you
23	recognize that page. And, actually, is that page and
24	the page following it, 37 and 38, have you ever seen
	104 KEEFE REPORTING COMPANY
1	that before?
2	A. I don't believe so.
3	Q. Is that your handwriting?
4	A. No.
5	Q. When you do a technical review, do you use
6	
	any sort of form or listing of items that you question?
7	A. Not in any particular format, no.

these two pages, 37 and 38?

A. To answer your question; that is, I may

9

11	have something that needs further review? I may have
12	notes, right. And this doesn't really look like a
13	form. It looks like notes.
14	Q. So to cut right down to the bottom line,
15	this is not your work, these two pages?
16	A. These two pages, no.
17	Q. Now, in your stack of documents there, find
18	Petitioner's Exhibit Number 7. Did you find that?
19	A. Yes.
20	Q. Now, this is your work, right?
21	A. Right.
22	Q. And this is the form that at least at that
23	time you were using to communicate with the LUST fiscal
24	department concerning your technical review, correct?
	105 KEEFE REPORTING COMPANY
	REEFE REFORTING COMPANY
1	A. Right. It's an internal memo.
2	
3	pages attached to it. It's pages 39 through 41 all

together of the record. Are those two pages that are attached your work?

A. No.

Those are not yours?

A. No.

Do you have any idea whose they are?

10	A. I would assume they were the accounting
11	project manager.
12	Q. Okay, all right. So as far as at least of
13	where we are right now, the first page of this document,
14	which is page 39 of the record, is that the only thing
15	that you created yourself with respect to this
16	reimbursement application review?
17	A. Yes.
18	Q. All right. I would like to turn then and
19	focus on that page 39. Turning your attention to the
20	bottom, a little more than half of the page beginning
21	with the words "cost for reimbursement preparation." Do
22	you see where I'm at?
23	A. Yeah.
24	Q. Was all of that from that point down typed
	LEGGE DEDODEING COMPANY
	KEEFE REPORTING COMPANY
1	in by you?
1	
2	A. Yes. Those are my notes.
3	Q. The third item down, Harrison's
4	Environmental Solutions invoice. Do you see where I'm
5	at?
6	A. Yes.
7	Q. That states invoice for \$80,141.50 with the
8	owners of the site charging \$50 per hour. Do you see

9	where I	'm rea	ading from?
10	Ž	Α.	Yes.
11	Ć	2.	What prompted you to say the owners of the
12	site we	re cha	arging \$50 an hour?
13	Ĩ	. A	From what the bills said.
14	Ć	Q.	It's your understanding that Harrison
15	Environ	mental	l Solutions, Inc., owned the site?
16	Ĩ	. A	No. That was not my understanding at the
17	time.	That's	s why I was questioning because I didn't
18	know.		
19	Ć	Q.	Okay.
20	Ī	Α.	So that's why I had numerous questions
21	about i	t.	
22	Ć	2.	And continuing from that, it says, "For
23	then,"	quest	ion mark, question mark, "duties." Is that
24	question	nable	duties?

1		Α.	Right,	duties	that	Ι	was	not	for	sure	what
2	those	duties	were.								

- Q. And then you said, "Billing owner for owner's work." What does that mean?
- 5 A. Another question.
- Q. But what specifically? Can you elaborate on what you were questioning there?

8	A. What I was thinking at that time? That I
9	wasn't for sure exactly who was doing the work, who was
10	billing it. Was it the owner? I didn't know. It was
11	questionable.
12	Q. All right. The next item just below that
13	says 24-hour turnaround time charges?
14	A. Yes.
15	Q. This refers, doesn't it, to laboratory time
16	charges for doing a quick turnaround on lab results?
17	A. Yes.
18	Q. What's your understanding of the normal
19	turnaround time for lab results?
20	A. A couple weeks maybe, a week.
21	Q. And in this
22	A. It depends.
23	Q. I'm sorry. Were you finished?
24	A. I guess it would depend on the lab and if
	108 KEEFE REPORTING COMPANY
	REEFE REFORTING COMPANI

1 it was in the same town, if they had to send it off,

- 2 different situation.
- 3 Q. What's typical then? What's a range?
- 4 A. I'd say a week.
- 5 Q. Around a week?
- A. Yeah.

/	Q.	and so here there was an extra charge for
8	doing the la	b work in a quick turnaround time, correct?
9	A.	Yes.
10	Q.	And by turnaround time, that would mean the
11	time from wh	ich the lab receives the sample to the time
12	the lab forw	wards the results to whoever requested them?
13	A.	Yes.
14	Q.	And here apparently they wanted it in 24
15	hours. The	lab charged an additional total of
16	\$2,906.25,	correct?
17	A.	Right.
18	Q.	And it was your analysis that that charge
19	was unreason	able, right?
20	A.	Right.
21	Q.	Under what circumstances would a 24-hour
22	turnaround t	ime be reasonable?
23	Α.	Circumstances where there is potential
24	danger, I gu	ess, for leaving an excavation open. If you

KEEFE REPORTING COMPANY

1	have a larger excavation, they want to take samples, get
2	the results back quick whether to continue leaving that
3	excavation open or not, whether they're going to be
4	backfilling. That's one, for instance.

5

Q. What if the costs to demobilize and

6	remobilize, in the events you had to, would exceed the
7	turnaround time on the lab? Would that make the lab
8	turnaround time cost reasonable?
9	A. Demobilize or remobilize what?
10	Q. Well, suppose the excavation is open, as
11	you were describing, and the consultant determined not
12	being certain whether they had come to the end of the
13	plume, they take some lab samples. That's basically the
14	scenario we're talking about, right? To see where they
15	have dug? To see where they have dug?
16	A. For larger excavations, yeah, they would do
17	that.
18	Q. At that point if they would have a week or
19	perhaps more of your standard turnaround time, in the
20	instance where equipment is going to be removed from the
21	site, it's typical for consultants and contractors to
22	charge for that mobilization and demobilization time,
23	correct?
24	A. Right.

1	Q.	And	that	s	an	expense	to	them,	right?

- 2 A. Right.
- Q. If it turns out that that expense for demobilizing and remobilizing, if necessary, would

5	exceed the cost of the quick turnaround time, would that
6	make the quick turnaround time reasonable?
7	A. It might.
8	Q. Have you come across that kind of
9	situation?
10	A. No.
11	Q. Okay. I'd like to turn your attention to
12	what's in the record, and that's those stacks of volumes
13	there right next to you, and look for the fiscal record
14	page one. Have you ever seen that letter before?
15	A. I may have. I really don't remember.
16	Q. Well, turn to page two of that document.
17	I's on page two of the record. And the second bullet
18	point on that page says, "All Prairie Analytical
19	invoices, \$2,906.25, 24-hour turnaround charges are
20	unreasonable and not justified." Do you see that?
21	A. Yes.
22	Q. Could you read those two pages silently to
23	yourself? And just let me know when you're done looking
24	at them.

1		HEA	ARING OFFI	CER	LANG	GHOF	F: Th	ne tr	ωO
2	paragraphs,	Mr.	Hedinger,	or	the	two	pages	of	the
3	letter?								

4	MR. HEDINGER: I am sorry.
5	HEARING OFFICER LANGHOFF: The two
6	paragraphs?
7	MR. HEDINGER: Yes.
8	HEARING OFFICER LANGHOFF: You said pages.
9	MR. HEDINGER: I'm sorry.
10	THE WITNESS: I'm done.
11	Q. (By Mr. Hedinger) Only two paragraphs.
12	A. I thought that's what you meant.
13	Q. Okay. Would the information provided in
14	those two paragraphs have caused you to consider that
15	the \$2,906.25 was reasonable?
16	A. It may have for the 24-hour turnaround
17	time as far as the charges being reasonable, that I'm
18	not for sure. I'd have to see the invoice again, but,
19	yes.
20	Q. But that would be a justification for an
21	added cost for a 24-hour turnaround time, generally
22	speaking?
23	A. It may, yes.
24	Q. Turning your attention back once more to

KEEFE REPORTING COMPANY

Petitioner's Exhibit 7, your memorandum, December 30,

2 1998.

3	Aside from this document, did you have any
4	other communication with anyone in the fiscal, in the
5	accounting unit, concerning this site prior to the final
6	decision on that reimbursement package?
7	A. Nothing written.
8	Q. Okay.
9	A. I can't say whether or not if we talked on
10	the phone or anything.
11	Q. You can't meaning that you don't know?
12	You can't remember?
13	A. No, I can't remember if we talked on the
14	phone about it.
15	Q. If you had, would it have do you recall
16	who you would have talked to?
17	A. The reviewer at the time, which was Cathy,
18	I guess.
19	Q. And you know that because she's here like
20	you are today?
21	A. Mm-hmm, yes.
22	Q. Or do you have an independent recollection
23	that she was the reviewer?
24	A. Actually, I know I do not have an

2	Q. So you don't know whether you had any other
3	conversations with her?
4	A. Right. More than likely not, since I did
5	not have it written down.
6	Q. So from as best as you can tell, the only
7	communication you had with the accounting people was
8	this one page right here, page 39 of the record?
9	A. Yes.
10	Q. You never went out to this site, did you,
11	during the time that remediation was being conducted?
12	A. No.
13	Q. So you weren't actually physically present
14	to see any of the work done that's the subject of this
15	reimbursement request, right?
16	A. Right.
17	Q. And anything that you have said on this
18	page is in reliance upon information contained in the
19	record?
20	A. Right.
21	Q. Do you recall any conversations with anyone
22	from RAPPS or anyone else concerning this site?

A. At what time?

Q. During the --

22

23

24

1	A. The entirety of the remediation?
2	Q. No. Prior to the agency's final decision,
3	which was in January of '99.
4	A. Conversations concerning the bills?
5	Q. Or the work being done at the site.
6	A. Yeah, I'm sure that there have been
7	conversations with RAPPS concerning the work being done,
8	because it's not uncommon for consultants to call the
9	project managers and give us updates and things like
10	that and then follow up with, you know, written
11	documentation or something.
12	Q. I guess what I just want to nail down is in
13	providing your analysis and your review here, the
14	document of page 39, you weren't relying on any of those
15	conversations, were you? You were only relying on what
16	was in written documentation?
17	A. Written documentation, right.
18	MR. HEDINGER: Okay. No further questions.
19	HEARING OFFICER LANGHOFF: Thank you.
20	Mr. Merriman?
21	EXAMINATION
22	QUESTIONS BY MR. MERRIMAN:
23	Q. You mentioned and I don't want to

belabor this, because I think you explained it very

24

- 1 well. But you mentioned that there may be some
- 2 circumstances when a 24-hour turnaround charge or
- 3 laboratory rush charge might be justified, and you gave
- 4 some examples of those circumstances.
- 5 And then you testified, I believe, that you
- $\,$ 6 $\,$ $\,$ relied in preparing this memorandum for the LUST claims $\,$
- 7 reviewer on your technical review, you relied solely on
- 8 the documentation that was presented in the application,
- 9 the documents that are in the record? Is that a fair
- 10 statement of your testimony?
- 11 A. Right.
- 12 Q. As you sit here today, is there anything
- 13 that you can recall in the record -- was there anything
- 14 that you saw in the record that provided or explained,
- 15 presented circumstances that would justify the doubling,
- the lab charges for a 24-hour turnaround time?
- 17 A. No.
- 18 MR. MERRIMAN: That's all I have.
- 19 HEARING OFFICER LANGHOFF: Mr. Hedinger?
- MR. HEDINGER: Nothing more.
- 21 HEARING OFFICER LANGHOFF: Thank you,
- 22 Ms. Davis.
- 23 MR. HEDINGER: And I think I have only one
- 24 more witness, and that would be Cathy Elston, and I

1	think I'm going to be very short with her.
2	HEARING OFFICER LANGHOFF: Ann, are you
3	okay?
4	THE REPORTER: Yes.
5	HEARING OFFICER LANGHOFF: Ready for your
6	next witness then.
7	MR. HEDINGER: Do you want me to get her?
8	HEARING OFFICER LANGHOFF: Would you swear
9	in the witness.
10	[Witness sworn.]
11	CATHY ELSTON
12	of lawful age, being produced, sworn and examined on
13	the part of the Petitioner, testifies and says:
14	EXAMINATION
15	QUESTIONS BY MR. HEDINGER:
16	Q. Please state and spell your name for the
17	record.
18	A. Cathy Elston, E-l-s-t-o-n.
19	Q. And, Ms. Elston, we gave you
20	MR. HEDINGER: And this is the same
21	question that Dan, does she have any other documents
22	of anything in the record?
23	MR. MERRIMAN: No.
24	Q. (By Mr. Hedinger) You brought no documents

1	with you toda	ay?
2	Α.	Other than just my copy that I had, you
3	know, of wha	t I had done, what was in the claim itself.
4	Q.	What's already in the record?
5	Α.	Right, yes.
6	Q.	Do you have any other handwritten notes of
7	your own tha	t wouldn't be in that record?
8	Α.	No.
9	Q.	And you understand today we're here on the
10	Ted Harrison	Oil Company reimbursement appeal?
11	Α.	Right.
12	Q.	And your role in this is that you were the
13	person assign	ned to review the reimbursement package
14	itself back	in 1988 and 1989?
15	Α.	Yes, I was.
16	Q.	And it's dogged you all these years, right?
17	Α.	Yes.
18	Q.	Can you tell me briefly what your job title
19	and job desc	ription is?
20	Α.	I'm an Account Tech II. Currently, I
21	review the T	itle 16 reimbursement claims.
22	Q.	Those are typically known as the new site

or new law sites?

24

A. Right, 732.

1	Q. 732?
2	A. Right.
3	Q. During 1988 and 1989, what was your job
4	description at that time?
5	A. I was reviewing the old program claims at
6	that time.
7	Q. And can you tell me real briefly in your
8	own words what is entailed by conducting these reviews.
9	A. We do first of all, we make sure that we
10	have all the necessary agency forms, any account review
11	as far as adding and subtracting any invoices, backup of
12	any costs that are in the claim.
13	Q. And Mr. Oakley is your supervisor, correct?
14	A. Yes.
15	Q. There's a stack of documents in front of
16	you that have been marked in the bottom right-hand
17	corner. "PET" stands for Petitioner's, and then there's
18	exhibit numbers. And I'd like to turn your attention to
19	those, if you would. And, specifically, if you could
20	leaf through this pile and find Petitioner's Exhibit 6.
21	Did you find it?
22	A. Yes.
23	Q. Now, before I ask any specific questions
24	about this document, just generally, as I understood

- 1 it -- and correct me if I am misstating it -- but when
- 2 you finished the job just previously to picking up the
- 3 Harrison Oil file here, you went to the list, to the
- queue of cases? That was the next one on the list,
- 5 right?
- A. Right.
- 7 Q. So you just pulled that file, took it back
- 8 to your desk and started working on it, right?
- 9 A. Yes.
- 10 Q. Can you tell me, is this the first document
- 11 that you generated from that file review?
- 12 A. Yes. We start this, and this is just to
- use to do the review, to make sure that all the
- 14 information is in the same place and to help us generate
- our letter, our final decision letter.
- 16 Q. And so when you get started, you pull one
- of these out and start filling it out as a first step in
- 18 a file review?
- 19 A. Yes.
- 20 Q. And this is your handwriting on the
- 21 document, right?
- 22 A. Yes.
- 23 Q. And look it over please. Give it a good

24 scrutiny.

1	But I mean, as you sit here today, is all
2	the information on here accurate to the best of your
3	knowledge?
4	A. To the best of my knowledge, yes.
5	Q. Mandatory document section, there's things
6	checked. Does that mean at the time you did your
7	initial review, the checked items were included?
8	A. Yes.
9	Q. So it looks like there was no proof of
10	payment of deductibility amount, and no Minority Women's
11	Business usage form?
12	A. Right.
13	Q. Were those things then later you told the
14	applicant to send in or
15	A. At the time of these reviews, those were
16	not actually mandatory.
17	Q. Even though it says mandatory documents,
18	they weren't?
19	And I see up above that anyway, you have
20	the deductible of having been met on 10-24-94?
21	A. Right.
22	Q. You really didn't need anything for that?

24	particular package.
	121 KEEFE REPORTING COMPANY
1	Q. Now, at the bottom portion of that
2	document, there's two lines. "The costs have been
3	deemed reasonable, based upon established standards,
4	practices and procedures with the following
5	exceptions." Do you see where I'm at there?
6	A. Yes.
7	Q. And underneath that, again, it was your
8	handwriting, accounting cuts, numbers, right?
9	A. Right.
10	Q. Now, in terms of process, is this
11	considered a preliminary document? Or is this
12	considered your last look at it before it gets a
13	final decision is made?
14	A. This is preliminary as far as prior to
15	sending it for a tech review. This would be my cuts
16	that I have seen in the package.
17	Q. So at this point, you've identified items
18	4, 18 and 2. And recommended deleting \$125.22,
19	\$80,856.50, \$52.34, correct?

Right.

There's right next to that, that says, "See

A.

Q.

A. It was not needed at that point in that

23

20

21

22	attached."	Do you know what you had attached to that
23	document?	
24	Α.	There are a lot of things attached. And I
		122 KEEFE REPORTING COMPANY
1	doubt that i	t would, this handwritten
2	Q.	The last two pages of that exhibit?
3	Α.	Right.
4	Q.	So that's page 37 and 38 of the record?
5	Α.	Yes.
6	Q.	So turning then to those two pages, that's
7	your handwri	ting?
8	Α.	Yes.
9	Q.	And the 80,000 figure on your sheet comes
10	from the bre	akdown of Ted and Lori Harrison's work,
11	correct?	
12	Α.	Yes.
13	Q.	That would be on page 38 of the record.
14	Α.	Yes.
15	Q.	And I assume that we could figure out where
16	the 125.22 a	nd the 52.34 on the first page of this
17	document is.	Is that your expectation?
18	Α.	Yes.
19	Q.	So at this point, does this document go to
20	Mr. Oakley?	Or does the whole package go to technical

21	staff?
22	A. The entire package goes to a technical
23	review.
24	Q. Before Mr. Oakley looks at it?
	123 KEEFE REPORTING COMPANY
1	A. Yes.
2	Q. So at this point, you're the only one who
3	has made any kind of determination on this?
4	A. In a lot of cases, I've sat down and
5	discussed things with him. And on page on number 38,
6	I did discuss with him how to phrase, you know, what I
7	wanted, the detailed information.
8	Q. So the bottom of that, that's his
9	handwriting?
10	A. Yes.
11	Q. And he was just explaining to you, you
12	should request that information?
13	A. Yes.
14	Q. You had that you didn't did you do
15	anything well, let me stop there. Strike that, and
16	we'll move to the next document.
17	I want to ask you about, would you turn to
18	Petitioner's Exhibit Number 3. Did you find that?
19	A. Yes.

20	Q.	And this is a letter requesting additional
21	information,	correct?
22	Α.	Yes.
23	Q.	And this is not an unusual letter, correct?
24	Α.	No.
		124 KEEFE REPORTING COMPANY
		REETE REPORTING COMPANT
1	Q.	Does this get generated by Mr. Oakley? Or
2		rate it and then give it to him for
3	signature?	
4	Α.	I generate it.
5	Q.	And the language in paragraph three of that
6		e first page of it is what Mr. Oakley had
7	written?	o illoo pago oi io io mao mit oamio, maa
8	w11000m. А.	Right.
9	Ω.	On your notes, right?
10	φ.	Yes.
11		And I notice that this is dated November 9,
12	Q. 1998, right?	And I notice that this is dated november 9,
13	A.	Yes.
14		Is it typical for this kind of a letter to
	Q.	
15	_	to receiving the results of the technical
16	review?	Vog hogging I gould not as any familiar in
17	A.	Yes, because I could not go any farther in
18	my accountin	g review, because I did not have the

19	receipts. I did not have detailed information.
20	Q. Okay.
21	A. So when we send it for a tech review, it's
22	everything that we need. We do not send it until we
23	have everything that we need to do an accounting
24	review.
	125 KEEFE REPORTING COMPANY
	REEFE REPORTING COMPANY
1	Q. Okay. So turn your attention to
2	Petitioner's Exhibit Number 8. Did you find that?
3	A. Yes.
4	Q. This is a letter from RAPPS Engineer to
5	you, correct?
6	A. Yes.
7	Q. That provides the information or attempts
8	to provide the information you requested, right?
9	A. Yes.
10	Q. And that's dated December 16?
11	A. Yes.
12	Q. So as of that date, you had not sent this
13	to technical for review?
14	A. No.
15	Q. And when you received well, yeah. When
16	you received this Petitioner's Exhibit 8, it had
17	attachments attached to it, correct?

18		A.	Right.
19		Q.	And in fact, Petitioner's Exhibit
20	Number	4	
21		A.	Yes.
22		Q.	that was one of the attachments, right?
23		A.	Yes.
24		Q.	When you got that Petitioner's Exhibit
			126
			KEEFE REPORTING COMPANY
1	Number	4, you	u've seen that before, right?
2		Α.	Yes.
3		Q.	And you've read it before?
4		A.	Yes.
5		Q.	Do you recall the first time you read that?
6		A.	It would have been when I received the
7	letter	from ·	on December from RAPPS.
8		Q.	Did you discuss it with Mr. Oakley at that
9	time?		
10		A.	Yes, because I still did not feel I had
11	enough	inform	mation, that it did not answer what I had
12	asked :	for as	far as details.
13		Q.	And at that point, you went to Mr. Oakley
14	to see	if he	agreed with you?
15		A.	Yes.
16		Q.	It was Mr. Oakley's decision, though, as to

17	whether there was enough information; is that correct?
18	A. Well, I didn't feel that I was comfortable
19	with the information. And after consulting with
20	Mr. Oakley, I you know, we were in agreement that,
21	you know, there was not enough detail there.
22	Q. But if he had disagreed with you, it would
23	have been his decision, correct?
24	A. In most cases, yes.
	127 KEEFE REPORTING COMPANY
	REEFE REFORTING CONTAIN
1	Q. Okay. Then moving to Petitioner's Number
2	7. Do you find where I'm at?
3	A. Yes.
4	Q. The top page of that is Ms. Davis
5	identified as her technical review. Do you recognize it
6	as being that?
7	A. Yes.
8	Q. When she well, first off, do you recall
9	any other communication or contact with Ms. Davis aside
10	from this document?
11	A. I don't really remember. I mean, it's been
12	four years, so.
13	Q. Okay. That's fine.
14	A. I mean
15	Q. But as you sit here today

16	Α.	No.
17	Q.	you don't recall ever
18	Α.	No.
19	Q.	don't recall ever talking to her about
20	it?	
21	Α.	No.
22	Q.	The second and third pages of that exhibit
23	there on the	record of pages 40 and 41, is that your
24	handwriting?	
		128
		KEEFE REPORTING COMPANY
1	Α.	Yes, it is.
2	Q.	Okay. Can you tell me what these two pages
3	are?	okay. Can you tell me what these two pages
4	A.	They were my notes that I had made
5		ne cuts that Valerie had made, and I was
6		do the final decision letter.
7	Q.	Okay. So this is basically your listing of
8		es that had arisen to that point?
9	Α.	Right.
10	Q.	What would have been the date of this?
11	Approximately	y a little after December 30th?
12	Α.	Yes. I don't really know for sure exactly
13	what date I w	would have done that.
14	Q.	Okay. Look at Petitioner's Exhibit

15	Number 5, if	you would. Is that your handwriting?
16	Α.	Yes, it is.
17	Q.	What is this for?
18	Α.	This is to do the payment for the fiscal
19	section, as	far as what we send to them for them to do
20	the actual c	heck.
21	Q.	This tells them that you've authorized this
22	amount?	
23	Α.	How much money we've authorized.
24	Q.	And it's dated 1-6-99?
		129 KEEFE REPORTING COMPANY
		REDITE REPORTING CONTINUE
1	Α.	Yes.
1 2	A. Q.	Yes. Would that have been roughly the same date
	Q.	
2	Q.	Would that have been roughly the same date
2	\mathbb{Q} . as the docum	Would that have been roughly the same date tents on pages 40 and 41?
2 3 4	\mathbb{Q} . as the docum	Would that have been roughly the same date tents on pages 40 and 41? Yes. More than likely, I would have done
2 3 4 5	\mathbb{Q}_{\star} as the docum A. that within \mathbb{Q}_{\star}	Would that have been roughly the same date tents on pages 40 and 41? Yes. More than likely, I would have done a day or so.
2 3 4 5	\mathbb{Q}_{\star} as the docum A. that within \mathbb{Q}_{\star}	Would that have been roughly the same date tents on pages 40 and 41? Yes. More than likely, I would have done a day or so. And then finally if you look at Exhibit Number 2, and that's the final
2 3 4 5 6 7	Q. as the docum A. that within Q. Petitioner's	Would that have been roughly the same date tents on pages 40 and 41? Yes. More than likely, I would have done a day or so. And then finally if you look at Exhibit Number 2, and that's the final
2 3 4 5 6 7 8	Q. as the docum A. that within Q. Petitioner's decision let	Would that have been roughly the same date tents on pages 40 and 41? Yes. More than likely, I would have done a day or so. And then finally if you look at Exhibit Number 2, and that's the final ter, right?
2 3 4 5 6 7 8	Q. as the docum A. that within Q. Petitioner's decision let A.	Would that have been roughly the same date ents on pages 40 and 41? Yes. More than likely, I would have done a day or so. And then finally if you look at Exhibit Number 2, and that's the final ter, right? Yes.
2 3 4 5 6 7 8 9	Q. as the docum A. that within Q. Petitioner's decision let A. Q.	Would that have been roughly the same date ents on pages 40 and 41? Yes. More than likely, I would have done a day or so. And then finally if you look at Exhibit Number 2, and that's the final ter, right? Yes.

15	right? It's Petitioner's Exhibit 7.
16	A. Yes.
17	Q. So the deductions listed on attachment A
18	come from your handwritten notes?
19	A. Yes.
20	Q. All right. Did you have any focussing
21	on this attachment A to the final decision letter. And
22	I'd like to look at paragraph three of that attachment.
23	The third item under that paragraph starts, "All Prairie
24	Analytical invoices." Do you see where I'm reading?
	130 KEEFE REPORTING COMPANY
1	A. Yes.
2	Q. Did that deduction come from anywhere other
3	than Valerie Davis?
4	A. That was Valerie's.
5	Q. And that was only because she said that you
6	should deduct that?
7	A. Yes, right.
8	Q. And you don't recall ever discussing that
9	with her?
10	A. No.
11	Q. And when you looked at the file, you only
12	had the specific reimbursement materials themselves?

14 attachment A to this with what's on pages 40 and 41,

13	You didn't have the technical file, correct?
14	A. No, no.
15	Q. The next item down, Harrison Environmental,
16	33,250. Do you see where I'm at there?
17	A. Yes.
18	Q. Is that something that came from Valerie as
19	well?
20	A. Well, we were not paying the other costs
21	based on the as far as the second item on that list.
22	So we would not have been paying that 33,000 also.
23	Q. So it's your understanding that the
24	15 percent markup was deleted because you deleted the
	131 KEEFE REPORTING COMPANY
1	reasonableness of Lori and Ted Harrison's work?
2	A. Right.
3	Q. If you would look at Petitioner's Exhibit
4	Number 7, Valerie's memorandum. The last item on that
5	page does identify the 15 percent markup as an item of
6	inquiry?
7	A. Yes.
8	Q. But I just wanted to clarify. In your mind
9	when you wrote the attachment A to the final decision
10	letter, it was not based on what Valerie said? It was

12	А.	It was what I had also, you know, found in	l
13	my, you know	, accounting review.	
14	Q.	Okay.	
15	A.	As far as I can remember.	
16	Q.	Again, Petitioner's Exhibit 7, page the	:
17	second page	of that, which is your handwritten note,	
18	also address	es that markup?	
19	Α.	Yes.	
20	Q.	15 percent markup can only be taken by	
21	primary cont	ractor, which was RAPPS, and that was prett	У
22	much the sam	e thing that Ms. Davis has said, right?	
23	A.	Right.	
24	Q.	I mean, I just want to make sure I	
		13 KEEFE REPORTING COMPANY	2
		TODE OF THE OWNER OF THE PROPERTY OF THE PROPE	

- 1 understand. Is there another reason than that? Or 2 would you be saying the same thing?
- A. More or less saying the same thing.
- 4 Q. Okay.
- A. As far as I know, RAPPS had, you know,

 submitted the claim. And so, like I said, Valerie had

 it in her notes, and I also had it, you know, in my mind

 evidently at the time.
- 9 Q. But let me go back to the question of the 10 80 -- \$88,000 deduction for the work -- I'm sorry. The

11	\$80,000 deductions for the work of Hanson
12	Environmental. Do I understand if Hanson Environmental
13	had been the primary contractor, then you would have
14	approved both the 80,000 and this 33,000?
15	A. Well, the 80 we were not approving due to
16	the fact that we did not have enough detail. So the 80
17	was not you know, because they were not the primary.
18	I mean, it was due to the fact that there was not enough
19	detail as far as the actual duties that took place
20	during that time.
21	Q. And so can you explain to me again what the
22	connection is between the 80,000 deductions and the
23	\$33,000 deductions? I'm not trying to confuse you.
24	A. Yeah, I know. It's like I said, four years

KEEFE REPORTING COMPANY

L	later, trying to remember, you know, what I did at what
2	time. Like I said, I'm not really sure myself on that
3	as far as, like I said, the notes at the time and not
1	having, I mean, really reviewed this for four years. I
5	mean, four years later to remember, you know, exactly
6	what I had done.

7

8

Q. Okay. Well, and just so I can get some closure on this, is there a connection between the \$80,000 deductions and this \$33,000 in your mind?

10	A. I take it from Valerie's notes and what I
11	had, you know, that we were considering RAPPS as the
12	primary contractor. And so that the 33,000 would have
13	only been taken by the primary.
14	Q. And how does that relate to the 80,000?
15	A. I'm not really sure. Sorry.
16	Q. Okay. That's okay. And if it doesn't,
17	maybe I misunderstood your earlier testimony. That's
18	all I was trying to clarify.
19	Can you give me just a second?
20	Can you tell me why after you received the
21	technical review information from Ms. Davis why there
22	was no further letter requesting additional information?
23	A. Because in most cases, once we receive the
24	first letter, we do the final decision letter. And if

KEEFE REPORTING COMPANY

L	there is any additional documentation that they can
2	supply to us based on the deductions we made, they
3	submit that. We did our final decision based on, you
1	know, what information we were provided with, and we go
5	from there.

Q. Okay.

6

7 A. In most cases, it's not, you know,
8 necessary to contact them several times. That's why we

9	try to make it clear the first time we send the letter
10	out exactly what we need.
11	Q. Of course, you didn't even have Ms. Davis's
12	analysis at that point, so you couldn't have told them
13	what she thought was needed, right?
14	A. No, I mean, based on what my accounting
15	review was. If Valerie had needed any additional
16	information, she would have contacted them.
17	Q. It's your understanding that that contact
18	is made directly from the technical person?
19	A. That was my understanding, correct.
20	MR. HEDINGER: Okay. No further questions.
21	HEARING OFFICER LANGHOFF: Thank you,
22	Mr. Hedinger.
23	Mr. Merriman?
24	MR. MERRIMAN: Thank you, Mr. Hearing
	135
	KEEFE REPORTING COMPANY
1	Officer.
2	EXAMINATION
3	QUESTIONS BY MR. MERRIMAN:
4	Q. As stated in the attachment A to the
5	agency's final decision letter, the reason and you
6	also explained I think earlier, the reason that you cut
7	the 80,000 was because you said lack of detail; is that

8	right?
9	A. Yes.
10	Q. And the lack of detail relates to the
11	request you earlier made to the owner/operator to
12	provide detail, time and material breakdown what was
13	involved in that claim for over \$80,000; is that right?
14	A. Yes.
15	Q. And they did respond, and you looked at the
16	response and you discussed it with Mr. Oakley. And you
17	still felt that that was insufficient documentation to
18	justify reasonableness of \$80,000 reimbursement?
19	A. Yes.
20	Q. Anywhere in that detail or what
21	documentation you did get from them, did they discuss
22	Harrison Environmental's Solutions procuring contracts
23	for subcontractors or administering contracts for
24	subcontractors?

1	Α.	No.
2	Q.	Was there any detail in what you did
3	receive from	them that indicated anything about them

5 A. No.

4

paying subcontractors?

6 Q. Or making field purchases?

7	A. No, there wasn't.
8	Q. Is it your understanding that the
9	procurement in administration and payment of
10	subcontracts and or purchase of materials is what
11	constitutes a justification for a handling charge?
12	A. Yes.
13	MR. MERRIMAN: That's all I have.
14	HEARING OFFICER LANGHOFF: Mr. Hedinger?
15	On a limited cross examination.
16	MR. HEDINGER: Well, this was new stuff.
17	HEARING OFFICER LANGHOFF: Of anything that
18	was brought up.
19	FURTHER EXAMINATION
20	QUESTIONS BY MR. HEDINGER:
21	Q. Could you turn in the record to page 58
22	please. I'm sorry. The record is the fiscal record is
23	what I was talking about. Did you find it?
24	A. Yes.
	137
	KEEFE REPORTING COMPANY
1	Q. Good. You've seen that page before,
2	haven't you?
3	A. Yes.

Q. That's a summary of all of the subcontract

vouchers that were included in this reimbursement

4

7	A. Yes.
8	Q. And it was submitted by Harrison
9	Environmental Solutions, correct?
10	A. Yes.
11	Q. And it says on that it's to be billed to
12	Ted Harrison Oil Company, Inc., right?
13	A. Yes.
14	Q. This document or this submittal was
15	accompanied by an owner certification, correct?
16	A. Yes.
17	Q. That owner certification certifies that
18	everything in the application is true and correct,
19	correct?
20	A. Yes.
21	Q. So this document you're looking at right
22	now constitutes a bill by Harrison Environmental
23	Solutions to Ted Harrison Oil Company to pay all of the
24	subcontracts, correct?
	138 KEEFE REPORTING COMPANY

6 package, correct?

1 A. That's what it looks like.
2 Q. And the owner has told you in that
3 certification that that is an accurate document,
4 correct?

5	A. Yes.
6	Q. And this page, by the way, that was
7	submitted with the original application submittal,
8	right?
9	A. As far as I know, yes.
10	Q. And to the best of your recollection, this
11	wasn't part of the additional information that was sent
12	to you, correct?
13	A. As far as I can remember, no.
14	MR. HEDINGER: Okay. No further questions.
15	HEARING OFFICER LANGHOFF: Thank you.
16	Mr. Merriman, anything further?
17	MR. MERRIMAN: No, nothing further.
18	HEARING OFFICER LANGHOFF: Thank you,
19	Ms. Elston.
20	MR. HEDINGER: At this point then, the
21	Petitioner will rest.
22	HEARING OFFICER LANGHOFF: Thank you.
23	Mr. Merriman?
24	MR. MERRIMAN: Well, I believe I would call

1 Mr. Harrison now.

2 HEARING OFFICER LANGHOFF: Okay.

Mr. Harrison, could you come up please?

4	[Witness sworn.]
5	HEARING OFFICER LANGHOFF: Thank you.
6	TED HARRISON
7	of lawful age, being produced, sworn and examined on
8	the part of the Respondent, testifies and says:
9	EXAMINATION
10	QUESTIONS BY MR. MERRIMAN:
11	Q. Good afternoon, Mr. Harrison. We'll try to
12	make this as brief as I can.
13	Would you please for the record tell us how
14	you first learned or when you first learned about the
15	release at the Virginia site.
16	A. How I learned about it?
17	Q. Yes.
18	A. Well, first I contacted Haner (sp)
19	Equipment, and they contacted someone to make the tests
20	on it.
21	Q. Who was that, that was contacted to make
22	the tests?
23	A. Haner Equipment contacted I don't
24	remember who the firm was that done the work for them.

- 1 It's been 10 years ago nearly. I could look it up,
- 2 though.

3	Q. When those tes	sts were conducted, what
4	happened? What was the bil	11?
5	A. They said they	y were fine.
6	Q. And then what?	
7	A. We kept losing	g product.
8	Q. What did you	do next with respect to that?
9	A. Well, I report	ted that we had a leak.
10	Q. And then what	did you do?
11	A. Well, then we	had to make application to
12	remove the tanks.	
13	Q. And	
14	MR. HEDINGER:	I'm going to object. You
15	know, we're kind of starting	ng at the beginning of time
16	here, and I don't see reall	y what
17	MR. MERRIMAN:	I'll try to bring it forward
18	rather quickly.	
19	THE WITNESS:	We got paid for that, by the
20	way.	
21	HEARING OFFICE	ER LANGHOFF: Objection
22	overruled.	
23	Q. (By Mr. Merrin	man) Who made the application
24	for the tank removal?	

- 2 Q. Personally?
- 3 A. I believe so.
- 4 Q. Are you employed?
- 5 A. Pardon?
- Q. Are you employed?
- 7 A. I'm unemployed now.
- Q. Were you employed at that time?
- 9 A. I don't believe so. '92 was the last --
- 10 Q. I'm sorry?
- 11 A. I worked for the oil company until '92.
- 12 Q. And what oil company would that be?
- 13 A. Ted Harrison Oil, Inc.
- 14 Q. And that's an Illinois corporation? That
- was an Illinois corporation?
- 16 A. Yes.
- 17 Q. And sometimes referred to as Ted Harrison
- 18 Illinois Company, Inc., and sometimes referred to as Ted
- 19 Harrison Illinois Company?
- 20 A. I refer to it as Ted Harrison Oil Company
- 21 comma, Inc. comma -- or Inc. period.
- Q. All right.
- 23 A. Somebody along the way chose to refer to it
- as Ted Harrison and others, different ones.

- 1 Q. The tanks were removed from the site. Do
- you recall when approximately, what year?
- 3 A. Oh, boy.
- 4 Q. Might that have been 1992?
- 5 A. I believe so probably. Maybe sooner.
- Q. And then you hired RAPPS engineering to do
- 7 a site investigation?
- 8 A. I did.
- 9 Q. And they did that and submitted the results
- 10 to Illinois EPA, and that's what started the
- 11 remediation?
- 12 A. Yes.
- 13 Q. What type of remediation occurred after the
- 14 tanks were removed? What essentially was done, just if
- you could briefly tell us?
- A. Well, we built the treatment cell and
- 17 hauled the dirt to the treatment cell.
- 18 Q. Where was that?
- 19 A. That was on the property that I owned.
- 20 Q. And where was that in connection with the
- 21 gas station?
- A. About one mile northeast.
- Q. Was the gas station in Virginia?
- 24 A. Yes. It was at the intersection of 78 and

- 1 125.
- 2 Q. So it's a relatively active, for Virginia,
- 3 active intersection?
- A. The best location in town, very active.
- 5 Q. What did you do with the -- at the
- 6 treatment cell, what was the treatment cell?
- 7 A. Well, we hauled the dirt to the treatment
- 8 cell first. And then we had the tiller on a Bobcat that
- 9 we tilled all the soil many times, and we also disked it
- 10 with a tractor and a disk.
- 11 MR. HEDINGER: I'm going to object to this
- 12 whole questioning. In fact, I'm going to object to
- 13 having called Mr. Harrison, because it just occurred to
- 14 me Mr. Harrison isn't on Mr. Merriman's witness list.
- 15 HEARING OFFICER LANGHOFF: Okay. I'm going
- 16 to overrule your objection with regard to having him
- 17 calling Mr. Harrison, since Mr. Harrison was here as a
- 18 party, and he's already been called on the stand.
- 19 MR. HEDINGER: I mean, just to clarify,
- 20 though. I mean, I didn't have any chance to prepare
- 21 Mr. Harrison. I had no advanced warning that
- Mr. Merriman was going to call him.
- 23 HEARING OFFICER LANGHOFF: And I've already
- 24 made my ruling with regard to that. And I'll wait for

1	Mr. Merriman to ask a question, and then you can
2	object.
3	MR. HEDINGER: All right.
4	HEARING OFFICER LANGHOFF: But right now,
5	don't have a question.
6	MR. HEDINGER: I understand.
7	MR. MERRIMAN: And I better make it good.
8	Q. Mr. Harrison, was all the
9	soil that was excavated from the site taken to the
10	treatment cell?
11	A. Yes.
12	MR. HEDINGER: Can I object also to the
13	relevance of this?
14	HEARING OFFICER LANGHOFF: Well, I was
15	waiting for your objection
16	THE WITNESS: Before.
17	HEARING OFFICER LANGHOFF: Mr. Hedinger,
18	to
19	MR. HEDINGER: To the question at all?
20	HEARING OFFICER LANGHOFF: To the
21	question. I assume that you want to object on the same
22	grounds that you objected to before?
23	MR. HEDINGER: Exactly.
2.4	HEARING OFFICER LANGHOFF: But I'm waiting

T	to near your objection.
2	MR. HEDINGER: Yes, yes. That's a
3	continuing objection. This witness shouldn't be on the
4	stand at all.
5	HEARING OFFICER LANGHOFF: Well, what's a
6	continuing objection? The fact that Mr. Harrison
7	wasn't or Mr. Merriman didn't put Mr. Harrison on the
8	witness list?
9	MR. HEDINGER: That is one. And at this
10	point, I thought we would be getting into more
11	relevance, and we haven't. And so, yes, I would raise
12	relevance as an objection as well.
13	HEARING OFFICER LANGHOFF: And then I will
14	consider that a running objection as to the line of
15	questions, but I did not consider that a running
16	objection before. So we're back to basically square
17	one, and where it's Mr. Merriman's question, and I'll
18	listen to it.
19	MR. MERRIMAN: Thank you. I think I asked
20	if all the soil that was excavated from the LUST site
21	was taken to the treatment
22	HEARING OFFICER LANGHOFF: Thank you. And
23	at this time, I'll go ahead and ask for your response,
24	Mr. Merriman, to his, Mr. Hedinger's running objection

1	to the relevance of this line of questioning.
2	MR. MERRIMAN: Well, Mr. Hedinger mentioned
3	earlier when Mr. Oakley was on the stand that these
4	bills included or the statement included matters at
5	two sites. I want to clarify what two sites we're
6	referring to, or if there's another, I guess, gas
7	station or something that was included in that.
8	HEARING OFFICER LANGHOFF: Is that part of
9	the record that the agency relied on when making its
10	decision in this case?
11	MR. MERRIMAN: Well, the agency relied on
12	the documentation it was provided. And, no, the agency
13	didn't rely on Mr. Hedinger's representation.
14	HEARING OFFICER LANGHOFF: And was there
15	anyone on the witness stand that testified that it had
16	occurred at two sites?
17	MR. HEDINGER: Mr. Oakley didn't know.
18	MR. MERRIMAN: The question was, was
19	Mr. Oakley aware of that, and might that have made a
20	difference, I think. And I don't recall his answer, but
21	I think he said he wasn't he had a question about it
22	being at two sites. I just wanted to clarify that
23	two-site issue.
24	HEARING OFFICER LANGHOFF: That wasn't the

1	question that you asked, though.
2	MR. MERRIMAN: Okay. Well, I know. I'm
3	trying to get at it in a somewhat roundabout way.
4	HEARING OFFICER LANGHOFF: I'm going to
5	sustain the objection.
6	MR. MERRIMAN: All right. I'll try to
7	address my question in a more direct manner then.
8	HEARING OFFICER LANGHOFF: Okay.
9	Q. (By Mr. Merriman) Mr. Harrison, shifting
10	gears here a little bit. Tell me about Harrison's
11	Environmental Solutions.
12	A. That was my daughter and I. And she and I
13	went to school to learn how to do this. And we had the
14	license through the fire marshal to do it. And we also
15	had OSHA's test to proceed with the work. And since we
16	were going to have two sites, we needed two people,
17	because you're required to have a person with those
18	qualifications on each site all day.
19	Q. Was Harrison Environmental Solutions
20	incorporated?
21	A. No.

22

24

Mr. Harrison.

HEARING OFFICER LANGHOFF: Just a second,

Again, Mr. Merriman, I don't see -- this

1	isn't along the same lines of relevancy that you
2	discussed, wondering whether the remediation took place
3	at or was taken at two sites, however you want to put
4	it. Now you're getting into the incorporation of the
5	business of the environmental firm.
6	MR. MERRIMAN: Well, I think he answered
7	the question about the two sites.
8	HEARING OFFICER LANGHOFF: I didn't hear ar
9	answer.
10	MR. MERRIMAN: In his response.
11	HEARING OFFICER LANGHOFF: I didn't hear
12	you ask the question.
13	MR. MERRIMAN: Well, I didn't. I didn't.
14	I'm sorry. But he, in his answer, he referenced the
15	fact that there were two sites, and I think a follow-up
16	question about the two sites just to clarify that the
17	land treatment cell and the station
18	HEARING OFFICER LANGHOFF: I haven't heard
19	any of those questions, Mr. Merriman. You can ask them
20	now.
21	Mr. Harrison, before you answer, let me
22	have a chance to discuss the objection, because they are
23	running objections.

1	mentioned two sites, that you and your daughter were
2	involved with two sites. The two sites that you're
3	referring to, the gas station in Virginia and then the
4	property approximately a mile away where the land
5	treatment cell occurred, are those the two sites?
6	HEARING OFFICER LANGHOFF: Mr. Hedinger, do
7	you have an objection?
8	MR. HEDINGER: To the extent that we are
9	into basically summarizing background information, which
10	should be in the record, I don't object. I think much
11	more specificity on this issue, and we're getting into
12	questions
13	HEARING OFFICER LANGHOFF: Do you have any
14	objection to his question as he just asked it?
15	MR. HEDINGER: No, I don't.
16	HEARING OFFICER LANGHOFF: You can answer
17	that question.
18	THE WITNESS: Yes, there are two sites.
19	One is owned by Ted Harrison Oil, Inc., or was, and the
20	other one was owned by myself and my wife, and it was on
21	the farm. It was a mile away.
22	Q. (By Mr. Merriman) Okay, thank you.

23	Was Harrison Environmental Solutions I
24	believe I asked this question earlier. I'm not sure I
	150 KEEFE REPORTING COMPANY
1	got an answer. Was it a corporation?
2	MR. HEDINGER: I'm going to object to that,
3	because I don't what's in the record is in the
4	record. And I think unless the testimony is did
5	Mr. Harrison ever convey certain information to the
6	agency, it's not relevant to these proceedings.
7	HEARING OFFICER LANGHOFF: Based on
8	relevancy, Mr. Merriman
9	MR. MERRIMAN: Just one moment please.
10	HEARING OFFICER LANGHOFF: do you have a
11	response as to the relevancy, Mr. Merriman?
12	MR. MERRIMAN: Well, I think the yeah, I
13	think it's a very direct, very relevant question, trying
14	to determine the relationship between Harrison
15	Environmental Solutions and Ted Harrison Oil Company,
16	Inc. And if it's a corporation, then we could ask if
17	it's a subsidiary.
18	HEARING OFFICER LANGHOFF: The agency
19	didn't ask those questions before
20	MR. MERRIMAN: No.
21	HEARING OFFICER LANGHOFF: when they

22	made their decision, did they?
23	MR. MERRIMAN: No, we did not.
24	HEARING OFFICER LANGHOFF: Okay. Then I'm
	151 KEEFE REPORTING COMPANY
	REEFE RELORITING COMPANI
1	going to sustain the objection on the grounds of
2	relevancy, or lack of.
3	Q. (By Mr. Merriman) You have had an
4	opportunity to listen to the testimony that was
5	presented today and the reference to a letter that was
6	made in response to or a response that was made to a
7	letter from the agency asking for additional
8	information. Do you recall that?
9	A. Yes.
10	Q. And referring to the two-page document that
11	has been referenced. It appears that pages 28 and 29 of
12	the fiscal record was titled Lori and Ted Harrison's
13	duties. Do you recall that?
14	A. Yes.
15	Q. Is that the only document or only response
16	that you made to the agency in response to that November
17	letter asking for detail?
18	MR. HEDINGER: I'm going to object that the
19	agency people have said they got nothing more. So even
20	if Mr. Harrison said, no, this isn't the only thing

21	MR. MERRIMAN: Okay. Well
22	MR. HEDINGER: it wouldn't be relevant,
23	because they didn't get it.
24	HEARING OFFICER LANGHOFF: Okay.
	152 KEEFE REPORTING COMPANY
1	Mr. Merriman?
2	MR. MERRIMAN: That's right. I'll withdraw
3	that question. In fact, I have no other questions.
4	HEARING OFFICER LANGHOFF: Thank you.
5	MR. HEDINGER: Nothing.
6	HEARING OFFICER LANGHOFF: Thank you,
7	Mr. Harrison. You may step down.
8	MR. HEDINGER: Leave that up there.
9	THE WITNESS: Oh, yeah.
10	HEARING OFFICER LANGHOFF: Thank you.
11	MR. MERRIMAN: I think with the testimony
12	that was provided by Valerie Davis, Mr. Oakley and Cathy
13	Elston and the items that are in the record as well as
14	Petitioner's exhibits, at this point, I think there's
15	nothing further we need to do.
16	HEARING OFFICER LANGHOFF: Thank you.
17	Do you have any kind of rebuttal?
18	MR. HEDINGER: No.
19	HEARING OFFICER LANGHOFF: Thank you.

20	Let's go off the record a couple minutes to
21	discuss the submission of briefs.
22	[Off-the-record discussion.]
23	HEARING OFFICER LANGHOFF: Back on the
24	record.
	153
	KEEFE REPORTING COMPANY
1	We've just had an off-the-record discussion
2	regarding the filing of all post-hearing briefs, and the
3	parties have agreed to a briefing schedule. I'll go
4	ahead and read that schedule into the record.
5	The transcript of these proceedings will be
6	available from the court reporter by November 18, 2002.
7	I will establish public comment period of
8	14 days. The petitioner's brief will be due by January
9	10, 2003, and the mailbox rule will apply.
10	The agency's brief will be due by February
11	21, 2003. And the mailbox rule will apply.
12	The petitioner may file a reply brief by
13	March 7, 2003, and the mailbox rule will apply.
14	I would like to note that the transcript is
15	usually put on the Board's web site within a few days of
16	its availability. Our web site address is

Any post-hearing public comments must be

www.ipcb.state.il.us.

17

19	filed in accordance with Section 101.628 of the Board's							
20	procedural rules. Public comments must be filed by							
21	November 20, 2002. The mailbox rule set forth at							
22	35 Illinois Admin. Code 101.102 D and 101.44 C will							
23	apply to any post-hearing public comments.							
24	Is there anything further for me from the							
	154 KEEFE REPORTING COMPANY							
1	parties before we conclude?							
2	MR. HEDINGER: Nothing for me.							
3	HEARING OFFICER LANGHOFF: Okay. Thank							
4	you.							
5	At this time, again, I'd like to ask are							
6	there any members of the public present that want to							
7	mala atatamanta an tha marando							

make statements on the record? 8 Seeing none, I'm required to make the statement as to the credibility of witnesses testifying 9 10 during the hearing. This statement is to be based upon my legal judgment and experience. And, accordingly, I 11 so state that I found all the witnesses testifying to be 12 13 credible. Credibility should not be an issue for the Board to consider in rendering its decision in this 14 15 case. At this time, I'll go ahead and conclude 16

the proceedings. It is Wednesday, October -- excuse

18	me. I wish it was.
19	THE HEDINGER: The 6th.
20	HEARING OFFICER LANGHOFF: It is Wednesday,
21	November 6, 2002, at approximately 12:50 in the
22	afternoon, and we stand adjourned.
23	I thank everyone for their participation
24	and wish everyone a safe drive. Thank you. [End of proceeding.]
	155 KEEFE REPORTING COMPANY
1	
2	COURT REPORTER'S CERTIFICATION
	I, Ann Marie Hollo, Certified Shorthand
3	Reporter, Registered Professional Reporter, Registered Merit Reporter of the State of Illinois and Notary
4	Public, do hereby certify that said hearing before the Illinois Pollution Control Board and Illinois Pollution
5	Control Board Hearing Officer Steven C. Langhoff, took
6	place on the 6th day of November, A.D., 2002, and held at the Illinois Pollution Control Board Room, 600 South
7	Second Street, Springfield, Illinois.
8	I do hereby certify that I did take stenographic notes of the proceedings and that said
9	notes were reduced to typewritten form under my direction and supervision.
	-
10	I do further certify that the attached and foregoing is a true, correct and complete copy of my
11	notes and that said testimony is now herewith returned.
12	I do further certify that I am not related in any way to any of the parties involved in this action
13	and have no interest in the outcome thereof.
14	Dated at Litchfield, Illinois, this 11th
15	day of November, A.D. 2002 and given under my hand and seal. My commission expires April 5, 2006.

		Ann	Marie	Hollo,	CSR,	RPR,	RMR
17							
18							
19							
20							
21							
22							
23							
24							