

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

ILLINOIS POLLUTION CONTROL BOARD
June 15, 2006

IN THE MATTER OF)
)
PROPOSED NEW 35 ILL. ADM. CODE) R06-25
225 CONTROL OF EMISSIONS FROM) (Rulemaking - Air)
LARGE COMBUSTION SOURCES)
(MERCURY))

TESTIMONY OF DR. GERALD KEELER
PART I

BEFORE MARIE E. TIPSORD
HEARING OFFICER

The testimony of Dr. Gerald Keeler, a witness called in the rulemaking proceeding before the Illinois Pollution Control Board taken on June 15, 2006, at 9:00 a.m., at the offices of the Environmental Protection Agency, Springfield, Illinois, before Holly A. Schmid, Notary Public and Certified Shorthand Reporter, CSR No. 084-98-254587 for the State of Illinois.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

A P P E A R A N C E S

MEMBERS OF THE ILLINOIS POLLUTION CONTROL BOARD:
Ms. Marie E. Tipsord, Hearing Officer;
Dr. G. Tanner Girard, Board Member;
Ms. Andrea S. Moore, Board Member;
Mr. Thomas Johnson, Board Staff;
Mr. Tim Fox, Board Staff;
Mr. Nicholas Melas, Board Staff;
Ms. Alisa Liu, Board Staff.

COUNSEL FOR THE ILLINOIS
ENVIRONMENTAL PROTECTION AGENCY:
Mr. Charles Matoesian;
Ms. Gina Roccaforte;
Mr. John Kim;
Mr. Richard Ayres;

COUNSEL FROM SCHIFF-HARDEN
Ms. Kathleen Bassi;
Mr. Stephen Bonebrake;
Mr. Sheldon Zabel;
Mr. Jim Ingram, Dynegy, Inc.
For Dynegy Midwest Generation, Inc.

COUNSEL FROM JENNER & BLOCK
Mr. Bill Forcade;
For Kinkade;

COUNSEL FROM McGUIRE-WOODS:
Mr. James Harrington;
Mr. David Rieser;
Mr. Neal Cabral;
For Ameren;

Mr. Keith Harley,
Chicago Legal Clinic

- 1
- 2
- 3
- 4
- 5
- 6
- 7
- 8
- 9
- 10
- 11
- 12
- 13
- 14
- 15
- 16
- 17
- 18
- 19
- 20
- 21
- 22
- 23
- 24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

E X H I B I T S

IDENTIFICATION

PG.

1 MADAM HEARING OFFICER: Good morning,
2 everyone. My name is Maria Tipsord, and I'm the hearing
3 officer in this proceeding entitled in the Matter of
4 Control of emissions from Large Combustion Sources,
5 Mercury, Docket No. R06-25.

6 Again, this morning to my left is
7 Dr. Tanner Girard. To my right, Andrea Moore, the
8 presiding board members in this proceeding. At the far
9 right is Nicholas Melas, one of our board members. At
10 the far left, is Tom Johnson, also one of our board
11 members. Today from our technical unit we have Alisa
12 Liu and Tim Fox, Andrea Moore's assistant. Connie
13 Newman is in the audience and she is the point person
14 for press concerns. Erin Conley is with us today, as is
15 Kathy Griffen, and any procedural questions you may
16 address to Erin, Tim or I and, I we will try to answer
17 them.

18 We are I believe starting with
19 Dr. Keeler's testimony. He was sworn in when we entered
20 his prefiled testimony two days ago. In addition, we
21 have already sworn in Jim Ross, Jeffrey Sprague, Marcia
22 Willhite and Dr. Hornshaw, and I believe that's all that
23 have been sworn, and I would remind them that -- any
24 testimony or statements made today will be considered

1 sworn statements. With that, Mr. Kim.

2 MR. KIM: Thank you. As you just
3 stated, we will be starting with Dr. Keeler today. I
4 believe he is going to start with the questions posed to
5 him by Ameren Energy, and I think -- I can't remember --
6 one or two, or however many questions that were also
7 submitted by Prairie State that he will address after
8 that.

9 CROSS EXAMINATION BY MR. RIESER:

10 Q. Before the prefiled questions, I was
11 wondering if I could ask some questions just to clear up
12 some things from yesterday, just to confirm a couple of
13 things. Dr. Keeler, your expertise is as an atmospheric
14 scientist. Is that correct?

15 A. Yes, it is.

16 Q. And so you're an expert in the mechanics
17 of mercury deposition from the stack, to the ground, if
18 you will?

19 A. That, plus a whole lot more, yes.

20 Q. But the expertise doesn't include the
21 methylation of mercury in the aquatic environment. Is
22 that correct?

23 A. My formal training does not include the
24 biological processing of the chemicals, but I have been

1 working in this area for 16 years now, and have been
2 part of projects looking at the whole ecosystem cycling
3 of mercury, which includes, both, the deposition of
4 mercury from the atmosphere, as well as the air surface
5 exchange, the photoreduction (phonetic), the chemical
6 processing in the aquatic ecosystem, as well as the
7 methylation and demethylation processes. Over this time
8 period, I have kept up with peer-reviewed literature. I
9 have worked with some of the best scientists in the
10 field on these things on projects including work in
11 Florida work, in the Great Lakes on Lake Superior and
12 elsewhere, so I have more than a passing understanding
13 of most of the processes involved with mercury and the
14 environment.

15 Q. But the papers you have prepared yourself
16 or that you participated in have dealt, almost entirely,
17 with atmospheric deposition. Isn't that correct?

18 A. No. That's not correct.

19 Q. What's an example of one that's not? I
20 have a couple papers where we actually made measurements
21 of methylmercury, a paper that we did with the
22 University of Wisconsin looking at methylmercury
23 deposition and sources of methylmercury. We have a
24 couple of other papers that look at vegetation uptake,

1 as far as exchange of mercury with enforced ecosystems.
2 We have papers looking at volatilization of mercury from
3 large bodies of water, such as the Great Lakes, Lake
4 Michigan, in particular. I have done work also in Lake
5 Champlane in Vermont, and in my vitae, is I believe --
6 John, is my vitae part of the record or no?

7 MR. KIM: Yes, I believe it is.

8 DR. KEELER: So if you look through
9 there, you will see that there are papers -- I can't
10 tell you how many, but there are papers where we have
11 actually published study results that deal with more
12 than just atmospheric deposition.

13 MR. RIESER CONTINUES:

14 Q. With respect to your testimony yesterday,
15 with regard to the study in Florida, is it correct that
16 your direct involvement in the Florida activities was
17 with respect to modeling the deposition of mercury?

18 A. Could you be more specific, like my --

19 Q. Let me be more specific. The paper that
20 you prepared, which was included as Appendix 1 of the --
21 what I understand to be the Florida study, which was the
22 document that was introduced into evidence yesterday,
23 dealt entirely with mercury deposition modeling issues?

24 A. That's correct. In terms of the report

1 writing responsibility, that was my sole role.

2 Q. The modeling of the methylation life cycle
3 within the water body, the EMCM model I think it was
4 called?

5 A. Yes.

6 Q. Florida study? That was done Tetricheck
7 (phonetic) check. Is that correct?

8 A. That sounds correct. Reid Harrison, Curt
9 Pullman were the people -- and they have switched
10 companies and alliances and other things, so I don't
11 know exactly if -- but I think Tetricheck was the
12 company they were working for at the time.

13 Q. So would it be correct that the analysis
14 in the methylation and the biologic uptake in the
15 Florida work was done by Tetricheck?

16 A. Yes, and Florida DDE (phonetic) has some
17 involvement, as well, but yes, that's correct.

18 Q. Do you know whether the EMCM model was
19 designed for the Everglades?

20 A. You know, the EMCM model was not designed
21 for the Everglades. One of the things -- and I'm glad
22 you brought this up -- is that models can be designed
23 for a specific water body or air shed or specific
24 application. The mercury cycling model was developed,

1 initially, as I understand it, for sea fish lakes in
2 Wisconsin, specific type of lake, and the model, though,
3 has the physics and chemistry of mercury and
4 interactions with BIODA (phonetic) that allow it to
5 simulate what happens in the real environment, and it
6 takes into account the processes that govern the
7 behavior of mercury. As such, in the model, it can be
8 adapted to another body of water so an extensive amount
9 of work was done by Tetricheck taking the extensive data
10 that was put together by the U.S. EPA, Region 4, State
11 of Florida, the South Florida Water Management District
12 to change the model, so that it would be applicable to
13 south Florida and the Florida Everglades, specifically.

14 Q. So the model at that particular model that
15 was used in the Florida study was, if not originally
16 designed, then, certainly, modified to apply solely to
17 the Everglades environment. Is that correct, to your
18 knowledge?

19 A. I think the questions would probably be
20 asked to Tetricheck, if you wanted to get to what the
21 purpose of their model was. The word "solely" is
22 probably not correct.

23 Q. Is it also true that there was a
24 conclusion of the Florida report that there were no coal

1 sources, coal-fired utility sources, that were
2 identified in the south Florida area?

3 A. Again, are you referring to a specific
4 statement that it says in the report?

5 Q. Yes, I am.

6 A. If you could point that out --

7 Q. On the bottom of page 76.

8 MADAM HEARING OFFICER: For the
9 record, that's Exhibit 20.

10 MR. RIESER CONTINUES:

11 Q. Thank you. I will point you to the last
12 sentence, "Although coal is the largest source (45
13 percent) 65 milligrams per year of mercury emissions of
14 the U.S. (144 milligrams per year) no coal combustion
15 occurs in South Florida and only oil and aquatic related
16 emissions occur."

17 A. Yes, I see that.

18 Q. Do you disagree with that?

19 A. In the sense of utility coal combustion,
20 that's correct?

21 Q. In any other sense is that incorrect?

22 A. I believe that they do use coal as a fuel
23 source in some of the cement dealings (phonetic).

24 Q. Why don't we turn to the questions that I

1 submitted, already.

2 MR. BONEBRAKE CONTINUES: I also had a
3 follow-up from yesterday, and I believe an open issue I
4 think that was left open from yesterday. Dr. Keeler, we
5 were talking a little bit about yesterday about Table 12
6 on the Florida Report, and whether -- which of the data
7 points on Table 12 were within the area that were
8 affected by the reduction of emissions in South Florida.
9 Do you recall that conversation?

10 A. Yes, I do, and I made an attempt to
11 contact Dr. Atchison at the State of Florida to get a
12 copy of a map or something that would help me show where
13 the sites were, and I did not receive anything from him
14 overnight, so I'm unable to provide any more information
15 to you on that.

16 Q. There was one statement that I thought was
17 relevant, very relevant to this question in the report,
18 and I wonder if we could direct your attention to that,
19 and I will ask you a follow-up question. It's on page
20 81 of the Florida report.

21 A. Okay.

22 Q. It's the bottom paragraph, and it's the
23 sentence that starts, "The three sites" -- it's about
24 two-thirds of the way down.

1 MR. KIM: Last paragraph.

2 DR. KEELER: "Three sites," okay.

3 MR. BONEBRAKE CONTINUES:

4 Q. It reads, "The three sites in water
5 conservation 3-A near Site 3-A dash 15 (located near the
6 so-called hot spot of high fish tissue concentrations in
7 WCA hyphen 3-A) also showed some cohorts with
8 significant declines although nearly as many site-cohort
9 combinations also showed no change." Do you see that,
10 Dr. Keeler?

11 A. I do, yes.

12 Q. Site 3A-15 was that the particular
13 modeling point that you were referencing yesterday?

14 A. It is, yes.

15 Q. And does this suggest to you that there
16 are, at least, three of the sites reflected on Table 12
17 that were in the immediate vicinity of that model site?

18 A. Based on what it says here, yes, that's
19 correct.

20 Q. So those three additional sites would have
21 been subject to the same kind of emission reductions
22 that affected Site 3A dash 15?

23 A. It says they are near Site 3A-15, so that
24 would be correct.

1 Q. Thank you.

2 MADAM HEARING OFFICER: Then I think
3 we are ready to begin with Ameren Question No. 1.

4 MR. KIM: Actually, I think if we
5 could do Dynegy Question No. 1, and before you begin, I
6 have some additional copies of what was provided in the
7 documents to the TSD, but these are color, and I believe
8 the originals were not. Actually, the Board's copies
9 were in color, so nobody else has those. I can give you
10 those now as an exhibit and then we'll hand these out.

11 MADAM HEARING OFFICER: Mr. Kim, just
12 for clarification, these are attachments to the TSD?

13 MR. KIM: Correct.

14 MADAM HEARING OFFICER: This is
15 Exhibit B to the TSD.

16 MR. KIM: Yes. It's just that the
17 copies provided to the Board were in color, but other
18 people may not have been able to access them in color.

19 MADAM HEARING OFFICER: Just for
20 purposes of the report, even though it's already part of
21 the record, I think I will go ahead and mark this as
22 Exhibit 25, if there's no objection. All right. We'll
23 mark this as Exhibit 25.

24 (Exhibit No. 25 was admitted.)

1 MS. BASSI: I'm sorry. Is this
2 Exhibit B to the TSD?

3 MADAM HEARING OFFICER: That's my
4 understanding.

5 MR. KIM: I believe it is, yes.

6 MADAM HEARING OFFICER: Just to clear
7 up, we are going with Dynegy first, not Ameren?

8 MR. KIM: Correct. I misspoke.

9 DR. KEELER: Question 1: "Mr. Keeler
10 states in his testimony that `Illinois coal-fired power
11 plants are the largest source of man-made mercury
12 emissions in the State.'" A: How large are these
13 emissions compared to natural mercury emission? B: How
14 large are these emissions compared to the total amount
15 of mercury emitted in Illinois? C: How large are these
16 emissions compared to global missions from mercury
17 emissions from all sources?" Taking the data that was
18 in the TSD, Illinois coal-fired utilities emit about 3
19 tons of mercury. To my knowledge, I assume that you are
20 asking about natural mercury emissions in the state of
21 Illinois. To my knowledge, there is no good emissions
22 inventory number for the state of Illinois. However, in
23 my best judgment, the natural emissions mercury in the
24 state of Illinois would not be very large. We've done

1 extensive measurements of mercury emissions from natural
2 sources, and Illinois soils, according to the U.S. GS,
3 do not have enriched mercury soils. Therefore, the
4 probability of natural mercury emissions from natural
5 soils in the state would not be very large. Natural
6 mercury emissions are thought to be about a third of the
7 emissions on a global basis with anthropogenic emissions
8 being a third in re-emission from previously deposited
9 mercury coming back off the surface being the other
10 third, so the 3 tons compared to the global amount of
11 mercury that's emitted is a relatively small amount of
12 the total. It's less than a percent. What's important,
13 though -- and we'll get to this a little bit later on --
14 is really not the total amount of emissions, but the
15 form of the mercury emissions, and by that, I mean the
16 chemical form that's emitted from these sources, and in
17 proximity to the sources to the ecosystem, and we'll get
18 into this a little bit later on, so the magnitude is not
19 really the most important thing to consider here when we
20 think about the impacts of mercury sources on the
21 environment.

22 Question no 2: "What country has the
23 largest mercury emissions from coal burning?" Over the
24 past few years, there's been a lot of work looking at

1 mercury emissions from all the countries in the world.
2 At this time, due to the booming economy in China, China
3 is thought to have the largest mercury emissions. I
4 happened to have been in Beijing last fall at a Mercury
5 Emissions from Coal-fired Utilities Workshop, and it was
6 amazing how much mercury is emitted into China in the
7 nation of China from coal combustion, and their
8 projections appear to be that it's going to increase
9 over time, so it is a significant amount.

10 "Is mercury a global problem."

11 MADAM HEARING OFFICER: Question No.
12 3.

13 DR. KEELER: Question No. 3. Mercury
14 is certainly a global problem. I think, over the last
15 20 to 30 years, we recognize that mercury contamination
16 is an issue everywhere. Of the 50 states, Wyoming I
17 believe is the only one that doesn't have fish --
18 warning fish consumption advisories and I think that's
19 still correct. I believe it's because they haven't
20 tested any fish, so this is a problem worldwide, and it
21 really is an issue that everyone has to take into
22 account and is concerned about. The ubiquitous nature
23 of mercury in the environment is what makes it that
24 problem.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MS. BASSI CONTINUES:

Q. When you say you think Wyoming doesn't have any fish advisories because they haven't tested any fish, is that based on some examination of some data?

A. I'm sorry. You linked two of my statements together that I didn't actually say. I said that Wyoming doesn't have any fish warnings, and then I said I don't believe that they have tested any fish. If you were to look at the EPA website for fish contamination, Wyoming is the only white state. I was told that maybe it was because Vice-President Cheney ate all the fish too quickly, but I'm not sure if that's correct or not. That's hearsay, but in fact, when I inquired into that, I was told that they don't have a fish testing program.

Q. Who told you that?

A. An EPA person at a meeting because I presented the table at a meeting that I was at. I presented it at a long-range transport conference a few years back, and it's pretty glaring when you show a map with all the states, except for Wyoming.

MADAM HEARING OFFICER: For clarification, when you say "EPA" do you mean U.S. EPA?

DR. KEELER: U.S. EPA, yes. To my

1 knowledge, based on the EPA, and that's something that's
2 available on the U.S. EPA website on the mercury site
3 that Wyoming was the only one.

4 DR. KEELER: Let's see. Question No.
5 4: "Does all the mercury emitted by Illinois coal-fired
6 power plants end up in Illinois?" One of the things
7 that we were taught very early on in science class is
8 that, to use the words "all" or "always" or "everyone"
9 or "solely," is usually not good practice. In science,
10 there's always an exception to every rule and so my
11 answer to that would be no. All the mercury from
12 Illinois power plants clearly does not end up in
13 Illinois, as does the emissions from any power plant
14 does not end up solely in the state that they are
15 emitted. I would say that's probably a fair statement.

16 MADAM HEARING OFFICER: Mr. Rieser.

17 MR. RIESER CONTINUES:

18 Q. Do you have a sense -- do you have any
19 gauges suggesting what percentage ends up in Illinois?

20 A. I do not.

21 Q. Do you have any knowledge, based on your
22 experience, as to how much ends up in Illinois?

23 A. I have not done any state of Illinois
24 specific quantification of how much mercury emissions

1 from Illinois power plants is deposited in the state.
2 The research that I performed has looked at the Great
3 Lakes region, and includes all of the Great Lakes
4 states, so I can't give you a quantitative number from
5 how much comes from the state of Illinois, itself.

6 Q. Thank you.

7 DR. KEELER: Question No. 5: "Does
8 some of the mercury in Illinois water bodies come from
9 outside of Illinois?" And A: "How much?" Yes. Some
10 of the mercury in Illinois water bodies clearly comes
11 from outside the state. Again, I have not done, or I
12 have not performed any state-of-Illinois specific
13 research. I have looked at the Great Lakes states,
14 which, obviously, includes Illinois. In our analysis of
15 mercury deposition in the Great Lakes, we assess that
16 40-some percent -- I think it was 43 percent -- of the
17 mercury deposition that fell within the Great Lakes came
18 from within the Great Lakes basin states, and the
19 remaining came from outside, so there's a significant
20 fraction of mercury that comes from outside of the Great
21 Lakes basin, itself. Now, that's the water basin, so
22 that's a fairly tight area, so in fact, most of Illinois
23 would be included in the out-of-the-basin estimates, so
24 our focus was really looking at mercury deposition into

1 the Great Lakes, themselves, those actually large bodies
2 of water, but that would include, say, the state of
3 Michigan, and any other parts of the states that are
4 actually in the basin, so mercury definitely is a local
5 and a regional and a global transport issue.

6 MR. RIESER CONTINUES: This is just a
7 clarification. I think you said that most of Illinois
8 is not in the Great Lakes basin?

9 A. The water basin. That's correct.

10 MS. BASSI CONTINUES:

11 Q. My question was do you have, or can you
12 give us an idea of how much of Illinois is not within
13 the Great Lakes water basin? Is there a line? Route
14 80?

15 A. I think it's probably --

16 MADAM HEARING OFFICER: Yes, Ms.
17 Willhite, you are sworn in, and are still sworn in, so
18 go ahead.

19 MS. WILLHITE: Sure. When you
20 consider what's in the basin and what's not in the
21 basin, it's really what actually drains to Lake
22 Michigan, and there's a very small sliver just right
23 around the edge of Lake Michigan that actually drains to
24 Lake Michigan. That's what's considered in the basin,

1 so I would probably say, like, 99 percent of Illinois is
2 not considered within the Great Lakes basin.

3 DR. KEELER: Question No. 6: "In
4 Dr. Keeler's testimony, he mentioned that "source
5 contributions from . . . motor vehicle emissions sources
6 were important in Detroit." Would it be reasonable to
7 suppose they would similarly be important in Illinois?"
8 We've done an extensive amount of work looking at runoff
9 of atmospherically deposited mercury in the city of
10 Detroit to try to understand the source of mercury that
11 makes its way to the waste water treatment plant, and as
12 part of that study, we actually made runoff measurements
13 on highways and streets in the city of Detroit, and from
14 areas which do not have traffic, and from that work, we
15 were able to hypothesize that motor vehicles actually
16 were a source of mercury. After about a decades's worth
17 of investigation and hard work, we've actually been able
18 to start to quantify that motor vehicles actually do
19 contribute to mercury problems, and it's primarily
20 through the fuels and the oil that are consumed in the
21 motor vehicles and that highway surfaces actually have
22 more mercury in the runoff than non-traffic used
23 streets, so through this, we did publish a couple of
24 papers, and I have made several presentations showing

1 that, in fact, motor vehicles do contribute to surface
2 runoff of mercury, and it's something that we're just
3 finishing a quantitative project looking at that to be
4 able to define emissions factors, and to be able to
5 better define the total contribution of mercury. At
6 this point, the emissions estimates suggest that it's
7 going to be some amount less than 10 percent compared to
8 the total agriculture inputs, but that number will be
9 better defined as we get the final emissions estimates.

10 MADAM HEARING OFFICER: Mr. Melas.

11 MR. MELAS: Just a quick clarification.
12 The emissions from the automobiles, the mercury is the
13 same qualitative type -- you mentioned that certain
14 emissions vary in chemical nature. Would the emissions
15 from the automobile type of mercury have the same
16 chemical nature as the kind from coal-fired generators?

17 DR. KEELER: Thank you for asking that
18 question. That's actually the most important question,
19 and I should have said that in my statement. Actually,
20 the forms of mercury -- we tried to look at the
21 speciation of mercury, so we made measurements of the
22 elemental form, reactive gaseous form, which is the form
23 that we think is important, in terms of going into the
24 ecosystem, and then being the potential form of mercury

1 that methylates in the ecosystem, and so elemental,
2 reactive, and particulate forms. We see a small amount
3 of particulate coming out of the motor vehicles. We see
4 most of the mercury coming out as elemental, and then we
5 do see a small percentage as reactive, as well. So
6 that's an excellent question, and really quite important
7 in terms of its impact on the environment.

8 MS. BASSI CONTINUES:

9 Q. Dr. Keeler, are you -- do you know where
10 the most traffic in Illinois would be located?

11 A. Do you know where the most traffic in
12 Illinois would be locate? I have not looked at the
13 traffic statistics for the state of Illinois. We have
14 done mercury work in the city of Chicago, and I would
15 hypothesize that that would probably be the highest,
16 having been stuck in traffic in Chicago myself.

17 Q. Have you driven in Springfield's rush
18 minute?

19 A. No. I have missed that, but perhaps
20 tomorrow morning.

21 MR. RIESER CONTINUES: Statistically
22 significant rush hours, aren't we?

23 MS. BASSI: Yeah. Thank you.

24 MR. RIESER CONTINUES:

1 Q. In the answer to the question, you
2 mentioned the studies you have done on runoff, but you
3 also did a study that you discuss in your report
4 regarding Detroit in which you identify, and that was,
5 as I recall, an air sampling study?

6 A. I wasn't clear on exactly which study you
7 were referring to in that, just so I'm 100 percent
8 clear. Is that the most recent paper we did?

9 Q. Correct. Lynam-Keeler, 2005, "Source
10 Receptor Relationships for Atmospheric Mercury in Urban
11 Detroit Michigan."

12 A. Yes.

13 Q. And in that, as I understand that paper,
14 you identify -- you were looking at atmospheric mercury
15 and doing the statistics regarding source receptor
16 relationships and I think you identify emissions,
17 automobile emissions as one of the sources of the
18 atmospheric mercury that you identified. Is that
19 correct?

20 A. Yes, that is correct.

21 Q. I think, also, in this study in Chicago,
22 "Atmospheric Mercury in the Lake Michigan Basin
23 Influence of the Chicago/Gary Urban Area," and that's a
24 study by Keeler and Vette?

1 A. Yes, Vette.

2 Q. One of your sampling locations was at IIT?

3 A. Yes, downtown.

4 Q. Illinois Institute of Technology, and that
5 would be considered a high traffic area?

6 A. Yes.

7 Q. Adjacent to the Dan Ryan Expressway,
8 especially now, and that also identified automobile
9 emissions as a source of atmospheric -- is that correct?

10 A. Yes.

11 MADAM HEARING OFFICER: I just have
12 one question. You referred to two different articles
13 and asking questions, specifically, about them. Could I
14 ask you to submit those for the record.

15 MR. RIESER: I can submit one of them
16 right now and I will submit the other one this
17 afternoon. And these were studies, specifically,
18 referenced in Dr. Keeler's report, which is Appendix B
19 to the TSD.

20 MADAM HEARING OFFICER: The one that's
21 been handed to me is "Atmospheric Mercury in the Lake
22 Michigan Basin Influence of the Chicago/Gary Urban
23 area." We'll mark that as Exhibit 26, if there's no
24 objection. Seeing none, it is marked as Exhibit 26.

1 MR. RIESER CONTINUES: I don't know if
2 you want to save Exhibit 27 for the Detroit study for
3 the next session?

4 MADAM HEARING OFFICER: We'll reserve
5 that Exhibit 27 for the Detroit study.

6 MR. RIESER CONTINUES:

7 Q. Let me ask one more question on the same
8 subject. I believe you mentioned that the estimated --
9 that the amount of mercury associated with automobile
10 emissions was less than 10 percent of the anthropogenic
11 inputs. Is that correct?

12 A. That's less than 10 percent. That's our
13 preliminary estimate based on today's estimated
14 anthropogenic mercury emissions, which I guess I should
15 make a clarifying point. One of the most difficult
16 things for us to try to convey to people that aren't
17 working in the mercury business is that emissions
18 inventories change constantly. Major source category
19 goes down and the emissions categories can change, so
20 when we're talking about emissions, I will try to be
21 careful about what year I'm basing my statements on
22 because, if you look at the '95-'96 database when
23 municipal waste and medical waste incinerators were
24 still emitting, the percentages of each source category

1 to the total changes. Now municipal waste and medical
2 waste have been controlled, and so now coal-fired
3 utilities look like a larger percentage of the total
4 just because major source category has gone down, so the
5 fractions change, so I'm referring to the -- making a
6 relative statement to the '99 or 2000 emissions
7 inventory, so 10 percent of the emissions from
8 anthropogenic sources we would suggest is coming from
9 motor vehicles.

10 Q. That 10 percent, just to finish that
11 particular question, that 10 percent is of the 33
12 percent of anthropogenic sources that you talked about
13 earlier, the one-third?

14 A. That's correct.

15 Q. And with respect to the change in mercury
16 emissions over time, and I will direct your attention to
17 figure 19, on page 76 of Exhibit 20, which is a graph
18 regarding annual mercury emissions in South Florida in
19 1980 to 2000.

20 A. Could you tell me what page that is?

21 Q. 76 is what I have.

22 A. Figure 19?

23 Q. So figure 19, page 76 of Exhibit 20 shows
24 significant reductions in emissions, annual mercury

1 emissions, in South Florida merely between 1991 and
2 2000, correct?

3 A. Yes. 1991 on this graph in figure 19
4 shows an emissions estimate of about 3,000 kilograms per
5 year.

6 Q. It reduces to less than 200 kilograms per
7 year by the year 2000?

8 A. About 200, yes.

9 Q. This reflects your testimony that the
10 control of municipal waste incinerators and medical
11 waste incinerators -- and municipal waste combusters in
12 South Florida over that same time period, correct?

13 A. Yes. That's what the graph says, yes.

14 Q. Would you -- is it your understanding that
15 there are similar reductions nationwide of your mercury
16 emissions as a result of those same controls being
17 imposed state by state?

18 A. That's correct.

19 Q. And is it of similar magnitude as that
20 reflected here?

21 A. The percentage reduction was required by
22 the EPA rule on incinerators, and I would say that's
23 probably similar to this.

24 Q. Thank you.

1 DR. KEELER: Question No. 7: I did
2 not finish the last part of the question. "Would it be
3 reasonable to suppose that they would be similarly
4 important in Illinois?" That's the end of Question 6.
5 That's referring, again, to motor vehicle contributions.
6 Because, as one of the questions alluded to, because of
7 the location of major urban areas in the Chicago region
8 on Lake Michigan, I suspect that the Chicago area, motor
9 vehicle traffic and mercury emissions would have an
10 impact on Lake Michigan and in the downwind areas
11 because of the fact that it's located kind of in the
12 northern quarter of the state. I would say that motor
13 vehicle emissions in the southern part of the state
14 probably would be less of an importance just because of
15 meteorological conditions. The wind just doesn't blow
16 as often from the north as it does from the southwest.

17 MR. RIESER CONTINUES:

18 Q. When you say "impact on Lake Michigan," is
19 that impact in terms of the volume of deposition on the
20 lake surface?

21 A. Do you mean the mass of deposition?

22 Q. Yes. Thank you.

23 A. Yes.

24 Q. And do you have any understanding as to

1 whether the deposition in Lake Michigan results in high
2 levels of methylmercury in fish within lake Michigan?

3 A. I'm not sure if this was covered or not.
4 The Great Lakes, themselves, most of the Great Lakes,
5 themselves, have only limited mercury fish consumption
6 advisories. There are only a few places, Lake Superior
7 and I believe elsewhere. Lake Michigan, the water body,
8 itself because, it is not anoxic. Methylation does not
9 occur in the water body, so that methylation and
10 methylmercury levels in the lake, itself, are not
11 significant.

12 MR. BONEBRAKE CONTINUES:

13 Q. I believe you mentioned that -- if I
14 understood your answer correctly, that winds from the
15 southwest were predominant. Was that across Illinois,
16 Dr. Keeler?

17 A. I think it's across the entire Great
18 Lakes. That's a statement. If you would like more
19 specific -- are you asking me for a specific location
20 what the predominant winds would be?

21 Q. I'm asking, generally, across the state.
22 If I understood correctly, you were saying, generally,
23 in Illinois the predominant wind direction is from the
24 southwest.

1 A. South, southwest. Of course, that varies
2 as a function of season of year. You know, we certainly
3 get more northwest and north, northerly winds during the
4 colder months.

5 MS. BASSI CONTINUES:

6 Q. In modeling that we have seen performed in
7 the context of nitrogen oxide, NOx, we saw that motor
8 vehicle emissions were not transported long distances.
9 Would that same principle apply to emissions of mercury
10 from motor vehicles or in whatever form the mercury
11 would come out of motor vehicles.

12 A. I think that because the emissions are
13 surface based, tail pipe emissions, as we were saying
14 the NOx comes out of the tailpipe, which is not very
15 high off the ground, I think a significant percentage of
16 the mercury would be more locally disbursed and
17 deposited, although we do see evidence of the gas phase
18 mercury being transported on larger scales.

19 Q. Thank you.

20 CROSS EXAMINATION BY MR. HARLEY:

21 Q. I'm an attorney here on behalf of the
22 Illinois Public Interest Research Group and Environment
23 in Illinois. Good morning. You had just stated that
24 methylmercury levels in Lake Michigan are not

1 significant. Were you speaking about the waters of Lake
2 Michigan, the sediments of Lake Michigan or both?

3 A. I was referring to just the water.

4 Q. Would you care to comment on mercury
5 levels in the sediments in Lake Michigan?

6 A. I, personally, have had very limited
7 experience looking at methylmercury concentration in the
8 sediments. I know that Ron Rossman, and the people from
9 the University of Wisconsin have done some sediment
10 sampling, and I know that -- I think you can get that
11 from Lake Michigan Mass Balance Study website, but there
12 is a significant amount of mercury in the sediments. I
13 don't recall how much methylmercury is, quantitatively,
14 how much methylmercury is there, but there is mercury in
15 the sediments, and it does vary, according to nearness
16 to shore, and based on the input of the tributaries,
17 various tributaries into the body of water, so there is
18 significant amounts of mercury in the sediments. My
19 comment was only talking about the water, itself.

20 Q. Thank you for clarifying that. One other
21 question that I have. You indicated that motor vehicles
22 were a source of elemental mercury emissions. Is that
23 correct?

24 A. The motor vehicle is a source of all the

1 forms of mercury, but predominantly, it was elemental.

2 Q. Would you care to comment at this point
3 about the relative water solubility of elemental mercury
4 by comparison to mercury in its gaseous form and its
5 particulate form?

6 A. Sure. We will get into this later, but I
7 think it's probably a good point. As you asked earlier,
8 the key with mercury really is understanding the
9 chemical form of the mercury in the atmosphere or in the
10 environment. Elemental mercury is sparingly soluble,
11 which means if you take mercury from the air as its
12 floating around in this room -- there's mercury here --
13 and put a glass of water out, there's not going to be
14 much mercury that will go into the water, itself, so you
15 could leave your glass of water out for days, and you're
16 not going to get much mercury in that glass of water.
17 If we sprayed reactive mercury into this room and left
18 your glass of water out, you would see a significantly
19 larger fraction of that mercury actually go into the
20 glass of water, so if you take that analogy, and go to
21 large bodies of water or surfaces, reactive mercury
22 likes to go into droplets, so it likes to go into cloud
23 water. It's a very sticky substance. It likes to
24 deposit to the surface, so if it comes out of a stack

1 and interacts with any type of surface, it's going to
2 want to stick to it much more quickly.

3 Elemental mercury, depending upon the
4 surface type, most of it is just going to keep getting
5 blown away. It's not going to stick. It's not going to
6 go into the water, so if the mercury comes out of a
7 stack or comes out of a tailpipe, or whatever source, in
8 the elemental form, it's going to have less of an impact
9 on the surrounding area, unless it's coming out in
10 extremely high concentrations. There's evidence near
11 fluoroalkali (phonetic) chemical manufacturing
12 facilities that very high concentrations of elemental
13 mercury come out of those plants, and you can see high
14 concentrations of elemental mercury in the surrounding
15 areas, but in most places, the impact of the elemental
16 mercury emissions on the local environment isn't as
17 great, so in the case of incinerators and sources that
18 put out almost all of the mercury in the elemental form,
19 that has a very large local impact. I'm sorry, in the
20 reactive form. I misspoke. So, if the emissions come
21 out in the reactive form, they are going to have a very
22 local impact. When it comes to particulate mercury,
23 which was the other question, if mercury comes out in a
24 particulate form out of motor vehicle because it's so

1 close to the ground, it, too, will stay fairly close
2 stay in that highway zone and will get run off with
3 precipitation as it gets washed off. The reactive
4 mercury, of course, if it comes out is going to stick
5 really close by, and it, too, will get washed off or
6 volatilized, depending on the conditions, so the motor
7 vehicle emissions, maybe a smaller fraction, will stay
8 in the local vicinity because it's in elemental form
9 than if it was in reactive form. Did I answer your
10 question sufficiently?

11 Q. Yes. One other follow-up question to what
12 you have commented on so far, testified to so far. That
13 is, you said that the relative percentage of mercury
14 entering the environment from anthropogenic sources has
15 changed as emissions from medical waste incinerators and
16 municipal waste combusters have reduced. Do you know
17 why mercury emissions from medical waste incinerators
18 and municipal waste combusters have decreased so
19 substantially over the past few years?

20 A. Well, there was legislation that was
21 passed by the EPA and went into effect I believe in '98.
22 The legislation might have been passed earlier than
23 that, but I think it had -- I think it went in the '98
24 to 2000 time frame where there had to be a 90 percent

1 reduction I believe the number was from that industrial
2 sector, and so they had to reduce their emissions by 90
3 percent, which from our analysis in Florida, and from
4 work that was done in Massachusetts, and I think, as
5 time goes on, it would come out in other places had a
6 profound impact on the local deposition in those areas,
7 and it appears to be an impact on the ecosystem, as
8 well, and I think the Florida Report bears that out, and
9 I think now the biological monitoring that was done in
10 Massachusetts beared out the fact that things seem to be
11 improving in those areas where the reduction took place.

12 MR. ZABEL CONTINUES:

13 Q. One question in follow-up on the
14 incinerators, Dr. Keeler. Do you know what most of them
15 did to comply?

16 A. It depends upon the type. Most of the
17 medical waste incinerators, in the past, medical waste
18 incinerators -- there were a small number of large
19 incinerators, hospitals in urban areas, like in South
20 Florida would send their waste to one large medical
21 waste incinerator and these facilities are very
22 unsophisticated, surprisingly. I actually went to one
23 of the large ones in South Florida and I was surprised
24 that it was pretty unsophisticated, and the economics of

1 controlling mercury emissions from that. It seemed like
2 they were burning almost pure mercury, when it came down
3 to it, so the economics suggested that they could not
4 continue to operate, so they actually shut that plant
5 down, and what happened is a lot of smaller plants that
6 emit less mercury, but are able to cap their emissions
7 in a better way. The municipal waste incinerators had
8 to add various control technologies and I'm not -- I
9 don't have at my disposal at this moment exactly what
10 all the different incinerators did, but there were a
11 variety of control technologies that they used to
12 control the mercury emissions from those plants.

13 Q. Did the majority, in terms of volume of
14 the medical waste incinerators, simply shut down?

15 A. I think, initially, that was the response.
16 Many of the medical waste incinerators shut down because
17 people began sending their waste to other solid waste
18 practices, other ways of dealing with medical waste, but
19 the trend now -- for example, I know in South Florida
20 that now there are, like, a dozen medical waste
21 incinerators that have reemerged, but they're smaller
22 units, but better controlled, but they are still putting
23 out mercury, but it's they are meeting the regulations
24 in smaller units.

1 Q. Are they new units?

2 A. I'm not sure. They are new, in the sense
3 that they are new in terms of new sources that have been
4 permitted to emit, but I couldn't answer that question
5 whether they were existing facilities that retrofitted
6 or not.

7 MADAM HEARING OFFICER: Mr. Rieser.

8 MR. RIESER CONTINUES:

9 Q. Just to follow-up on something that
10 happened some time ago. In terms of the automobile
11 emissions, I believe your answer was primarily about
12 emissions in the Chicago area, but wouldn't it also be
13 true that the automobile emissions would also be a
14 potential source in the East St. Louis, Metro East area
15 around St. Louis.

16 A. Yes. I'm really I'm glad you asked that
17 question. When we look for evidence of motor vehicle
18 emissions, we really see them in the large urban areas.
19 When we look in a town such as Springfield, we would
20 have a very difficult time seeing any mercury levels
21 that were increased by traffic in this local vicinity.
22 We have a hard time seeing any in the Ann Arbor, area
23 which is a little bigger than Springfield, but we do see
24 it in the larger metropolitan areas, so of course, the

1 St. Louis, East St. Louis area would be another example
2 of where you would expected to see some influence from
3 traffic, just as you do in the ozone issue downwind of
4 that corridor.

5 MR. BONEBRAKE CONTINUES:

6 Q. In response to a question from Mr. Harley,
7 you mentioned that there was a relationship between
8 mercury levels in sediment in Lake Michigan and in
9 proximity to the shoreline?

10 A. Yes.

11 Q. Can you explain that relationship to us or
12 perhaps describe that relationship to us?

13 A. Describe that relationship?

14 Q. What is the relationship between the
15 proximity to shoreline and mercury concentrations in
16 sediment?

17 A. From my recollection of the presentations
18 that were made at some of the Lake Michigan Mass Balance
19 meetings, there were places where there was higher
20 sediment retention in the southeast corner of Lake
21 Michigan where sediments tend to accumulate there were
22 fairly high concentrations of mercury. In some of the
23 areas where like the Chicago Ship Channel is, and in
24 that area along the shore of Chicago and Gary where all

1 the heavy industry is located, there were higher
2 concentrations of mercury in the sediments.

3 We, actually, over the past 15 years,
4 we've done an extensive amount of work with vessels
5 going out on the Great Lakes taking measurements of the
6 air out over the water when the plumes came off shore,
7 and that's the work that's written in that paper that
8 you were given, and one of the things we see is very
9 high concentrations of particulate mercury and other
10 forms of mercury when the flow is off from those
11 industrial areas. You can actually see shiny materials
12 in the surface waters. We actually took samples of
13 microlayer, which is the surface layer of the water on
14 Lake Michigan, and you can see the metallic particles
15 floating on the water, and those samples which we then
16 analyzed actually had fairly high concentrations and
17 other metals. Those particles are very large because
18 you can see them, and those are, basically, the ones
19 that got emitted and deposited very rapidly, and those
20 will then go to sediment, so in areas where there's
21 large tributary inputs, as well as areas with high
22 mercury deposition from the atmosphere, which tend to be
23 located near the shoreline of Lake Michigan, you would
24 see higher particulate loads and higher sediment

1 concentrations. Of course, the sediment patterns are
2 complicated in any large lake because of the patterns of
3 the reed suspension (phonetic), but they still see
4 patterns of high deposition in a southern part of the
5 lake.

6 Q. Are the higher levels of mercury in
7 proximity tributaries of Lake Michigan related in any
8 way to waste water discharges of mercury to those
9 tributaries?

10 A. My role in the Lake Michigan Mass Balance
11 Study was to look at the atmospheric inputs, and the
12 University of Wisconsin was in charge of tributary
13 inputs working with United States Geological Survey, so
14 that was not my role, so I can't testify to what they
15 found. I know that atmospheric inputs were 85 percent
16 of the total inputs to Lake Michigan with tributary
17 inputs being 15, but there was a large fraction of the
18 tributary inputs that they couldn't account for in terms
19 of where the mercury was coming from, so some portion of
20 the tributary inputs, clearly, would come from runoff
21 and other sources like you mentioned.

22 MS. BASSI CONTINUES:

23 Q. I didn't get my notes completed on this.
24 You were talking about measuring the plumes or measuring

1 plumes over Lake Michigan, and I got distracted by
2 looking down and seeing the metals on the surface. Did
3 you say there were higher particulate loads in those
4 particular measurement forays that you were doing?

5 A. Yeah. They tended to have a higher
6 particulate fraction.

7 Q. And this is the HGP that you're talking
8 about?

9 A. Yes, I am.

10 MR. ZABEL CONTINUES:

11 Q. This is not on Lake Michigan, but
12 something you said made me think of this. You mentioned
13 reed suspension. Is reed suspension of mercury in a
14 water body -- strike that. Is reed suspension of
15 mercury in a water body, mercury in the sediment, a
16 source of accelerated methylation.

17 A. Again, I guess I'm a reductive type of
18 person. You asked a lot of things in that sentence. I
19 guess there's not a simple answer to asking whether
20 there's anything that accelerates. That suggests that
21 the rate increases with time. I think that any time you
22 reed suspend a mercury in a form that's not available
23 for chemical reaction up into the water column, you
24 would provide it to be chemically reactive. I don't

1 think it's technically correct that it would accelerate,
2 but yes, reed suspension does provide a way to get
3 mercury into the water column.

4 Q. It would make it available for methylation
5 where it might not otherwise be?

6 A. If the form of mercury was such that it
7 was potentially methylated, yes.

8 Q. I guess let me be a little blunt, and say
9 what my thought was while you were mentioning reed
10 suspension made me think of that. You talked about the
11 modeling in Florida before. I'm wondering if the
12 modeling -- my understanding is the Everglades are a
13 relatively shallow body of water. Is that correct?

14 A. I can usually stand in the Everglades up
15 to my neck in water, yes, so it's a fairly shallow
16 place, except for when you fall into the gator pits.

17 Q. Which they must enjoy greatly, but that's
18 a different thing. My concern is does the modeling
19 address the possibility of severe weather, hurricanes in
20 Florida causing reed suspension, and if so, how?

21 A. I don't believe anyone's addressed that,
22 but that's an excellent question, and I think that
23 severe storms play a huge role in causing havoc to the
24 ecosystem in South Florida. Interestingly enough, I

1 think they tend to clean things out. The problem with
2 the Florida Everglades has been that we have kind of
3 dammed it up, and whenever you put in canals and dam
4 things up, it, basically, filled in the Everglades, so
5 we could put condos down there, so snow birds like us
6 can go down and live in South Florida. The Everglades
7 has been confined to a smaller area so less water is
8 flushing through that system, so anytime you do that
9 type of a thing, you are actually building up and
10 storing up more contaminants in that ecosystem, and the
11 big storms, basically, flush that out, and those have
12 been occurring continuously for a long time. We hear a
13 lot more about the hurricanes, but those have been going
14 on for a long time, so they -- actually, they are a
15 positive, I would say, in terms of the mercury and other
16 contaminant issues in South Florida.

17 Q. Could cause reed suspension?

18 A. I'm sure they do in the flushing.

19 Q. Flushing the mercury into the Florida
20 bays?

21 A. Yeah, and we actually published a paper
22 looking at contaminant levels over time in Florida Bay,
23 and you can nicely see the inputs of the atmospheric
24 over the last 100 years in Florida Bay sediments, so

1 even though there are these storms that go on that
2 change the pattern of deposition, you can still see
3 those inputs, so the atmospheric signal is still very
4 strong. We can see lead and lead gasoline in the
5 Florida Bay sediments going back for 100 years.

6 DR. KEELER: Question No. 7: "Would
7 Dr. Keeler consider the Steubenville, Ohio Study site to
8 be representative conditions across the country? A:
9 Representative of conditions anywhere in Illinois, and
10 B: If so, where?" Just to back up, Steubenville, Ohio,
11 is a community that's in Eastern Ohio on the Ohio River
12 Valley. Around 1998, '99, the EPA director of the
13 National Exposure Research Laboratory, Gary Foley, asked
14 the question why there was no mercury monitoring being
15 done in the state of Ohio and there was interest by
16 people in the state of Ohio to have a mercury monitoring
17 site. The EPA issued a request for proposals for a
18 competitive bid process where proposals were submitted
19 to the Office of Research and Development in Washington
20 and we submitted a proposal to that call for proposals,
21 and in that call for proposal, they asked that we choose
22 a site that was within 15 kilometers of a large
23 coal-fired utility. Again, that wording is from my
24 recollection, not from the exact language, but they,

1 basically, wanted us to identify a location in the
2 country that we thought would have a high probability to
3 have an impact from coal-fired utilities. I've been
4 working in the air quality area now for over 20 years. I
5 started doing atmospheric chemistry and measurements in
6 1982, and as part of my thesis work, I did work in
7 Southwestern Pennsylvania looking at the sources of acid
8 rain, so I have been looking at sources of air quality
9 or aerial problems in this part of the country for more
10 than 20 years.

11 As part of my thesis work, we actually
12 went and made measurements in that area and actually
13 went and looked at local sources, went and visited, and
14 went to many of the power stations and zinc smelters and
15 glass welding and manufacturing plants an everything
16 that was in that vicinity.

17 After I got out of graduate school, I
18 went to the Harvard School of Public Health and
19 continued my work where we were doing a health study
20 looking at the health impacts of particulate air
21 pollution on people, mainly, on children and as part of
22 that study, there was a site in the Steubenville area,
23 and previous analysis had shown that this was a location
24 that had clear coal-fired utility impacts, so as part of

1 our new study to look at mercury, because of the wealth
2 of data that had been going on at this location for the
3 past -- actually, started in the 70's, we felt this was
4 a good location to go back to, so we went to
5 Steubenville, Ohio, and performed a mercury study, and
6 we're going to hear more about this as time goes on.
7 The question is to its representativeness of conditions
8 of across the country. Again, I'm an atmospheric
9 scientist. I've had formal training in meteorology.
10 When we talk about representativeness, we are saying,
11 "Could you take the information garnered at one spot and
12 transfer it to another spot?" And Steubenville, Ohio,
13 is not representative of, really, of any place, other
14 than Steubenville, Ohio, because of the unique nature of
15 its sources and the meteorological conditions that
16 govern the transport of pollutants to and from that
17 area.

18 However, if one wants to look at the
19 representativeness of an area, such as the Great Lakes,
20 then the Steubenville, Ohio, area is I think a fairly
21 good representative site of many locations along the
22 Ohio River Valley. It's more representative of a
23 Midwest industrial area than it is not representative,
24 so is it a perfect one-to-one correlation with everyone

1 in the country? Of course not. Steubenville, Ohio,
2 conditions are not like Florida conditions, in terms of
3 the weather. Otherwise, we would all go to Steubenville
4 in the wintertime. Having been there in the wintertime,
5 I can tell you you would not want to go to Steubenville
6 in the wintertime. You don't want to be in Steubenville
7 in the summer, either, but it's not representative of
8 most places in the United States, but it is a good
9 representative site of the Midwest area that is
10 dominated by coal burning.

11 "Is it representative of conditions
12 anywhere in Illinois?" Again, the meteorology is
13 probably not all that much different in terms of the
14 predominant winds the amounts of precipitation. I know
15 that, as people here in Illinois say, Illinois is
16 elevation challenged. Most of Michigan is the same way.
17 We don't have much topography. Southern Ohio has a
18 little bit of topography. In the upwind region of
19 Steubenville, Ohio, it's fairly flat, as well, so it's
20 not a mountainous area. There are no topographic
21 differences. Illinois has, of course, the Lake Michigan
22 shoreline. That is a little bit different, but Ohio
23 also has Lake Erie, so there are many more similarities
24 I would say than not, but to say that it's

1 representative of any point, that's probably not a fair
2 statement. I don't think anyone would try to say that
3 it's a one-to-one correspondence, but it does have a
4 good general I would say representativeness of the
5 midwestern region.

6 Question 8: "In the Steubenville
7 Study, was there any attempt made to relate deposition
8 of inorganic mercury from anthropogenic sources to
9 methylmercury concentrations in fish?" To continue, the
10 Steubenville Study, as we were asked to propose, was a
11 study to look at the atmospheric -- basically, it was
12 asked to quantify the levels of mercury in the
13 environment, as well as the levels of mercury in the
14 deposition, and to quantify the contributions from
15 coal-fired utilities to the levels that we were seeing
16 in the air and in the wet and dry deposition at that
17 spot. It was not part of the scope of the work for us
18 to link the deposition to aquatic impacts or to cycling
19 or to air-water exchange or any of those issues. It was
20 purely an atmospheric deposition study, so that was
21 beyond the scope of our project.

22 MR. RIESER CONTINUES:

23 Q. Yeah, I'm sorry for this. I want to go
24 back to the representativeness. How many -- and I had

1 these questions in mind, and I might as well get them
2 out now. How many coal-fired power plants are located
3 within 50 kilometers of Steubenville?

4 A. Of Steubenville?

5 Q. Yeah.

6 A. I know that's one of our later questions.
7 I don't have a quantitative number, but there's a large
8 number probably within 50 kilometers. There might be
9 15.

10 Q. Do you know what the combined aquatic --
11 if you're organized to answer this later, we can answer
12 it later.

13 A. I have a table that lists -- I actually
14 have a utility provided table that has all the megawatt
15 -- I mean, it's actually the utilities that put that
16 data together as part of the information requested by
17 the EPA, and so I can add those up if you would like me
18 to, but it's a fairly large number.

19 Q. So would it be correct to say that -- I
20 believe you actually said that Steubenville was selected
21 because it was extended in a place where you would see
22 impacts from adjacent coal-fired power plants.

23 A. Yes. EPA, specifically, asked us to
24 identify a location where we could utilize tools, and

1 again, I will talk about this a little later in some of
2 the other questions, but we have developed tools over
3 the last 20 years that allow us to make measurements in
4 the environment and to work backwards to identify the
5 sources of the pollution that we measure, and these
6 tools -- some people call it environmental forensics.
7 It's kind of like you find clues to what the source of
8 the pollution is, and then you go and work backwards to
9 identify the source. EPA asked us, specifically, to
10 identify places where we could test those tools and
11 investigate the feasibility and accuracy of using these
12 tools in this type of application, specifically, to look
13 at coal-fired utilities, and this was really an obvious
14 outcome of the 1998 Mercury Report to Congress, which
15 identified municipal waste and medical waste
16 incinerators as the largest source of mercury to the
17 environment, with coal-fired utilities being the second
18 largest.

19 Having successfully reduced the
20 emissions from the first category, which is the
21 incinerator category, and seeing -- again, to see some
22 of benefit, they started asking the questions "Well,
23 what is the impact of coal-fired utilities?" because
24 there really was no data out there, and they asked the

1 question why, and so they, specifically, told us to go
2 to an area where we had a fairly good idea that we would
3 be impacted by coal-burning utilities, so yes, that was
4 the purpose for us going there.

5 Q. So for the purpose of developing that
6 analogy, it would be good to go to a place where you
7 knew you were going to be able to see the impacts that
8 you were going to test?

9 A. Yes, that's correct. We would not go to
10 South Florida to look for coal-fired utility impacts
11 because there aren't any, so --

12 CROSS EXAMINATION BY MR. AYERS:

13 Q. Following up on that question, isn't it
14 useful to go to a place where you have the phenomenon,
15 if you are going to do the science, to try to understand
16 the phenomenon?

17 A. Yes. That's exactly right. If you're
18 asked to study something, in particular. In that case,
19 we were. It was a very specific request and so we used
20 our, again, 15 years worth of experience at a location
21 to tell us that this was the right place to go, and we
22 actually identified a couple of other locations, as
23 well, not too far from here.

24 We could have gone from Steubenville

1 over into Pennsylvania. We could have gone down to
2 Athens, Ohio. There's a lot of places in the Ohio River
3 Valley corridor that would have met EPA's requirements,
4 in terms of being within 15 kilometers.

5 MADAM HEARING OFFICER: Could you
6 identify yourself for the record.

7 MR. AYERS: I'm Richard Ayres, Ayres
8 Law Group in Washington D.C.

9 MR. AYERS CONTINUES:

10 Q. The second question I guess isn't it true,
11 then, that what you learned in the study, like the one
12 at Steubenville may be transferable in terms of
13 understanding the phenomenon, even if Steubenville is
14 not exactly like another place?

15 A. Yeah. That's a great question. The
16 methods that have been developed -- I should say right
17 up front that what we call these methods are receptor
18 methods. In other words, a receptor is the place that
19 receives the pollution, and so we'll get into this a
20 little later in other questions, but instead of using a
21 model, which takes the emission from a stack, and then
22 models where those pollution emissions go and then fall
23 down to the earth, the receptor methods make
24 measurements at the place, so they are real

1 measurements, and then we work backwards to figure out
2 where they came from. And these methods have been under
3 development for the past 25 years at the U.S. EPA, and
4 independent of the work that we've been doing, EPA has
5 been working with some of the best scientists in the
6 field to develop a series of models, and to go through
7 and extensive testing and evaluation of these models to
8 look at their use and regulatory applications and
9 there's a whole literature that is out there with tens
10 of papers, 10, 20, maybe up to 100 papers where other
11 people have used these methods to do exactly what we
12 were doing, which is proportion the amount of pollution
13 that came from a particular source type, to how much was
14 received at a specific location, so that work has been
15 going on for a long time and parallel.

16 Our work was not to work on that, to
17 show that these methods work. EPA has an exhaustive
18 report of that. These methods have been tested. EPA
19 has developed these methods. They are publicly
20 available. They have had workshops where they have
21 looked at uncertainties, and both, in the methods and
22 calculations and all that is very well documented. It's
23 not something we did as part of our study. We just took
24 and used those developed tools that EPA had, and used

1 those to understand what we found in Steubenville, so
2 choosing a place like Steubenville was just a way so
3 that we could look, specifically, at coal-fired
4 utilities to see what are the complexities and
5 difficulties in looking at this type of impact because
6 it is not simple. With everything in science, we start
7 at the beginning, and we work up, and as we learn, we
8 improve what we're doing, and so when this study was
9 proposed, they said, "Okay, go where you think you have
10 the highest probability of findings an answer," so we
11 went there, got a good signal, and we've been successful
12 in working backwards to define the contributions from
13 the sources in that area.

14 Q. One final question, you did this work near
15 the location of a lot of power plants. If, as some have
16 said, that most of the emissions of mercury went up, and
17 far away, rather than being deposited in relatively
18 local areas, would you have seen the signature of the
19 power plants that were located in the relatively local
20 area of Steubenville?

21 A. Again, I guess this answer is a question
22 that is posed to me later on, but again, getting back to
23 the form of the mercury, there are a number of issues or
24 controversies out there, in terms of mercury transport

1 and deposition. The form of mercury really determines
2 the distance that mercury is going to get transported,
3 and so understanding the form of mercury that comes out
4 of coal-fired utilities is of great importance. The
5 Electric Power Research Institute working with U.S. EPA
6 and others, have done an excellent job of quantifying
7 the amount of mercury that is consumed by this industry
8 and submitted by this industry, and we do have some
9 information on the form of mercury that comes out of the
10 coal-fired utilities. The data -- again, this is data
11 that is in -- we gave reports suggesting that it's
12 somewhere around 67 percent, plus or minus 15 or 20
13 percent of the mercury that is submitted from coal-fired
14 utilities comes out in that reactive gaseous form,
15 although on any given day, at any given plant, that
16 number can vary depending on the blend of coal and the
17 type of control technologies and so forth.

18 In Steubenville, Ohio, there are
19 enlarge number of coal-fired utilities around the plant,
20 and the mercury that comes out of these stacks, based
21 on, again, on the EPA's database, would suggest there's
22 a significant fraction of the mercury that comes out in
23 the reactive form, and this mercury goes into water
24 that's in the atmosphere and gets precipitated out. We

1 also believe that this mercury is deposited through dry
2 deposition to the earth's surface in a fairly local way.
3 We do see a clear indication that coal combustions
4 dominates the deposition of mercury to the Steubenville,
5 Ohio, area. This is commensurate with our understanding
6 of the form of mercury that comes out of the power
7 plants.

8 MR. RIESER CONTINUES: Well, that was
9 the whole nut, wasn't it? Obviously, there's a lot of
10 questions on that. I don't know where you want to take
11 them just to keep the record sane in the --

12 MADAM HEARING OFFICER: Keeping the
13 record sane -- I've given up hope of that.

14 MR. RIESER CONTINUES:

15 Q. Fair enough. On the context we have
16 organized our questions, or we can start on it now.

17 A. I think, if we keep going down, I think
18 you will be able to have a chance to probe at what you
19 would like to probe at.

20 MADAM HEARING OFFICER: I would like
21 to point out that it is already 20 after 10, and we are
22 going to be taking a break at 10:30. Why don't we try
23 to get through Ameren's questions before 10:30 and we
24 will take -- I'm sorry -- Dynegy.

1 MR. RIESER: That's fine. I just want
2 the record to reflect that not asking question here
3 doesn't mean we don't get questions on this later.

4 MADAM HEARING OFFICER: Absolutely.

5 MR. RIESER CONTINUES:

6 Q. I do want to ask a question on Mr. Ayres'
7 second question, which had to do with how this operates.
8 When you look at testing and experimenting with respect
9 to phenomenon and the place you expect the phenomenon to
10 be, isn't the next step of that to develop some method
11 for extrapolating that determination to other
12 circumstances?

13 A. Yeah. I think we always, again, in kind
14 of a reductionist way of thinking about things, you try
15 to identify an approach and methodology that allows you
16 to answer a specific question, and then the next step is
17 to try to broaden that specific answer to a larger
18 context, and we've been doing similar type of work in
19 the state of Michigan, as well. It hasn't just been in
20 the state of Ohio, so we have similar monitoring sites
21 at multiple locations in Michigan, which I believe, in
22 my testimony, I alluded to, and so we were trying to do
23 that. We have been working very hard, and since one of
24 the things that -- you feel, after awhile, that maybe

1 your head has gotten softened up because I've been
2 banging it up against the wall so long, but we've tried
3 very hard to get both the states and the agencies to
4 expand the type of work we have done to a larger
5 geographical area, so we could answer these questions,
6 and to do that, to take the science from a spot and take
7 it and broaden it, so we can answer these questions in a
8 more scientific, definitive way.

9 Like everything, the mercury field is
10 fairly new. It's young relative to the acid rain field.
11 We've only been at it for 15 or 20 years, and so it's
12 something that's evolving, but we've made major progress
13 because we learned so much from the acid rain research
14 that was done, and we've learned so much from the acid
15 rain research that the growth period has gone so much
16 quicker, but we would still like to expand, so yes.

17 Q. Listening to that answer, can I say that
18 you are working on methodologies to extrapolate from
19 your findings of Steubenville, but have not yet
20 completed that work?

21 A. Well, as my major advisor told me when
22 started in on mercury, and after a decade, I told him I
23 felt like I had just been on to learn the topic. He
24 said to me, "You're going to retire working on mercury."

1 I have a long time to retire, a good another 20 some
2 years to, work and I believe this is something that --
3 mercury is an interesting component. It's very
4 difficult to get a handle on in many ways, and so I
5 think, in terms of the changing local, versus regional,
6 versus global concerns, that's changing all the time,
7 and so I think it's something that's going to take a
8 long time. However, as a scientist, I feel like I have
9 a fairly good handle on things that are important for
10 today, and yes, extrapolating -- I wish I had 25 sites.
11 There's no doubt about it, but the sciences, basic
12 chemistry and physics and basic meteorology, and those
13 things are always transferable. The reason that we do
14 work in Florida and Michigan is not because I'm a smart
15 guy, and I want to go to Florida for vacation in the
16 wintertime. In fact, all of our mercury work has been
17 in middle of summer, which I tell my relatives the
18 opposite just, so they don't think I'm a nut, but we
19 work in these different environments, but the laws of
20 chemistry and physics have to be the same in both places
21 . You can't explain mercury behavior in Florida
22 different than you explain it in Michigan. It has to be
23 transferable. There has to be changes in meteorology or
24 temperature or other things that make the behavior of

1 mercury explainable, and that's what we're finding. We
2 are finding repeatable behavior in all the environments.

3 I have done an extensive amount of
4 work in New England. We're doing work out west, work in
5 the Mediterranean Sea, in the Arctic. All these
6 environments keep telling us that we are better
7 understanding the chemistry and physics of mercury, and
8 that body of knowledge that we have acquired over the
9 past 20 years really lends to credence to what we are
10 finding. It doesn't make it more blurry. It makes a
11 more better defined picture.

12 Q. So in order to draw conclusions from the
13 Steubenville work to, say, Illinois, you would actually
14 have to do the work you described of testing the
15 deposition and doing the methodology you described. Is
16 that correct?

17 A. Again, I think that's a question that gets
18 back to my comment earlier. When we talk about
19 identifying the contributions of the specific sources or
20 source type to the state of Illinois, in particular, you
21 can't go back in time and collect the rain. You can't
22 go back in time and collect the air that was coming
23 through the state, so the only way that you could do
24 that would be to go and collect samples in the state at

1 the time that you wanted to do that contribution.

2 However, we actually have collected
3 samples in Illinois. We collected them as part of my
4 Lake Michigan Mass Balance Study, which is samples in
5 Chicago, at IIT, and we have done an extensive amount of
6 work around the Great Lakes Basin, so we have data that
7 allows us to extrapolate and extend our understanding of
8 what's going on to areas in Illinois that I think are
9 very relevant and accurate.

10 Q. Were there any conclusions in your
11 testimony based on that data specific to conditions in
12 Illinois?

13 A. I believe there were.

14 Q. Were those conclusions the same as the
15 conclusions -- the same type of conclusions, i.e., the
16 contribution of local sources, local coal-fired sources
17 to local impacts?

18 A. Again, this is one of the things that
19 we -- I hate to keep saying it again, but -- the data we
20 collected in those studies was collected in the '94,
21 '95, '96 time frame. At that time frame, municipal
22 waste and medical waste incinerators were the dominant
23 source of mercury, and in the air shed and the Great
24 Lakes, we had a number of very large incinerators.

1 Plus, the Chicago area has -- the Chicago-Gary area has
2 a number of very large iron and steel production
3 facilities, chemical manufacturing refineries, a number
4 of other sources, so we did make conclusions regarding
5 the sources of the mercury, but the blend of the sources
6 was different at that time.

7 At that time, incinerators and power
8 plants were about the same, and those were -- I don't
9 know what -- 30 something percent each, in terms of the
10 total mercury emissions, and now the one's gone, so now
11 coal utilities are the largest source with incinerators
12 being a much smaller, so the answer we got then were
13 applicable to the time that we were making the
14 measurements. The tools that we used are, generally,
15 applicable to any time, but even at that time, though,
16 the contributions we were seeing from coal combustion
17 were I would say, relatively speaking, so if you take
18 the one-third of the mercury emissions coming from coal
19 combustion at that time, we were seeing signals in the
20 20- to 40-percent range, in terms of the contribution of
21 coal combustion to the levels that we were seeing in the
22 atmosphere and in the deposition, so it was consistent
23 with the emissions that were occurring at that time. If
24 we went today and took a look, we would see a different

1 picture.

2 Q. So is the answer to that question no.

3 A. The long-winded answer was given because I
4 think it helped to relate to the conclusions we drew
5 there. We saw the influence of coal combustion on the
6 regional scale, local-regional scale, in those studies.
7 The relative importance of coal combustion was different
8 at that time largely due to the differences in
9 emissions.

10 Q. So you don't have any recent data with
11 respect to Illinois or the Chicago area that would allow
12 you to draw specific conclusions. Is that correct?

13 A. I have not made any measurements in
14 Illinois since the 90's. However, the conclusions I
15 believe that we made there are still consistent. We've
16 still been making measurements in Michigan, which is
17 downwind of Illinois, and so we do still have data that
18 helped us understand the sources that are in Illinois,
19 but no, we do not have Illinois-specific measurements.

20 Q. Thanks.

21 MADAM HEARING OFFICER: Having arrived
22 at 10:30.

23 CROSS EXAMINATION BY MR. MATOESIAN:

24 Q. Did you say that, even in the early 90's,

1 you were --

2 MADAM HEARING OFFICER: They cannot
3 possibly hear you in the back of the room.

4 MR. MATOESIAN CONTINUES:

5 Q. Did you say that, in the early 90's, 20 to
6 40 percent of deposition you were finding was coming
7 from coal-fired power plants in Chicago based on your
8 sampling?

9 A. I said that, from our earlier studies, we
10 were seeing 20 to 40 percent contributions from coal
11 combustion to the ambient concentrations in deposition
12 that we were measuring.

13 Q. Has there been a significant change in the
14 weather patterns or meteorology for Illinois in the last
15 10 years?

16 A. Wow. This is where the legal, versus
17 scientific, definition comes in. What's the definition
18 of -- no. I would say that the simple answer is that
19 the last decade has been interesting; one,
20 meteorologically, but is not that consistent with the 30
21 year climatology, so no, there's not a significant
22 change, although the weather over the last decade has
23 certainly been unusual in many cases.

24 Q. Aside from Algona, so you would expect to

1 see, at least, a similar contribution from coal-fired
2 power plants if you were to take samples?

3 MADAM HEARING OFFICER: You are going
4 to have to speak up.

5 MR. MATOESIAN CONTINUES:

6 Q. You would expect to see, at least, similar
7 contributions from coal-fired power plants today as you
8 did then?

9 A. My expectation actually would be that we
10 would see a larger fraction of the contribution from
11 coal-fired utilities because the incinerator sector has
12 been controlled, so that would mean that it could be a
13 similar amount of total mercury, but it would be a
14 larger fraction of the contribution from coal
15 combustion.

16 Q. Thank you.

17 A. I don't have any evidence to suggest that
18 it would have declined.

19 MADAM HEARING OFFICER: At this point,
20 we are going to have to take a break. The board meeting
21 is at 11 o'clock. As I stated earlier, there is a
22 pending motion in this rulemaking. If the Board rules
23 on that motion in the meeting, I will have copies of the
24 record available when we come back at one o'clock.

1 (At which point, the hearing was
2 adjourned.)

3 MADAM HEARING OFFICER: Before we go
4 back on the record, I want to let you know, in addition
5 to granting the motion to amend today, the Board
6 declined to offer any of the direction asked for by
7 Ameren, Kinkade and Dynegy to the Hearing Officer.

8 That being said, what I would
9 anticipate is that next week, as we approach the end of
10 the week, we'll see where we're at. As I indicated in
11 my Hearing Officer Order setting this hearing, we will
12 look at the schedules. We'll see where we're at, and
13 see what we need to do, as far as continuing, perhaps,
14 cross-examination, extend pre-filing deadlines, and that
15 sort of thing, and we'll do that as we proceed here, and
16 we know where we're at.

17 That being said, I think we will
18 proceed with Dr. Keeler. I believe we are on Dynegy
19 Question No. 9.

20 MR. RIESER: Eight, I believe.

21 MADAM HEARING OFFICER: I thought we
22 finished with eight.

23 MR. RIESER: Eight related to methyl
24 relationship --

1 DR. KEELER: I did answer that. That
2 was beyond the scope of the project we conducted.

3 MADAM HEARING OFFICER: Question No.
4 9.

5 DR. KEELER: Question No. 9: "Do
6 different types of emission sources for mercury have
7 different mercury deposition patterns? Yes. We would
8 have different deposition patterns, and again, I'm sorry
9 to keep repeating myself, but the deposition pattern is
10 going to be a function of the type of mercury emitting
11 from the stack, so from the type of stored source it is,
12 and clearly, the characteristics of the stack, the
13 height of the stack, the velocity at which the emission
14 comes out and so forth, so yes, emission patterns will
15 be different depending on the type of mercury and from
16 the different type of sources.

17 Question 10: "Do different types of
18 sources emit during species of mercury?" Yes. There's
19 quite a bit of information in the literature now showing
20 that different source types do emit different types of
21 mercury. As we have already mentioned, municipal waste
22 and medical waste incinerators emit a predominant amount
23 of mercury in the reactive or ready depositable form,
24 greater than 80 percent. Power plants, based on the

1 work that's been done by the utility industry, suggests
2 that it's closer to 67 or so percent, but that the
3 amount that's emitted from a specific source depends
4 largely on the exact amount of coal that's used, the
5 type of coal and the blending and so forth.

6 Motor vehicles will emit a different
7 blend, less reactive, more elemental. Chemical
8 manufacturing tends to emit more elemental mercury than
9 reactive, so yes, the form that's emitted varies
10 dramatically from one source to another. "What elements
11 or facts influence or" --

12 MR. RIESER CONTINUES:

13 Q. The 67 percent number, with respect to RGM
14 emissions from coal-fired power plants, you said that's
15 -- do you recall the source of that number.

16 A. Presbo, et al., if I recall.

17 Q. Presbo?

18 A. Presbo. He works at Frontier
19 Geoscientists, and I believe that's the citation that I
20 have from that.

21 Q. And then that's -- do you know if that
22 represents an average of all coal-fired power plants in
23 the country?

24 A. It was the ones that were tested using --

1 I, honestly, don't recall which technique was used, but
2 there were a number of plants that were tested, and that
3 was the average. It was 67, plus or minus 15 or 17
4 percent, something like that.

5 Q. That was my next question. Wasn't there a
6 range?

7 A. Yeah. There was, and again, my
8 recollection is that it's 15 or 17 percent.

9 Q. I think we talked -- we talked earlier
10 about different coals. Would that -- I think we talked
11 earlier that that would be affected, also, by the
12 different coals that were used as fuel, correct, certain
13 types of coals?

14 A. Yeah. My understanding of the state of
15 knowledge right now is the parameters that are most
16 important, which is the next question, if that's okay if
17 I continue answering that. The things that affect the
18 or influence the type of mercury that's emitted for coal
19 combustion, the chlorine content of the coal is very
20 important, not only the amount, but the nature of the
21 fly ash that's inherent in that type of coal, and people
22 have indicated things like the iron content also plays a
23 role, and the ash content can vary dramatically from one
24 type of coal to another, and then it can actually absorb

1 some of the elemental mercury that's emitted, or in
2 other cases, it might tend to have more particulate
3 mercury, so those things are very important, in terms of
4 how much mercury comes out, and again, that's not my
5 area of expertise. I'm just going based on what I have
6 been told.

7 Q. Do power plant configurations affect this,
8 as well?

9 A. Yes. Again, that's not my area of
10 expertise, and perhaps somebody else would be better off
11 handling that question, but I know control technology
12 will affect the speciation that comes out of the stack.

13 Q. Do you know in what way?

14 A. Well, again, it's a fairly complex
15 relationship because it depends on what the emissions
16 were, to start with, so if it's a high chlorine coal,
17 which has lots of reactive mercury. If a wet scrubber
18 is used, you will tend to use more mercury. It it's
19 elemental mercury, a wet scrubber is not going to be as
20 effective, but again, that's not area of expertise. I
21 recommend that one of the engineers answer those
22 questions.

23 DR. KEELER: So that was 11 --

24 MADAM HEARING OFFICER: I don't think

1 we've addressed nine or 10, yet.

2 DR. KEELER: 9, I answered, "Do
3 different types of emissions source --

4 MR. RIESER CONTINUES:

5 Q. Let me can ask more question, if I may. I
6 don't believe you addressed steel manufacturing, in
7 whether those are sources, in your view.

8 A. Yes. They are sources of mercury. Any
9 sources that uses fossil fuel for its combustion fuel is
10 going to have a mercury emission, and so iron and steel
11 industry definitely does and the manufacturing of steel
12 produces mercury. We find -- we found quite a bit of
13 particulate mercury, in fact, in the Chicago area, for
14 example, due to the iron and steel industry.

15 Q. Would the amount of mercury and the type
16 of mercury produced or emitted -- put it that way --
17 vary on the type of steelmaking process? For example,
18 wet furnaces, as opposed to other types of operations?

19 A. Again, I'm not an expert on the steel
20 manufacturing process, so I would rather not comment on
21 that.

22 Q. Thank you.

23 MR. BONEBRAKE CONTINUES:

24 Q. Do refineries also emit mercury?

1 A. Yes, they do.

2 Q. What forms of mercury are emitted by
3 refineries?

4 A. We see predominantly elemental mercury
5 when we see influence from refineries.

6 Q. And in connection with the work that you
7 had mentioned concerning Lake Michigan, were you finding
8 any elemental mercury from refineries associated with
9 the mercury in Lake Michigan?

10 A. I know that we saw refinery influences on
11 the particular matter, and I don't recall that we saw a
12 strong signal from refining in the gaseous mercury.

13 DR. KEELER: Now, Question 11: "Is
14 the mercury deposition pattern for incinerators
15 different than it is for coal-fired electric generating
16 utilities?" I would say yes, and for the two reasons
17 that the questions were asked before me. The form of
18 the mercury coming out of the two are -- can be
19 different and the height of the stacks of an
20 incinerator, versus a coal-fired utility would also be
21 quite different, although some of the electric
22 generating units in the state have relatively low stack
23 heights compared to some of the larger ones elsewhere.
24 Some down in the couple-hundred-foot range. That's more

1 typical of an incinerator stack height. In general,
2 those two things will cause a difference in the
3 deposition pattern.

4 MS. BASSI CONTINUES:

5 Q. Is the state you're referring to Illinois?

6 A. Yes, it was.

7 MR. RIESER CONTINUES:

8 Q. Is it correct that the differences are
9 associated with stack heights, and in what way is it
10 associated with stack heights?

11 A. Well, lower stack height putting out large
12 amounts of reactive mercury is going to really tends to
13 push things towards more localized deposition than a
14 high stack height with the same amount of reactive
15 mercury, and then if you have less reactive mercury with
16 less stack height, you have very localized, within a few
17 kilometers of the plant type deposition.

18 Q. When you refer to some power plants in
19 Illinois having stack heights of a certain height, which
20 plants were you referring to?

21 A. I have -- I guess this is a list of all
22 the power plants in the state sorted by stack height.

23 Q. We have extra copies, don't we?

24 MADAM HEARING OFFICER: We need to

1 admit that as an exhibit.

2 DR. KEELER: He's going to get some
3 copies.

4 MR. RIESER CONTINUES: Why don't we
5 hold on the issues on this issue, until I can get a copy
6 of this. Thank you.

7 DR. KEELER: Question 12: "Not all
8 inorganic mercury deposited to all water bodies from the
9 atmosphere become methylated. Is that correct?" Yes, it
10 is correct. Some of the mercury that's deposited to a
11 water body, depending upon the form that it's deposited
12 in, can actually be transformed into elemental mercury
13 and again be re-admitted from service, so some fraction
14 of the mercury gets immediately sent back up. Some of
15 the mercury that's deposited to a body of water will
16 attach to particles and sink to sediments, so that it
17 won't instantaneously be methylated. It has potential
18 to be methylated at a later time.

19 MR. BONEBRAKE CONTINUES:

20 Q. What percentage of mercury, as you just
21 described it that's deposited into water bodies is
22 transformed and re-admitted?

23 A. It's water-body specific.

24 Q. Is there any general range that results of

1 that process, recognizing that there's going to be
2 variability among water bodies?

3 A. I would say there's no general range that
4 I can say.

5 DR. KEELER: Question 13: "Some of
6 the mercury deposited into water bodies is reemitted.
7 Is that correct?" As I just mentioned, yes, it is. In
8 the Lake Michigan Mass Balance Study, for example, of
9 the mercury that was deposited to Lake Michigan, about
10 one-third was reemitted, so two-thirds of the mercury
11 went into the water body and one-third was reemitted.

12 Question 14: "The amount of
13 methylation" --

14 MR. BONEBRAKE CONTINUES:

15 Q. Just a follow-up to that answer, do you
16 have a reason to believe that that percentage would be
17 significantly different for other water bodies in the
18 Midwest?

19 A. I believe that it would be different than
20 inland lakes. It may be very typical for the large
21 lakes, but I think you would get a real range in
22 concentrations, depending on the aquatic chemistry.

23 Q. In the lakes, would you have thought it to
24 be higher or lower?

1 A. Again, it would vary quite a bit just as
2 the chemistry in the lakes varies quite a bit. The DOC
3 and the calcium carbonate and other basic chemicals that
4 are in the lakes, those concentrations vary over, like,
5 the whole state of Michigan, so I would think the
6 evasion rates would vary, as well.

7 MADAM HEARING OFFICER: Mr. Zabel.

8 MR. ZABEL CONTINUES:

9 Q. Just as a follow-up to that question, was
10 a similar analysis done on the deposition of the
11 Everglades?

12 A. We published a paper looking at the earth
13 surface exchange of mercury. It was not a mass balance,
14 so I can't put a quantitative number on how much mercury
15 was deposited versus how much was reemitted. The other
16 difference is that we were able to calculate the flux
17 from Lake Michigan based on measurements of the water
18 body. The situations clouded in the case of the
19 Everglades because of the vegetation that's there.
20 There's a strong tendency for the aquatic plants to
21 actually mediate some of that evasion, so some of the
22 mercury that's in the sediment actually gets sent into
23 the atmosphere via the plants, and so we didn't do like
24 an evasion from the marsh land as part of that study.

1 Q. So there would be two reemission
2 mechanisms in the case of the Everglades?

3 A. That's correct. Instead of just being
4 from water, there would be another one.

5 Q. Is the reemission process that we've been
6 discussing limited to elemental mercury deposited into a
7 water body?

8 A. Yes.

9 Q. So the higher the level of deposited
10 elemental mercury to a water body, generally speaking,
11 the higher the reemission rate for a water body?

12 A. I would not say that's correct.

13 Q. What about that statement is inaccurate?

14 A. I would say that there's probably not been
15 enough work to suggest that the more elemental that goes
16 in, the more elemental that comes out. That's not
17 necessarily consistent with some of the work that we've
18 done.

19 Q. Although the percentage remains constant,
20 and there's a greater volume of elemental going in,
21 that's going to suggest a greater volume of elemental
22 being reemitted, right?

23 A. That's if there were no other processes
24 affecting the elemental mercury once it was deposited to

1 the surface, which there are tremendous processes.
2 Mercury attaches to particles as soon as it transforms,
3 so it's not a correct statement.

4 MR. ZABEL CONTINUES:

5 Q. I guess a follow-up question of mine, did
6 the model used in the Everglades take reemission into
7 account?

8 A. The cycling model does, yes.

9 Q. How does it do this?

10 A. Again, I think it has biotic than
11 antibiotic, which means through chemically transforming
12 the mercury into elementally formed evasion (phonetic)
13 and also biologically changing the form of mercury into
14 -- the exact mechanism, you would have to refer to the
15 report in order to be able to get that.

16 Q. I guess what I was curious about was how
17 you indicated that it was more difficult in the
18 Everglades than in Lake Michigan, how that was
19 quantified in the model then.

20 A. It was modeled.

21 Q. It was just modeled?

22 A. Yes.

23 Q. There was no collection of data comparable
24 to Lake Michigan?

1 A. No, there was not. There was no
2 concurrent, long-term monitoring of that. The work that
3 we did in the Everglades was part of a specific dried up
4 deposition project that we did where we made
5 measurements through the winter and summer seasons to
6 get, for the first time, some answers on evasion and dry
7 deposition of mercury to that ecosystem, but there was
8 no long-term record that would be comparable that could
9 be used in the Florida TMDL work as we did with the Lake
10 Michigan Mass Balance Study.

11 Q. So when you did the modeling on the
12 Everglades, you had assumptions about reemission?

13 A. I didn't make any assumptions. The
14 Tetricheck people had to take the knowledge that was
15 gained from other people's work and use that in their
16 models, yes.

17 MR. RIESER: My question has been
18 asked and answered.

19 MADAM HEARING OFFICER: Mr. Harley.

20 MR. HARLEY CONTINUES:

21 Q. Would you elaborate on how the chlorine
22 content of coal affects the emission of reactive
23 mercury?

24 A. The question was on the chlorine content

1 of coal and its relationship to RGM emissions.

2 MADAM HEARING OFFICER: The RGM, is
3 that --

4 DR. KEELER: Reactive gaseous mercury.
5 The relationship suggests that the more chlorine that's
6 in the coal, the more reactive gaseous mercury you are
7 going to form, and that gaseous mercury would be in the
8 form of chloride coming out of the stack, so or some
9 other compound that would have chlorine in it, so more
10 chlorine, more reactive mercury has been the tendency.

11 Q. Is a higher concentration of chlorine in
12 coal associated with bituminous or sub-bituminous coal?

13 A. That's a good question. It's actually a
14 fairly complex question to answer. Just saying that
15 sub-bituminous coal would have less chlorine or more
16 chlorine is too simple an answer, I believe. It think
17 it's quite variable. In general, it may be that the
18 average for bituminous coal is slightly higher than for
19 sub-bituminous, but again, I think you can find pretty
20 wide variability within those two types of coal, and
21 then with other coals, so I think that's not that
22 straightforward.

23 MR. RIESER CONTINUES:

24 Q. So you don't agree that, on average,

1 sub-bituminous coal has significantly less chlorine than
2 on an average of bituminous?

3 A. No. I said I think it's possible that the
4 average might be less for sub-bituminous than for
5 bituminous, but I said there's a large variability in
6 that, and that I think you would have to look at the
7 specific type of coal to make sure that, in fact, that
8 was true. The important parts in that is that
9 sub-bituminous coal also will have less BTU's, so you
10 have to burn more of it, and so the relationship between
11 the chlorine in the mercury and the energy content really
12 are important, in terms of whether you put out more
13 reactive mercury from that same type of -- or from that
14 same amount of energy generated, so again, coal and
15 chemistry of coal is, again, not my area of expertise.
16 I'm not a geologist, but I'm going based on, again, much
17 of the fine work that was done by the utility companies.

18 Q. Based on that fine work, focusing in on
19 one type of sub-bituminous coal, I believe is how it's
20 frequently used around here, with respect to Power River
21 Basin coal, do you have an understanding of what
22 chlorine levels we see in Power River Basin coal is
23 significantly less than chlorine levels seen in Illinois
24 bituminous coal?

1 A. I would say that statement is correct, on
2 average.

3 MADAM HEARING OFFICER: Just so you
4 know, you have to speak directly into that microphone,
5 especially when you turned your head. We started to
6 lose you. Mr. Harley, did you have a follow-up?

7 MR. HARLEY CONTINUES:

8 Q. So does it follow, therefore, that a coal
9 plant operator who switched from low chlorine
10 sub-bituminous coal that's from less, to higher chlorine
11 bituminous coal from Illinois, there would be a
12 co-benefit in doing that in reducing, potentially,
13 mercury emissions from that facility?

14 A. I understand your question. Let me answer
15 this. Probably the reason we're having these hearings
16 in first place is this is a complex issue. The control
17 technologies that will be used play a big role on being
18 able to answer that question. From going to many
19 meetings, such as the one I went to in china where they
20 talk about control technologies and so forth, the
21 vendors that I heard speak said that, if there was more
22 reactive mercury coming out of the coal-fired utility
23 because of higher chlorine content, that they would be
24 able to remove the mercury more easily, than if it was

1 all in the elemental form, which requires a little bit
2 more difficult control measures, so if, in fact, what
3 you said was true, and they had the proper controls,
4 then, perhaps, they could reduce the total amount of
5 mercury more easily than if it was more in the elemental
6 form, but again, there's a million assumptions in that
7 that there's controlled technology. The exact type of
8 coal, the ash content, all of those kinds of things, so
9 there are a lot of engineering variables that go into
10 that that make it a difficult question to answer.

11 MR. RIESER CONTINUES:

12 Q. Would it be accurate that a lot of these
13 questions that were answered or were, at least,
14 discussed, and if not, will be part of the technology
15 discussion that will probably take place next week?

16 MR. KIM: Yes.

17 MR. RIESER: That's the beauty of a
18 simple answer. Let me go back, if I may.

19 MADAM HEARING OFFICER: We're getting
20 some interference. I think we are going to switch it
21 out.

22 MR. RIESER CONTINUES:

23 Q. Just to go back to the issue of the
24 reemission of mercury, is it accurate that the way the

1 cycle works through the water body that some of both of
2 the RGM and the elemental mercury that are deposited to
3 a water body are reemitted as elemental mercury?

4 A. Yes. The mercury that deposits in either
5 form will be reemitted in the form of elemental mercury.

6 Q. And so to the extent it's reemitted, that
7 bad mercury is not available for methylation, correct?

8 A. That's correct.

9 MADAM HEARING OFFICER: Before we go
10 on to the next question, Mr. Kim, did you have those
11 exhibits?

12 DR. KEELER: The table that's being
13 submitted is a listing of the Illinois coal-fired EGU
14 stack heights by the facilities.

15 MADAM HEARING OFFICER: And we
16 reserved Exhibit No. 27 for the Detroit Study, so we
17 will mark this as Exhibit 28, if there's no objection.
18 Seeing none, it's Exhibit 28.

19 (Exhibit No. 28 was admitted.)

20 MR. RIESER: I have the Detroit Study,
21 if it would be a good time to throw it in.

22 MADAM HEARING OFFICER: Sure. We'll
23 go ahead and mark it. I have also been handed "The
24 Detroit, Michigan, Source-Receptor Relationships for

1 Atmospheric Mercury in Detroit, Michigan," which we
2 reserved Exhibit No. 27 for. If there's no objection,
3 we will mark that as Exhibit 27. Seeing none, that's
4 Exhibit No. 27. Thank you.

5 (Exhibit No. 27 was admitted.)

6 MADAM HEARING OFFICER: Mr. Rieser,
7 you had some questions based on the stack height I
8 believe that you wanted to ask.

9 MR. RIESER: You know what, why don't
10 I look at it at a break, and we will come back to it.

11 MADAM HEARING OFFICER: That's fine.
12 Then I believe we are on Question 14 from Dynegy.

13 MR. ZABEL CONTINUES:

14 Q. Just a quick question on Exhibit 28, it
15 says, "Ranked by gross load megawatts." I don't think
16 the Baldwin station has 13 megawatts. Is it megawatt
17 hours?

18 A. I believe that's correct.

19 Q. Then it must have some particular year. I
20 guess I don't know what the number represents, if you
21 could find out Mr. Kim and let us know?

22 MR. KIM: We can find out.

23 MR. BONEBRAKE CONTINUES:

24 Q. A follow-up, do you recall, Dr. Keeler,

1 the average height of the municipal waste combustion
2 units in question in the Florida Study?

3 A. The average weight?

4 Q. Average stack height.

5 A. I don't recall what the average stack
6 height of all those waste combusters are, but they tend
7 to be 150, or so, 150 or 200 feet or less, but I don't
8 know what the average is.

9 Q. Do you know what the average was with
10 respect to the stack height of the medical waste
11 incinerator units at issue in the Florida Study?

12 A. It was definitely less than 150 and maybe
13 in the Florida report I -- I don't recall if that
14 information was in there or not.

15 DR. KEELER: Question 14: "The amount
16 of methylation that can occur in a water body depends on
17 site-specific conditions. Is that correct?" Yes.
18 Question 15: "Demethylation can also occur. Is that
19 correct?" Yes. Question 16: "Is it possible to
20 accurately predict the amount of methylmercury that will
21 be found in a fish based on atmospheric deposition of
22 the inorganic mercury to the water body that the fish
23 lives in?" As we have discussed, models have been
24 developed that will predict the amount of methylmercury

1 found in a fish based on the atmospheric deposition of
2 inorganic mercury to the water body that the fish lives
3 in, and these results appear to give very reasonable
4 answers. The models that apply to the Florida
5 Everglades as part of that TMDL gave results that
6 compare I think very favorably with the actual measure
7 data of mercury in the fish in those ecosystems, so I
8 would say that it is possible to predict.

9 MR. HARRINGTON CONTINUES:

10 Q. Was that model adopted for the
11 Massachusetts Study.

12 A. I'm not aware of the Massachusetts Study.

13 Q. Were there any -- was that model utilized
14 in any other studies?

15 A. I believe it has been used in other
16 studies and off the top of my head, I'm not sure where
17 else, but I think there were other TMDL's that
18 Tetricheck has worked on.

19 Q. Was there any further verification of a
20 model with actual field data to determine its accuracy?

21 A. The data has been continually collected in
22 Florid, and it seems to track the predictions very well,
23 so they continue to collect biological samples from the
24 Everglades area where the modeling was performed, and

1 yes, they are doing continued verification, and the
2 model predictions are tracking pretty nicely.

3 Q. That's with respect to Florida?

4 A. Yes.

5 Q. That's very peculiar and unique
6 environment, is it not, the Florida environment?

7 A. It is a unique environment.

8 Q. And would that model necessarily be
9 applicable anywhere else as adopted in Florida?

10 A. As I mentioned earlier, you would not use
11 the same parameters that you would use in the Florida
12 case. You would adapt them using the ecosystem
13 parameters that you would measure in that specific
14 ecosystem, and so the things that were adopted, as you
15 suggested, for Florida would not be appropriate to
16 another location. You would have to use correct aquatic
17 chemistry data, environmental conditions, climatology,
18 all those kinds of things, in other words, for that
19 model to work. I believe they did apply it where it was
20 developed, up in Wisconsin.

21 MR. BONEBRAKE CONTINUES:

22 Q. The model that was used in the Florida
23 study, Dr. Keeler, that model was used to predict
24 methylmercury levels in fish tissue at only one

1 location. Is that correct?

2 A. Again, I think it predicts at more than
3 one location, and again that was not my work. That was
4 work done by Tetricheck for the State of Florida. It is
5 detailed in that report.

6 Q. You recall this morning we looked at some
7 language in the Florida report, which indicated that
8 three sites in the vicinity of what was referred to as
9 the "hot spot" in half of the -- what was called the
10 cohorts, there was no change in methylmercury fish
11 tissues. Do you recall that?

12 A. Yes, I do.

13 Q. Does that, therefore, mean that the model
14 that was used in the Florida Study was, in half of those
15 cases, predicting no change in methylmercury levels?

16 A. The observation was that there was no
17 change, correct, in that table.

18 Q. That's what we talked about this morning.

19 A. Right, so the model predicted that you
20 would see a change, and in some of the fish, it was born
21 out that there was change, and some of them there was
22 not, that's correct.

23 Q. So the model did not accurately predict
24 methylmercury fish tissue levels, at least, at all

1 locations. Is that correct?

2 A. That would be a correct statement.

3 MADAM HEARING OFFICER: I think that
4 finishes Dynegy's questions. Mr. Kim, where are we going
5 next?

6 MR. KIM: I believe we are next going
7 to move to Ameren's questions to Dr. Keeler. I'm kind
8 of hopeful when we get to Prairie State's questions that
9 they have already answered them in the course of others,
10 but we will look and see.

11 DR. KEELER: Question 1: "According
12 to your report and written testimony, the scope of your
13 presentation to the IPCB is to describe the source of
14 the mercury deposition to the Great Lakes, and to
15 specifically discuss the importance of coal-fired
16 utilities to the region. A: Is it correct that you
17 were not asked to address the impact of Illinois coal
18 plants on mercury deposition within Illinois, and B: Is
19 it correct that you have not performed any
20 source-receptor studies which determine impact of
21 Illinois coal plants on mercury deposition in Illinois,
22 and C: Are you aware of any -- are you aware of whether
23 any such studies have been performed?" I was asked by
24 the State of Illinois to address the work that we have

1 done looking at the impacts of various sources on
2 mercury deposition to the region. They did not ask me
3 to not look at it, the State of Illinois, as the
4 question suggests. I was asked to look at all sources
5 and all of the sources of deposition to the Great Lakes,
6 including the state of Illinois. It is correct that I
7 have not performed an Illinois-specific source-receptor
8 study, but having concluded Illinois within the greater
9 context in the Great Lakes in the study that we have
10 done, we have made measurements, as I mentioned earlier,
11 in three times one in Kankakee, Illinois, as part of the
12 Lake Michigan Urban Air Toxic Study, and Chicago as part
13 of the Lake Michigan Mass Balance Study and in
14 Bonnaville, Michigan, as part of that same study, but we
15 -- again, those were in the context of looking at Lake
16 Michigan Study, not specifically, looking at Illinois.
17 I'm unaware of any other studies that have been
18 performed, specifically on the state of Illinois for
19 this purpose.

20 MR. BONEBRAKE CONTINUES: Did you use
21 the phrase "Illinois-specific study" in that answer?

22 A. I believe I did, yes.

23 Q. What do you mean by "Illinois-specific
24 study"?

1 A. The question asked me if I -- "Is it a
2 correct that you were not asked to address the impact of
3 Illinois coal plants on mercury deposition with
4 Illinois?" That is incorrect. That's what I meant by
5 "specific," that specific study about coal plants in
6 Illinois on Illinois. That was a double negative.

7 MR. KIM: It's a funny-worded
8 question. I think he's -- I think he's tried to answer
9 it within the frame work of the question. If you would
10 like to rephrase it.

11 MR. BONEBRAKE: It's not my question.

12 DR. KEELER: 1-A that is no, that is
13 incorrect.

14 MR. RIESER CONTINUES:

15 Q. It's incorrect in that you -- start over.
16 What you were asked to do with your testimony was look
17 at all the studies that have been performed in the Great
18 Lakes region and summarize them, correct? That was one
19 of your tasks.

20 A. No. They asked me to look at the studies
21 that my laboratory has performed looking at the sources
22 of mercury to the Great Lakes region.

23 Q. Page two of the question -- excuse me --
24 page two of the testimony under "Purpose of Testimony"

1 says, "I was asked by the Agency to prepare a
2 state-of-the-art assessment of the sources of mercury
3 deposition to the Great Lakes, and specifically, discuss
4 the importance of coal-fired utilities on the deposition
5 of mercury to the region." Correct?

6 A. That's what I tried to paraphrase just
7 now.

8 Q. By "Great Lakes," did we discuss this
9 morning that the Great Lakes reference is to the Great
10 Lakes Basin which only includes a small portion of the
11 state of Illinois?

12 A. The Great Lakes Basin reference was only
13 in reference to the one modeling study that I referred
14 to where we were looking at within the Great Lakes
15 Basin, sources to those, which are outside the Great
16 Lakes Basin, but our body of work is larger than just
17 the Great Lakes Basin.

18 MADAM HEARING OFFICER: That would
19 have been Exhibit 26, the report.

20 MR. RIESER CONTINUES:

21 Q. Thank you. When you use the term "Great
22 Lakes" in this sentence, what did you mean by it?

23 A. I mean all the Great Lakes states,
24 basically.

1 Q. All the Great Lakes states?

2 A. And the province of Ontario.

3 Q. When you use the term "region" in this
4 context, does this mean the same thing?

5 A. Same thing, yes.

6 Q. But other than the studies you described
7 that had sampling stations in some points in Illinois,
8 you haven't done any studies within the state of
9 Illinois?

10 A. Only the studies that we collected in the
11 samples in Illinois are the ones I'm referring to.

12 MR. ZABEL CONTINUES:

13 Q. Just so I'm clear, Doctor, the Great Lakes
14 study was all five Great Lakes?

15 A. Yes.

16 Q. I don't count Lake Champlane, as some New
17 York congressman would.

18 A. Actually, it was a Vermont congressman,
19 but yes, that's a correct statement.

20 Q. So that was the region that ranged from --

21 A. From Minnesota, to New York in this case.

22 Q. Thank you.

23 DR. KEELER: D: "What is the basis
24 for your statement at the end of your testimony that,

1 `Areas with elevated mercury deposition due to emissions
2 related to coal combustion have been identified'?" This
3 statement is based upon the work that we've done in the
4 state of Ohio as part of the Steubenville Study where we
5 performed a receptor modeling study to determine that,
6 approximately, 70 percent of the mercury deposited via
7 wet deposition at that site was related to coal-fired
8 utility emissions. E: Are these areas in Illinois?"
9 How have they been identified?" The answer to that is
10 no. F: "Did you participate in drafting the technical
11 support document, TSD, prepared by Illinois EPA for
12 these proceedings?" Yes. I contributed to the
13 Technical Support Document that is found in the
14 appendices.

15 MR. RIESER CONTINUES:

16 Q. You added the report that's Appendix B to
17 the TSD. Is that correct?

18 A. I don't recall what the --

19 MADAM HEARING OFFICER: Yes, that's
20 correct.

21 MR. RIESER CONTINUES:

22 Q. Did -- were you involved in the drafting
23 of the section which I believe is Section 5 that deals
24 with atmospheric deposition?

1 A. No.

2 Q. Did you review it?

3 A. After it was submitted I looked at it,
4 yes.

5 Q. But not before it was submitted?

6 A. No, sir.

7 DR. KEELER: Question No. 2: "On page
8 81 of the TSD it states that `Thus it can be expected
9 that significant mercury emissions reductions in
10 Illinois will yield significant reductions of mercury
11 deposition in Illinois.' Did you author this
12 statement?" No. Do you -- B: "Do you make the
13 statement in your report in Appendix B to the TSD or in
14 your testimony?" I did not make that direct statement
15 in either of those. C: "Do you believe that there is a
16 factual basis for this statement?" And my answer is
17 yes. I do believe it's a factual basis in that
18 statement.

19 MR. RIESER CONTINUES:

20 Q. Could you please describe the factual
21 basis which may have been well where you were going.

22 A. Again, the factual basis for the agreeing
23 with that statement is that we have done a body of work
24 now over the past 15 years looking at the sources of

1 mercury deposition to areas all over the Great Lakes
2 Basin, including some sites here in the state of
3 Illinois, which suggest to me that coal-fired utility
4 emissions are having an impact on mercury deposition in
5 the state, and do have an impact on the mercury
6 concentrations in the air in the state of Illinois.
7 That's why I agree with those statements.

8 Q. Is there quantification that you have
9 performed that can measure that amount?

10 A. Again, the Lake of Michigan Mass Balance
11 Study we collected samples for 18 months at Bonnville,
12 Illinois, in wet deposition, as well as the gas and
13 particle phase. Again, that's gas and particle phase
14 mercury at that site and source proportion was done on
15 that data, as well as the data that was collected in
16 Chicago, Illinois, looking at the various sources, and
17 that work was actually in the doctoral thesis of Matt
18 Landis, and that can be looked at there. Some of that
19 work is in the peer-reviewed literature, and in the
20 paper that you suggested, and in that work, they found a
21 significant -- again, my memory is that it was about 20
22 to 30 percent of the ambient mercury in deposition was
23 related to coal combustion.

24 MADAM HEARING OFFICER: Mr. Harley.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MR. HARLEY CONTINUES:

Q. The work that you just described, is that the basis of the statement in your conclusion that 21 coal-fired power plants in Illinois emit close to four tons per year of mercury into the atmosphere?

A. No. That's based on the emissions inventory.

Q. Thank you.

MR. RIESER CONTINUES:

Q. The reference you had to the Chicago Study, is that the paper we talked about this morning that I think is Exhibit 26, "Atmospheric Mercury in the Lake Michigan Basin" --

A. Yes.

Q. Is it accurate that the sampling for that study was primarily applicable to the lake?

A. No, that's incorrect. Correct. We did have sampling over the lake, in addition to running five sites, Bonnville, Chicago, a site on the border between Illinois and Wisconsin, a site in South Haven, Michigan, and a site in Sleeping Bear Dunes, Michigan. At the same time, we were taking measurements at a site in Lake Superior up at Eagle Harbor, as well as in Dexter, so all of those sites were simultaneous, so the great

1 majority of the samples that are collected were not
2 collected over the water.

3 Q. And did you also say you've done a source
4 apportionment as part of that study?

5 A. Yes. Dr. Landis did a source
6 apportionment as part of his thesis work.

7 Q. That source apportionment consisted of
8 associating certain chemicals with certain types of --
9 certain types of groups of chemicals together? Would
10 that be correct?

11 A. It was a variance of the type of analysis
12 that we did in Ohio, yes. It was a receptor modeling
13 calculation that used both the elemental and chemical
14 composition of the precipitation or ambient samples
15 together with the meteorological data.

16 Q. When you do that type of study, does that
17 allow you to identify specific sources or groups of
18 sources?

19 A. Receptor modeling, in general, unless it's
20 done on a plant that's in isolation out in the middle of
21 nowhere really gives you an answer for the source
22 category. It does not give you an answer for a specific
23 source.

24 Q. So by doing that type of study, you

1 couldn't identify a particular power plant as the sole
2 source of coal combustion in the chemicals that you're
3 seeing. Is that correct?

4 A. The only way that that could happen is if
5 they were -- if it was distance wise separated from
6 other plants. If there were two plants next door to
7 each other, it would be difficult to do that, yes.

8 Q. You also make the statement that -- this
9 is on page 4515 of the report, that?

10 MADAM HEARING OFFICER: Specify --

11 MR. RIESER CONTINUES:

12 Q. Over the paper -- excuse me -- and this is
13 Exhibit 26. You done remember every page of every
14 report?

15 A. No, getting hard to do that.

16 Q. Right down at the bottom, the paragraph
17 begins --

18 A. 4511?

19 Q. 4515. At the bottom, it says, "In fact,
20 the urban air shed" -- and you're referring to the
21 Chicago-Gary open area -- "the urban air shed was a
22 complex system of numerous point sources in distinctive
23 meteorology." Do you see that?

24 A. On 45 --

1 MADAM HEARING OFFICER: It's on the
2 left side.

3 MR. RIESER CONTINUES:

4 Q. It begins "The spacial -- you see that?"

5 A. I see that.

6 Q. We're in the same place. You still
7 believe that, I assume, that the urban air shed was a
8 complex system with numerous point systems in
9 distinctive meteorology?

10 A. Yes. I think urban areas are, generally,
11 that way.

12 Q. Does that mean that it matters a great
13 deal where you put your sampling point, in terms of what
14 findings you are going to get?

15 A. This paragraph, specifically, was
16 addressing where you put the reserve vessel over the
17 water in order to be able to see specific source
18 influences, yes.

19 Q. So you would agree with me that it matters
20 where you put your sampling point?

21 A. It matters really in a big way when
22 talking about over-water measurements, yes. It matters,
23 generally, yes, where you put your sampling sites, but
24 it really made a big difference in terms of over-water

1 measurements because of the strong stability over the
2 water during the summer months.

3 DR. KEELER: Question 3: "Is it
4 correct that the conclusions in your testimony regarding
5 the sources of mercury deposition were based on the work
6 you did in Steubenville Ohio?" Yes. "Has that work
7 been published in any peer-reviewed journal?" The work,
8 at this point, is now in the process of being published
9 in a peer-reviewed scientific journal. We were hoping
10 to submit the paper about a year ago, but it was held up
11 in that process as a request from the then EPA
12 administrators, since that is a cooperative agreement,
13 which means that we're working collaboratively with
14 scientists from the U.S. EPA of Research and Development
15 that our paper be subjected to, both, a strict and
16 rigorous internal EPA review by their scientists, as
17 well as an independent outside review by independent
18 scientists outside of the EPA before we submitted it to
19 the journal, largely, because of the sensitivity
20 surrounding the upcoming CAMR rule, so that delayed the
21 publication submission by almost a year, so the
22 publication is right now in the process of being
23 finalized, and we expect publication of peer-reviewed
24 literature within the next three months.

1 MR. RIESER: I'd just like to say
2 that, because we don't have the actual report with its
3 supporting data and sources and specific conclusions,
4 that, should this proceeding be continuing after that
5 study is published, that I reserve the right to ask
6 additional questions of Dr. Keeler after the time that
7 it's published.

8 MADAM HEARING OFFICER: So noted.

9 DR. KEELER: Question B: "Is it
10 possible that you will change any of your statements or
11 conclusions as a result of the peer review process?"
12 No. The reviews came back quite favorably, and only
13 made suggestive and clarifying comments regarding any of
14 the science that was performed, and so no, none of the
15 conclusions will have changed, and even the quantitative
16 statements will not change. C: "Is the underlying data
17 available for review?" EPA policy, as well as that of
18 most scientists is that, once the peer-reviewed
19 publication becomes in press -- I mean, not in press. I
20 mean has come out in peer review that the underlying
21 data can be made available, so that's the answer.
22 That's a fairly consistent way that everyone approaches
23 intelligible property rights when it comes to scientific
24 investigation.

1 Q. So the answer to C is no. Is that
2 correct?

3 A. The underlying data is not available today
4 for review. I should offer, though, that as part of the
5 peer review process that EPA undertook, it was
6 unprecedented, in terms of the rigor of the evaluation.
7 We provided them, not only the raw data that we
8 collected as part of the study, but we also provided
9 them with the exact model and model formalisms, together
10 with all the input parameters that we used in our
11 calculations to allow them to independently run the
12 models and come to their own conclusions, and in
13 addition, apply their own receptor models and
14 statistical approaches to look at the data, and came up
15 with the exact same answers that we did in that review
16 process, so in terms of the external review, that was
17 done.

18 Q. Is it accurate that, both, yourself and --
19 is it Mr. or Dr. Landis?

20 A. Doctor.

21 Q. Both, yourself and Dr. Landis, have
22 presented Powerpoint presentations that include some
23 portions of the data?

24 A. Do you mean that you don't have?

1 Q. Is it true that you presented Powerpoint
2 presentations that contain some portions of the data?

3 A. Yes.

4 Q. And that was selected by you, and I assume
5 Dr. Landis for the purposes of those presentations?

6 A. What was selected by me?

7 Q. The data that you chose to present at
8 those presentations.

9 A. Yes.

10 Q. And the answer to the question and then
11 the question in terms of what I have and don't have, of
12 course, is whether there's a copy available of the
13 presentation made to LADCO in February that I didn't
14 get.

15 A. Yes. There is a presentation copy
16 available that you can have, yes. All the public
17 presentations are available. Most of them -- I think
18 four or five -- or publicly available on the website and
19 some of the utility groups already have the LADCO
20 presentation.

21 Q. But you understand that the LADCO
22 presentation has not been on LADCO's website, so to my
23 knowledge, it hasn't been available, so you can make it
24 available is part of the process?

1 A. Yes.

2 Q. Thank you. When can we expect to get a
3 copy of that? Can we get one today, so we can talk
4 about that tomorrow?

5 A. I would have to check to make sure that I
6 have that on my laptop and if I do, I can get a copy of
7 that to you.

8 MR. BONEBRAKE CONTINUES:

9 Q. You mentioned some feedback from U.S. EPA
10 to the data that you provided to the Agency. Has that
11 feedback been in writing?

12 A. The feedback from EPA regarding the data?

13 Q. Regarding the data that you submitted for
14 their review in the Steubenville Study?

15 A. We got a written review, yes, that was
16 provided from the peer reviewers, yes.

17 Q. Peer reviews at U.S. EPA?

18 A. Those were -- no, there was not. These
19 were external peer reviewers.

20 Q. Who were retained by U.S. EPA?

21 A. By an outside contractor working for U.S.
22 EPA.

23 Q. Is a copy of those comments publicly
24 available?

1 A. You would have to direct that question to
2 the U.S. EPA.

3 Q. Do you have a copy of those?

4 A. I do, yes, not with me. I have a paper
5 copy back in my office. I don't carry them with me. It
6 was probably about 200 pages worth of comments because
7 of the extensive review that they did.

8 DR. KEELER: Question D: "Have you
9 ever released, for public review, any description of the
10 methodology you used for source attribution?" We have
11 made presentations at a few forums that describe the
12 methodology for source attribution, and as I mentioned
13 earlier, all the methods that we used have been
14 published extensively in the peer-reviewed literature,
15 so we did not use any new techniques like, PMF and
16 Unmix, which are two statistical approaches developed by
17 Paatero and Hopke, as well as Ron Henry at USC, and it
18 has been extensively peer reviewed.

19 MR. RIESER CONTINUES:

20 Q. And how often have those methodologies
21 been applied to mercury?

22 A. Well, that's one of the novel parts of
23 what we have done. They have not been applied very
24 often for mercury.

1 Q. Have they been applied ever for mercury?

2 A. I'm not sure of the answer to that
3 question. There is a possibility that there's one
4 application, but I don't know.

5 Q. And we've talked about this methodology
6 for source attribution briefly in different parts. Is
7 this the same methodology you used in Florida?

8 A. Actually, the methodology we used in
9 Florida was similar. The paper deadvantage et al. 1999
10 that was in "Environmental Science and Technology" used
11 a similar approach. It was a factor analysis
12 multivaried technique. The techniques that we're using
13 now have are a decade later, and they have gone through
14 a whole tremendous amount of improvement, including the
15 statistical handling and uncertainty analysis, and so
16 forth, so it's a much better and much more robust
17 statistical approach to doing source apportionment than
18 what we used in Florida.

19 Q. This probably as good a time as any for
20 you to describe that method.

21 A. The Florida methodology?

22 Q. No, the source attribution methodology
23 that you used in Steubenville.

24 A. Sure . As I mentioned earlier, what the

1 receptor modeling does -- the receptor model methodology
2 utilizes measurements taken at a location, and those
3 measurements include -- in this case, we make
4 measurements of precipitation every time it rains, so
5 every day that rain falls, we collect that, and then we
6 take and analyze those samples very carefully in a Class
7 I clean laboratory at the University of Michigan for the
8 concentrations of trace elements by some fairly
9 sophisticated analytical techniques, ICPMS, ion-coupled
10 plasma, mass spirometry and for mercury and major ions,
11 so we have a list of about 40 trace elements. Ions and
12 chemical constituents in every single rain sample. The
13 statistical approach then takes all of those samples and
14 works backwards, statistically, to determine what were
15 the major factors that contributed to the variation that
16 was found in the precipitation mercury levels, so it
17 takes this very complex large database and kind of
18 mathematically determines what sources contributed to
19 mercury in each of those samples. That methodology can
20 be done -- or that approach is done in multiple ways.
21 In this case, in our paper, we have used both positive
22 matrix factorization, which is a program written by
23 Dr. Paatero and Hopke, which ensures that the factors
24 that are calculated -- or the source factors that are

1 calculated are mathematically stable, and also, allow
2 you to input the uncertainty in the measurements that
3 you make. And then another model that's independent,
4 but a similar mathematical concept is Unmix. Again
5 these are both factor analysis models is independent and
6 doesn't allow you to include the uncertainty
7 calculations into that. We ran both of these models
8 independently. In fact, one of the questions, the next
9 question is "What were your respective roles on the
10 Steubenville project?" One of the ways that we worked
11 on this project collaboratively is EPA has several
12 receptor models that are expert in using these models
13 and developing these models and at the University of
14 Michigan we independently ran the PMF and unmixed models
15 from the researchers that were doing the work at EPA, so
16 that we could then compare the results that we got. In
17 the process of doing the initial work, both models wound
18 up giving us comparable answers. One of the questions
19 later on was why did I say about 70 percent contribution
20 from coal-fired utilities? The reason for the
21 approximate was so that I could more precisely give the
22 answer for a combination of the two models. PMF gave a
23 contribution to coal-fired utilities of 70 percent, and
24 Unmix actually gave a contribution of 74 percent, but

1 there was an uncertainty of about 15 percent, about both
2 of those numbers, and therefore, the mean for the two I
3 could have put 72 percent, 72.1, or whatever it was, but
4 I put it short hand as 70 with an uncertainty about
5 those numbers, so those methods, as I said before, have
6 being rigorously compared and developed over the last 15
7 years down at EPA, and in the scientific community.

8 Q. Let's take this a step at a time to break
9 it down. In order to identify -- when you use the term
10 "source" in the phrase "source-receptor modeling" --

11 A. Yes.

12 Q. Again, as you said earlier, that refers
13 not to a specific source, but to a class of sources,
14 correct?

15 A. Yes. That's correct.

16 Q. So you got coal-fired power plants
17 automobiles, steel plants, whatever, and in order to
18 identify a given source, is it correct that you identify
19 certain chemical fingerprints, if you will, associated
20 with those types of emissions?

21 A. Yeah, and that's the key to the whole
22 thing is that we do identify what we call chemical
23 signatures. It 's like a fingerprint for a person.
24 Each major source category will have a specific

1 fingerprint, or signature, and sources that are in the
2 same source category have fairly similar signatures. If
3 they were dramatically different, then they would look
4 like two different sources, so two different coal plants
5 that very different signatures, so one that burned one
6 type of coal, versus burning another type of coal
7 exclusively, would look like two different sources. In
8 this case, we have signatures that have been developed
9 through the literature over the past, since the mid
10 70's, that give us ideas about what these signatures
11 should look like from coal burning, from motor vehicles,
12 from iron and steel production, from all kinds of
13 different sources. One of the things that sets my group
14 apart from the work of other receptor models is that we
15 do all of our own chemical analysis in-house, so we are
16 involved in collecting actually source-signature data
17 from plants, from motor vehicles out in the field at the
18 sources, and then also analyzing the samples that we
19 collect in the field, so that there's no possible
20 differences between analytical laboratories, so we've
21 been very instrumental in providing the actual source
22 signatures and using the advanced analytical techniques
23 that we have, we actually are pushing the forefront in
24 finding new elements and new chemical markers and new

1 signatures for the various sources that we're looking
2 at.

3 Q. I think you said in that answer that the
4 chemical signature for coal plants is the same across
5 all types of coal plants. Is that correct?

6 A. No. That's not what I said. I said that
7 if two plants were burning different types of coal that
8 they would have a different signature.

9 Q. So have you identified different
10 signatures for plants that burn bituminous, as opposed
11 to plants that burn sub-bituminous coal?

12 A. We have analyzed coal from that
13 sub-bituminous coal versus bituminous coal, and it has a
14 different characteristic signature. You -- it's getting
15 back to the question that was asked about the chlorine
16 content. The chemistry of the coal is different.
17 That's why there's different mercury, different reactive
18 mercury formation. We are working towards trying to
19 identify an ambient signal that would allow us to
20 separate out the two types of coal in the ambient air.

21 Q. But at this point, you don't have that
22 capability?

23 A. No, and it wasn't important, in terms of
24 the receptor modeling that we were doing. It's just a

1 goal that we have.

2 Q. And is it accurate that the
3 source-receptor studies you have performed to date have
4 been primarily in areas that burn in bituminous coal
5 such as Steubenville?

6 A. The type of coal that's mined in that area
7 is certainly sub-bituminous coal. I don't have a record
8 of what actually was burned in the plants in the
9 surrounding area on a day-by-day basis. I don't know if
10 that's available or not, but as I understand it, there's
11 blends of sub-bituminous and bituminous coals burned in
12 the power plants in the general region.

13 Q. And in basing the identification of
14 sources on a chemical signature, does that allow you to
15 make a determination as to the proximity of those
16 sources to your sampling point?

17 A. No. Just the observed data by itself does
18 not have implicit within a distance, so what we do is
19 employ hybrid models or meteorological information
20 together with the help from these receptor models to
21 tell us the distance scale and the specific source
22 locations that were contributing to the mercury
23 deposition, and basically, it's taking all the available
24 meteorological data we can get from surface data to

1 upper air data to numerical models to do a very detailed
2 analysis of every storm event, and then match that
3 together with the help from the receptor models.

4 Q. Is that similar to the type of analysis
5 that was done in -- was that the type of meteorological
6 analysis done at Steubenville?

7 A. Yes.

8 Q. Was that using hy-split and there was one
9 other model that I think was referenced in the Florida
10 Study.

11 A. In the Florida Study?

12 Q. I'm sorry. I've read too many studies.

13 A. I have done too many studies.

14 Q. The Ram Study (phonetic)?

15 A. No. We did not employ rams in the
16 Steubenville Study.

17 Q. What where are the meteorological models
18 that you used in Steubenville?

19 A. We employed hy-split and we -- because of
20 the fact that we've been developing our own version of
21 the chemical model on the C-MAQ, which is the EPA
22 mercury model, we've been using MM-5 as the
23 meteorological preprocessor.

24 Q. And so it's the use of the meteorological

1 models that allows you to make a statement with respect
2 to the proximity of the source?

3 A. Yes, sir, and actually, the observed data
4 is much more powerful than, actually, even the models.

5 Q. In what way? When you say "observed data"
6 what are you referring to?

7 A. I'm talking about using NEX-RAD, surface
8 maps, observable detailed meteorological records from
9 the Great Lakes region. Most of the work that we've
10 been doing, which is something that I've been,
11 personally, doing for 25 years now, is taking observed
12 meteorology and using that to understand aerial issues
13 in various parts of the country.

14 Q. So the observed data you were referring to
15 is the observed meteorological data?

16 A. Data provided by the National Weather
17 Service, but I should mention that we also use -- we
18 have on-site in Steubenville our own meteorological
19 tower and our own set of meteorological data that we
20 also utilize.

21 Q. Why don't we go on to four, then.

22 MS. BASSI CONTINUES:

23 Q. In these signatures, in the signatures
24 that you were talking about that you have developed or

1 that have been developed over a number of years, as I
2 understand it, there is a different signature for
3 different types of industrial source categories or
4 non-industrial sources of categories. How can you tell
5 the relative contribution from each type of contributor
6 that has a signature?

7 A. That comes down to the mathematical
8 process that's involved in the, both, PMF and Unmix.
9 Are you familiar with multivarious statistical
10 techniques?

11 Q. Oh, no. You have to make this simple.

12 A. It comes down to -- there are a number of
13 elements and ratios of one element to another that
14 define the fingerprint for a specific source, and what
15 it, basically, does -- last night after I ate all these
16 jellybeans I think I woke up with a stomach ache from
17 the jellybeans, and I was trying to figure how I could
18 use the jellybeans to draw out this analogy for you.
19 And I decided I shouldn't go there.

20 Q. But you knew the question was coming.

21 A. Yeah, because it really is a good
22 question, and it's one that I think, as you get into the
23 mathematics, that you can see the beauty of it. It's
24 basically an ID value problem for someone who's done

1 physics or engineering. It, basically, is an
2 optimization. If you have a series of unknowns, and you
3 have a series of things that you know, such as the
4 elemental composition, you can solve those equations to
5 get the best solution to make all the equations true,
6 and in doing that, the answer, basically, is the
7 Ion-deductor (phonetic) or the source factor that it
8 calculates, and in doing that, it tells you how much
9 variance is explained, or how much of the data can be
10 explained by that one particular source, and then you
11 take and relate the amount of mercury that you collected
12 to the amount of these other trace elements in that
13 source, and you can get a statistical relationship, and
14 around that, then it gives you goodness of fitness
15 statistic and a whole bunch of statistics that tell you
16 how well your model performed. If there isn't a
17 relationship there, your model will give terrible
18 results and your goodness of fitness statistics come out
19 lousy, and in this case our goodness of fitness
20 statistics came out very good and the relationships were
21 very clean. And so we were very, very confident, and
22 very happy with the outcome of the results from the two
23 years worth of analysis.

24 DR. KEELER: I was on question 4-A I

1 didn't answer. "What portion of the work was performed
2 by Mr. Landis?" As I mentioned earlier, this was a
3 collaborative project with U.S. EPA Office of Research
4 and Development, and Dr. Landis is our project manager
5 on the project, and he's involved in all facets of the
6 research, from site set-up, to sampling, to analytical
7 results, to modeling. And so he's been involved in all
8 facets of the project. "What were your respective roles
9 in the Steubenville work?" The RFP was written by EPA,
10 so they asked for specific targeted pieces of work, but
11 in a cooperative agreement, the EPA cannot ask us to do
12 anything. It's cooperative study, so all the work that
13 we are doing is the work that I initiated through my
14 direction through the approaches that I chose to use in
15 this project. I'm the project director and principal
16 investigator on the project and involved in the same,
17 from site set-up, to site sampling, to analysis, to
18 interpretation of the data.

19 C: "Has he published any of his
20 findings regarding Steubenville in any peer-reviewed
21 journal?" No. The intellectual property rights belong
22 to the University of Michigan, and the code belongs to
23 the U.S. EPA. Within a cooperative agreement, again,
24 the principal investigator is given the first right to

1 publish the scientific results. However, we are joint
2 partners in this endeavor.

3 "Are these data available for public
4 review?" Our data -- I assume that's what you're asking.
5 Again, it's a normal procedure to make available
6 scientific results, once the peer-reviewed journal and
7 article comes out.

8 E: "To what extent did you rely on
9 work performed by Mr. Landis?" Again, I'm not sure to
10 what extent or what context you are asking the question,
11 but Dr. Landis is an excellent scientist and we relied
12 upon his work flout the project, and value his judgment
13 in all aspects of the project.

14 MR. RIESER CONTINUES:

15 Q. Did the two of you come to the same
16 conclusions regarding the Steubenville Study."

17 A. We worked on this project. As I mentioned
18 earlier, EPA began doing some of the modelings, and we
19 were doing some of the modeling independently, and it
20 was hard not to come to the same conclusion. In this
21 case, the importance of coal-fired utilities on the
22 mercury deposition in Ohio was so significant that we
23 did come to the same conclusions. I think as our
24 peer-reviewers showed us, it's difficult to come to any

1 other conclusions.

2 Q. You make the statement in your testimony
3 in the second paragraph of your conclusion that, on page
4 five, "Source-receptor studies have recently been
5 completed that indicate the coal-fired utilities
6 contributed, approximately, 70 percent of wet deposition
7 measured at a site in Eastern Ohio over a two-year
8 period, from 2003, to 2004," which I assume is this
9 Steubenville Study we are talking about?

10 A. Yes, it is.

11 Q. In one of the presentations that
12 Dr. Landis gave, didn't he say, specifically, that it
13 was not coal-fired utilities, but coal and fuel
14 combustion, and not solely electric utility generation?

15 A. I would have to look at the presentation
16 to -- I know that one of the early briefings that we are
17 forced to give, one of the things that occurred is that
18 EPA, Tim Opelt, who was the acting -- or not the acting,
19 assistant administrator at EPA at the time, really
20 pushed EPA to try to get us to get our results out
21 because of the impending rules, and because they thought
22 it was pertinent to writing the rules, and in that
23 process, he urged Matt to go to Washington at a very
24 early date when we had preliminary results and present

1 those results, and so one of the interesting things in
2 the briefings is that you will see that there are
3 changes from one briefing to the next, in terms of some
4 of the quantity of numbers, and the number of decimal
5 places, and other ways that things are listed in there,
6 and if it's one -- if it's a briefing to Tim Opelt, I
7 don't know if it says on the front or not.

8 Q. It does. It's the briefing for Tim Opelt,
9 April 27, 2005. This is a Powerpoint presentation for
10 which I do not have copy, but will by tomorrow, so it
11 can be introduced as an exhibit before the Board.

12 A. That is the first mention of our
13 preliminary results, so in that presentation, Dr. Landis
14 would have been the one who would have made those
15 slides.

16 Q. Did you work with him in putting these
17 slides together?

18 A. I would have worked with him on the
19 results that are included in those slides, but I did not
20 work next to him putting those slides together.

21 Q. I'm reading from one of the slides
22 entitled "Results" and I have just the one copy, so I
23 can show this to you to verify, but if I can read from
24 it, and again, I will have copies for the exhibit

1 tomorrow. "Approximately, 70 percent of the mercury wet
2 deposition in the Steubenville site is attributable to
3 local slash regional fossil fuel coal and oil combustion
4 sources," and then there's a bullet under this that
5 says, "Not entirely attributable to electrical
6 utilities."

7 A. Okay.

8 Q. Do you agree with that statement?

9 A. I think, at that time, when we had gotten
10 those preliminary results we had not gotten to the point
11 where we had done a more definitive interpretation.

12 Q. What had you done in the intervening time
13 that allowed you to change the conclusion to the one
14 that you have in your testimony here?

15 A. We have done a considerable amount of more
16 work, one of which was to try to understand, as Matt
17 said here in this presentation, where he put coal and
18 oil combustion sources, we actually took a much closer
19 look at the sources that were in the area, and the
20 transport and meteorological conditions to go with the
21 just the elemental data that we got to make sure that,
22 in fact, we didn't feel the oil combustion was a major
23 contributor. This was -- I think Matt was trying to be
24 extremely careful in his presentation to Tim Opelt at

1 that time because, literally, the results popped out of
2 the computer within the same couple of days as when he
3 had to make his presentation, and interestingly enough,
4 this was -- I don't know if it still says -- so briefing
5 for Tim Opelt. I know the version that I had seen
6 actually said, "Not for outside consumption" because --
7 due to the preliminary nature of the work, so that
8 somehow is not on there anymore.

9 Q. No, it's not, and it's available on the
10 U.S. EPA website.

11 A. Actually, is it available on U.S. EPA or
12 on the E-Wire website?

13 Q. U.S. EPA. But I'm not answering the
14 questions here, but that's quite fine. Is the 70 -- the
15 number of, approximately, 70 percent, what were the
16 ranges that you had for that?

17 (A small break was taken.)

18 MADAM HEARING OFFICER: Let's go back
19 on the record. Dr. Keeler, you were looking up some
20 information to answer a question from Mr. Rieser.

21 MR. KIM: While he's looking that up,
22 Exhibit No. 28, which I believe was the table that shows
23 stack heights Mr. Zabel had asked a question about one
24 column of numbers, and I believe that that should be the

1 correct identification for those numbers is gross load
2 by megawatt hours, and those figures represented the
3 average of the highest three yearly gross loads as
4 reported by U.S. EPA, CAMD, for the period of 2001,
5 2005. So over that five-year period, the average of the
6 three highest.

7 MR. ZABEL: That makes a great deal
8 more sense. Thank you.

9 MR. RIESER CONTINUES: Looking this up
10 -- could you read back the last question to Dr. Keeler?

11 (The previous question was read by the
12 court reporter.

13 DR. KEELER: The PMF model has
14 predicted a value of 70 percent and the Unmix model
15 predicted 74 percent. Again, this is -- I just picked
16 up an earlier version, so I'm not positive that these
17 are the final numbers, so I'll give you the range. We
18 did two years' worth of measurement. The entire year of
19 2003 and the entire year 2004, and we did the
20 apportionment on the two years combined, and estimated
21 using the two different models, how much mercury came
22 from coal-fired utility boilers to the deposition of
23 mercury for 2003 and 2004, separately. The main reason
24 for doing this is that the deposition from one year to

1 another can vary dramatically. In 2003, the measured
2 mercury deposition in Steubenville was about 13
3 micrograms per square meter. In 2004, it was 19.8
4 micrograms per square meter, so there's a fairly large
5 difference between the two years. In 2003, the mean
6 contribution from coal-fired utility boilers was 9.5
7 with the range of 7.2 to 15.8. That's a five to 95
8 percent confidence interval around that mean. What has
9 been developed over time in these models is the ability
10 to propagate uncertainty through the models, and
11 continue to re-run the models varying the concentrations
12 that we got in the samples to simulate uncertainty, and
13 you can run this over hundreds and hundreds of times,
14 and then you can get a mean, plus an uncertainty range
15 around those numbers to give you a better sense of how
16 robust your solution is, so that's what that refers to,
17 and for the Unmix model, it calculated a mean
18 contribution of 9.9 with a confidence interval of five
19 to 15. For 2003 and for 2004, the mean contribution
20 from PMF was 12 with a confidence interval of nine to
21 20, and the Unmix model predicted a mean of 15 with a
22 mean of 8 to 23. So both models give, if you were to
23 take the means, or whatever, they gave very similar
24 results, in terms of percentages. And the uncertainty

1 in the numbers is what I gave you, so that's the
2 confidence interval on those.

3 MR. RIESER CONTINUES:

4 Q. Are there estimated coal-fired utility
5 boiler percentages associated with those numbers, as
6 well?

7 A. I don't have them in front of me, but
8 that's what the 70 percent was, and the mean for the two
9 years is 70 and 74 percent, 70 for PMF and 74 for Unmix.
10 You were asking me previously about the Landis briefing
11 where it had fossil fuel, oil, plus coal, and again, I
12 just wanted to make sure it was clear that that briefing
13 was done, literally, a couple days after the initial
14 analysis was done only on the 2003 data, and at that
15 time, the statistical robustness of the solution was
16 such that we weren't very confident in the solution that
17 we were getting because we didn't have a large enough
18 sample size, and hence, why we went and incorporated in
19 the 2004 data into this analysis, and you asked about
20 the question about coal-fired utility boiler
21 contributions, versus coal combustion I believe is what
22 you were referring to, correct, all coal combustion
23 sources, and initially, when we --

24 Q. I think it was just combustion sources.

1 A. Okay. So we were able to separate out the
2 oil combustion from the coal combustion very cleanly, so
3 there wasn't any need to have that designation in the
4 follow-up briefings and in our final conclusions.

5 Q. I think you said, with respect to the
6 publication, that you were looking to begin or submit
7 for publication around October or so of `05, but then
8 you had to run it threw a peer-review process?

9 A. That's correct.

10 Q. So by October of `05, you had everything
11 pretty well nailed down?

12 A. Yes, sir?

13 Q. And I think you --

14 A. You say, "About October of `05." I can't
15 tell you whether it was November 1, or I mean, to be
16 honest, it was the end of October. I know it was before
17 Thanksgiving and I know -- but I don't know the exact
18 time.

19 Q. Plus or minus one holiday, in other words.
20 I think you said, also, that you participated in an
21 international workshop on mercury control for coal
22 combustion in Beijing. Is that correct?

23 A. Yes.

24 Q. And you were there with Dr. Landis?

1 A. I was, yes.

2 Q. And Dr. Landis gave a presentation at that
3 regarding your findings?

4 A. He did, yes. Had had some other
5 information.

6 Q. Did you work with him on putting that
7 presentation together?

8 A. Again, the results that went into that
9 presentation were ones that we co-put together, but I
10 did not help him actually put the numbers on the slides
11 or build the tables or anything like that.

12 Q. But --

13 A. I did not review his presentation, no.

14 Q. You didn't review his presentation?

15 A. No.

16 Q. Did you watch his presentation?

17 A. I did watch his presentation, yes.

18 Q. Did you agree with it at the time you
19 watched with it?

20 A. Did I agree with it? Since it was a
21 collaborative study, I didn't -- I concurred with his
22 conclusions.

23 Q. I would like to show you what's going to
24 be marked as exhibit --

1 MADAM HEARING OFFICER: We'll mark
2 them in the morning. That's probably the best to wait,
3 until tomorrow when you actually have them.

4 MR. RIESER CONTINUES:

5 Q. What I have, for ease and quickness, is a
6 copy of the title page and two pages within the slides
7 that Dr. Landis prepared for the Beijing presentation.
8 In the interest of time and getting this thing out
9 quickly within the period of the break, again, I will
10 get colored copies of the whole thing, and I will bring
11 those tomorrow, so the whole thing can be submitted to
12 the Board as an exhibit, but for purposes of the
13 question, we only need these couple of pages, so Doctor,
14 if you need to look at the whole thing in order to look
15 at these and verify that you remember what else was in
16 there, I have got a copy, but if I can work with these,
17 that would be great to start.

18 A. I don't believe the presentation varied
19 all that much, and I certainly believe that the
20 conclusions and results, or whatever, did not vary from
21 one presentation to the other. The exact numerical
22 numbers might be slightly different. I know we did
23 refine the way we did the uncertainty analysis from one
24 time to another, so that they were consistent between

1 the PMF and Unmix, so there might be some slight
2 variances in the numerics, but the conclusions and the
3 results don't change all that much. If you look on the
4 first page of this three-page exhibit, and again, this
5 is just a portion of the whole thing, the page entitled
6 "Preliminary Steubenville Source Apportionment Results."

7 A. Yes.

8 Q. 2003-2004 and heading across the top is
9 "Measured Mercury Wet Deposition; PMF Estimated CFUB
10 Contributions," CFUB is identified as Coal-Fired Utility
11 Boiler, and "Unmix Estimated CFUB Contribution." Do you
12 see that?

13 A. Yes, I do.

14 Q. So there are percentages provided in the
15 columns for PMF estimated CFUB contribution, in addition
16 to absolute numbers, and those percentages, as you can
17 see for PMF for 2003, 73 percent; 2004 is 62 percent.
18 The Unmix percentage contribution are 60 percent, and
19 for 2003 for 2004, it's 59 percent. Do you see that?

20 A. Yes, I do.

21 Q. Are these the same numbers that are in
22 your report that's being presented for publication?

23 A. No, they are not.

24 Q. What way have they changed?

1 A. The numbers I read to you are the numbers
2 that --

3 Q. I don't recall you reading a percentage
4 number.

5 A. Because I didn't have that calculation in
6 front of me, but I did not -- these numbers were
7 preliminary data, so this presentation that Matt gave in
8 China was based on the preliminary results from the
9 April-May time frame.

10 Q. So as of the date of this, October 31,
11 when this was given, I thought you said that around that
12 time you had submitted this for public for peer review
13 and publication.

14 A. Just to correct what you just said, no,
15 that's not what I said, and I was specific in saying
16 that we would hope to submit the paper for publication
17 at the end of October, and at that time, EPA asked us to
18 put into a peer-review process.

19 Q. So you submitted it for peer review around
20 this time, October?

21 A. Yes.

22 Q. And was the paper complete at the time you
23 submitted it for peer review?

24 A. Yes, it was. Perhaps, you don't give

1 presentations, but very often you put together a
2 presentation on the plane as you're going over, and
3 sometimes you lose the materials that you have from the
4 previous presentation to put together the new
5 presentation, and I suspect that that's what Dr. Landis
6 did on this account. As I said before, I didn't work
7 with him on putting this presentation together, and so I
8 can't verify that's what he did. He was in the back of
9 the plane. I was in the front, as it should be.
10 Neither of us in the First Class, however, but in fact,
11 this was a preliminary -- as it says on there
12 "Preliminary Steubenville Source Apportionment."

13 Q. Did you make any efforts to correct it, to
14 correct these numbers when they were presented?

15 A. You don't have an opportunity to correct.

16 MADAM HEARING OFFICER: Excuse me,
17 Mr. Rieser. I apologize for interrupting, but I just
18 have a couple questions I would like to ask for
19 clarification. Dr. Keeler, you're saying the numbers --
20 the numbers that are in your final Steubenville Study
21 results are different from these, that these reflect the
22 preliminary numbers from the preliminary data?

23 DR. KEELER: Yes that's correct. Let
24 me just back up for a second. We were asked to rush to

1 do this analysis by EPA, so that they could include this
2 in the mercury rulemaking. Hence, we did a 2003 quick
3 analysis. We told them that we felt this was not a
4 robust solution to the question they were asking, so we
5 included -- we went and we got the 2004 data and
6 included a two-year data set, so we could provide them
7 with a more robust analysis. They, basically, were
8 after us on a daily basis to try and come and provide
9 these answers. In April, I went and made a presentation
10 of very raw and preliminary analysis. Now, at the
11 university, we do this all the time where someone will
12 get a result, present that, and everyone will critique
13 them and give them comments and suggestions for ways to
14 improve things. Because of the importance of this
15 issue, it was done on a federal level because it was
16 cooperative agreement, and so EPA was doing this behind
17 the scenes in their own internal labs. These
18 presentations that were given, many of them were from
19 one EPA group to another EPA group or Dr. Landis to the
20 assistant administrator were meant for information
21 purposes, and give them some update as to what was going
22 on. These were never intended -- and that's why the
23 word "preliminary" is given on these, is that these were
24 never intended to be final. This was preliminary work.

1 At this time, we hadn't even finalized the database. We
2 were still working very diligently to get the final data
3 base put together, so that the data that went into this
4 analysis was not even finalized at this time. The
5 presentations that I have been asked to talk to you
6 about are just that. They are preliminary results that
7 came along with the presentations that were given in
8 different venues by Dr. Landis, but these do not
9 represent the final numbers.

10 MADAM HEARING OFFICER: Thank you.
11 Sorry. I was a little confused on all that.

12 MR. RIESER CONTINUES: Mr. Kim, I'm
13 trying to remember if you were here for the part about
14 asking for the LADCO slides. Do you have Dr. Keeler's
15 LADCO slides?

16 MR. KIM: We don't have those, at
17 least, to the best of my knowledge. I think the person
18 in control of those would be Dr. Keeler, so --

19 DR. KEELER: As I mentioned, I will
20 check to see. I didn't see it on this, but if I don't
21 have it, I can ask somebody to E-mail that for me.

22 MR. RIESER CONTINUES:

23 Q. If we could have those for tomorrow, I
24 would appreciate it. Let me -- while we have this lull

1 here, let me go back to an item about chemical
2 signatures. You have certain elements that you
3 associate with certain types of source emissions,
4 correct?

5 A. Again, I'm sorry. I couldn't hear what
6 you were saying.

7 Q. When you do the chemical signature
8 analysis, you have certain elements that you associate
9 with certain types of emissions, correct?

10 A. Yes.

11 Q. You also identify percentages associated
12 with those types of sources, correct, X percent coal, Y
13 percent steel?

14 A. Yes.

15 Q. Now, when you are looking at the analysis
16 -- the initial chemical analysis just has X amount of
17 mercury, X amount of selenium and X amount of sulfur,
18 etc., correct, among other elements that you analyze?

19 A. For all intents and purposes, yes.

20 Q. How do you derive the percentage of -- I
21 assume there's, like, one element of mercury, X
22 micrograms of mercury, correct, in the sample data that
23 you're looking at?

24 A. We make measurements of every time it

1 rains, how much mercury deposition is found in every
2 single sample.

3 Q. How do you derive the percentages of
4 mercury that are associated with a given source
5 category?

6 A. The statistical method, PMF model or Unmix
7 model, calculates for each sample the absolute amount of
8 contribution from each of the samples, and calculates
9 how much mercury is predicted to come from that source
10 factor.

11 Q. What is the derivation of that
12 calculation? I mean, not the mechanics of it,
13 obviously, but what is the model looking for when it
14 makes that decision?

15 A. Well, it's actually a fairly complex
16 answer to that, but it's basically looking for
17 covariation or elements that are changing with time
18 similarly and uses that to determine what sources are
19 contributing to those elements.

20 Q. And the time element, where does that come
21 into the analysis?

22 A. Because we collect a sample every single
23 time it rains, so on each day, it would be a different
24 sample on every single day that it rains.

1 Q. So it's not just within each individual
2 sample, but all samples taken together. Is that
3 correct?

4 A. Yes, that's correct.

5 Q. Thank you.

6 DR. KEELER: Question No. 5: "In your
7 testimony, you reference a study you performed regarding
8 apportionment of mercury sources in Detroit. A: How do
9 you define the terms of "regional" and "local" for
10 purposes of this study, and B: Did you identify the
11 coal-fired power plants that you considered to be local
12 for purposes of your study?" You're asking me how I
13 defined "regional" and "local" in the paper that I
14 submitted as the Lynam and Keeler paper. Is that
15 correct?

16 Q. Correct.

17 MADAM HEARING OFFICER: Exhibit 27 for
18 the record.

19 DR. KEELER: The terms "local" and
20 "regional" often get confused. In fact, recently, a
21 representative from the Electric Power Research
22 Institute incorrectly cited my presentation at LADCO
23 saying that I suggested that regional transport was
24 continental scale transport, which I did not say. Local

1 transport is actually the transport that's going to
2 occur within one semidiennial (phonetic) cycle, or less
3 than one half of a day. So basically what that means is
4 how far pollutants can travel within about a 12-hour
5 period. A typical transport speed is about five meters
6 per second, which means that -- again, this is on
7 average, that if you're talking about local scale
8 transport being kind of within an urban area. Somewhere
9 up to, depending on the size of the area, but anywhere
10 from very close to up to 150 to 200 kilometers. In
11 terms of EPA modeling, they refer to local scale as less
12 than 10 kilometers. I mean 10 miles in distance scale,
13 very, very close. So that's a very different reference
14 than what I'm referring to. We think of the term
15 "local" in terms of meteorological sense that an air
16 mass can stay fairly consistent through the course of
17 one semidiennial pattern, which is, like I said,
18 somewhere less than 200 kilometers in scale, but will
19 vary tremendously, depending upon the wind speeds, so on
20 a given day, local transport could be as far away as
21 only a few kilometers on a day where there's very heavy
22 winds. During a wintertime period, it might be even
23 longer than that. Regional would then take off from
24 that scale from that local scale to the transport that

1 is, typically, controlled by synoptic meteorological
2 forcing, which is several days, three to five days, so
3 that can be up to -- maybe a couple thousand kilometers,
4 at most, but no more than that, so transport from Ohio
5 to somewhere east of the Mississippi or west of the
6 Mississippi, possibly, but not to the coasts. That's
7 not regional scale transport. That would be more
8 continental scale transport, so when we're referring to
9 Detroit local, we're really referring to Southeast
10 Michigan in that paper. When we're referring to local
11 in the Steubenville, Ohio, area we're really referring
12 to -- in terms of miles, if people are more comfortable
13 with that, 50 kilometers to 100 miles or so distance
14 scale.

15 Q. So when you use the terms "local" and
16 "regional" in the Detroit paper, they have the same
17 meaning as they will in the Steubenville paper. Is that
18 correct?

19 A. For the most extent, yes.

20 Q. When you use the terms "local" and
21 "regional" you are typically referring not to air mass
22 movements, but to specific things, like sources, talk
23 about local and regional sources?

24 A. We try to talk about sources being local

1 if they are in the vicinity of the plant, so sometimes
2 the distance scale will be a little bit shorter than on
3 a meteorological sense, so a local source might be in
4 Detroit, for example, the Ambassador Bridge and diesel
5 traffic at the Ambassador Bridge if it's only one
6 kilometer away or kilometer and a half away from our
7 site, so that would be a local source.

8 Q. When you describe local sources -- well,
9 for example, in your testimony in the conclusion on page
10 five -- this is the third sentence of the second
11 paragraph of your conclusion -- "The deposition of
12 mercury is heavily influenced by a few large
13 precipitation events that contribute significantly to
14 the annual deposition and these events are associated
15 with emissions from local slash regional sources." So
16 when you refer to "local slash regional sources" in this
17 context, what types of distances do you have in mind?

18 A. When I refer to "local slash regional
19 scale," it's often more accurate to express that scale
20 when referring to precipitation events because of the
21 nature of the disbursement of pollutants that feed into
22 precipitating systems, so I mean, from sources that are
23 very close, within a few kilometers, to those that are
24 out hundreds of kilometers to even as many as a thousand

1 kilometers away.

2 Q. So the term "local and regional sources"
3 is used in your testimony means anything, from adjacent,
4 to something that's a thousand kilometers away, maybe
5 even further. Is that correct?

6 A. No, closer.

7 Q. Closer than adjacent?

8 A. No, adjacent to a thousand kilometers or
9 closer.

10 Q. Or closer, so a thousand kilometers is the
11 outer bound.

12 A. Yes. That would be a good --

13 Q. When you use the term "synoptic" what does
14 that mean?

15 A. I was asked this yesterday, and I
16 immediately started to want to give a meteorological
17 answer, and I realized that nobody will understand that.
18 "Synoptic" refers to the scale in which you can see a
19 high and low pressure system on the map, hence the word
20 synoptic, as in visual. It really refers to the scale
21 that you see weather systems on the weather station when
22 you all look at the weather man, and you see a low
23 pressure system or the front coming through, and then
24 you can see a high, it, generally, takes up a region

1 from Minnesota to New York, so that's a synoptic scale,
2 several days worth of transport.

3 Q. Thank you. Go ahead to B, please.

4 MADAM HEARING OFFICER: Mr. Harley has
5 a follow-up.

6 DR. KEELER: You asked me a number of
7 questions, and I gave you a number of answers, and I
8 want to make sure that it's clear I have to be fuzzy on
9 the definition of distances because, when it comes to
10 the meteorology, it varies from day-to-day, from hour to
11 hour, so the transport is not like putting it on a
12 train, and carrying the pollutants consistently away
13 from one place. It's going to vary and the winds don't
14 travel in straight lines and the wind doesn't just blow
15 horizontally. It blows up into the atmosphere, so when
16 we talk about distance scales and local scale transport,
17 versus regional scale transport, versus continental
18 scale, we have to understand that these things are
19 time-varying, and there is a fuzziness to it, so I'm
20 trying to give you a general answer to these questions
21 that give you a sense of what we're looking at, but I
22 don't want to give you the impression that these things
23 are written down, and everything more than a thousand
24 kilometers or 1,500 is somehow a different scale because

1 that's not the impression I'm trying to give you.

2 Q. So again, looking at your testimony,
3 sentence -- same paragraph on page five,
4 "Source-receptor studies have recently been completed
5 that indicate the coal-fired utilities contributed to,
6 approximately, 70 percent of the mercury wet deposition
7 measured at a site in Eastern Ohio over a two-year
8 period. This finding is not unexpected as the
9 Steubenville site was selected due to its close
10 approximation to a number of coal-fired power plants,"
11 and then we go on to the sentence that I read about
12 local and regional sources, so these large -- the number
13 of large coal-fired power plants are included in these
14 local regional sources that could include all sources
15 within a hundred kilometers -- excuse me, thousand
16 kilometer circle of Steubenville?

17 A. That's correct.

18 MADAM HEARING OFFICER: Mr. Harley.

19 MR. HARLEY CONTINUES:

20 Q. You testified that you were able to
21 acquire information about -- you testified that you were
22 able to assess the volume, the total volume of mercury
23 from every precipitation event that occurred over a
24 two-period, from 2003 to 2004.

1 A. Yes.

2 Q. And you were able to describe that, in
3 different precipitation events, you would find different
4 concentrations of mercury and other contaminants that
5 were present?

6 A. Yes, that's correct.

7 Q. In your study, were you able to estimate
8 the total volume of mercury that was deposited on
9 Steubenville, Ohio, through precipitation over the
10 two-year period?

11 A. Yeah. That's the -- those were the two
12 numbers -- again, my computer went blank, but it was 13
13 point -- I don't remember what the number was.

14 Q. 13 micrograms per square liter (sic)?

15 A. Square meter. If I wasn't clear, I
16 apologize for my mispronunciation.

17 Q. 13 micrograms per square meter would have
18 been the total volume over a two-year period or total
19 mass per square area that was deposited in 2003?

20 A. In 2004, an additional 19 point --
21 whatever the number was that I gave -- micrograms per
22 square meter was deposited at that site.

23 Q. Does your study then go on to consider the
24 fate and transport of mercury which would be deposited

1 on Steubenville, Ohio, through precipitation at these
2 levels?

3 A. I'm sorry?

4 Q. What happens to that mercury?

5 A. That was not something that we had as part
6 of our scope of work for that project.

7 Q. Do you have an opinion about what happens
8 to that mercury?

9 A. The mercury that's deposited in
10 Steubenville?

11 Q. Yes.

12 A. Well, again, we are making measurements in
13 a place that's primarily grass fields, and so the
14 mercury that deposits there, some small fraction would
15 likely oxidize, or I mean, get reduced and then come
16 back up from the surface. The majority of the mercury
17 that's deposited would probably attach to organic
18 material in the soils and stay there at our site.
19 Surrounding our site is the Ohio River, so mercury that
20 deposits into that, obviously, will get transported down
21 river, and again, some of that mercury is going to
22 attach to particles and go to sediment in the river.
23 Some of that mercury will become methylated and work its
24 way up the ecosystem, and some fraction of that mercury

1 deposited in the Ohio River will evade, come back out of
2 the water, but those are the main things that would
3 happen to the mercury that gets deposited there. I
4 should add the one part that we haven't talked about at
5 all, yet, is the mercury that's dry deposited, and
6 that's a very important part. Some of the mercury will
7 actually go into the plant material, the trees the
8 leaves, the plants, and actually stay there, and become
9 part of the organic-bound mercury in these plants, which
10 then depending upon the deciduous trees, when the leaves
11 fall, that mercury is deposited to the earth's surface,
12 and then is there for methylation and decomposition as
13 the plant material decomposes, so that's an additional
14 source of mercury to the surface.

15 MR. RIESER CONTINUES:

16 Q. Was deposition measured in Steubenville?

17 A. We have been collecting ambient data
18 continuously. We have been using instrumentation that
19 gives us the reactive gaseous mercury forms, the
20 elemental mercury forms and the particulate mercury
21 forms together with meteorological measurements that we
22 are doing on site, and we plan on modeling the dry
23 deposition. We also, in doing this area, did a series
24 of intensive studies, which we have not completed to

1 date that we will be doing surrogate surfaces, and other
2 new techniques that we have developed to be able to
3 validate and compare to the models that we have
4 developed to do the mercury dry deposition, so at this
5 point, I don't have solid estimates for dry deposition,
6 but it's something that we will have at the conclusion
7 of this study.

8 DR. KEELER: Question 5-B: "Did you
9 identify coal-fired power plants that you considered to
10 be local for the purposes of your study?"

11 MADAM HEARING OFFICER: Again, for
12 purposes of the record, we are back to talking about the
13 Detroit Study.

14 DR. KEELER: We are talking about the
15 paper that was submitted to the Board Lynam and Keeler
16 paper. We have done a considerable amount of work in
17 Southeast Michigan over the past 16 years on mercury
18 deposition and sources, and there are actually only a
19 handful of actual coal-fired utilities that are in
20 Southeast Michigan, and these include mineral power
21 plant, which is on Lake Erie, and there are two or three
22 others that are actually even closer to our site, and
23 unfortunately, I'm having a post-afternoon mental lapse
24 here, but there are -- there's only a hand full of

1 sources that we consider local, and again, those are
2 fairly close, certainly within 50 miles of our site in
3 Detroit.

4 Question 5-C: "Do you know what type
5 of coal was utilized in these power plants during the
6 duration of your study?" I'm not aware of data that
7 provides the actual type of mercury, type of coal that
8 was burned by these power plants on a day-by-day basis,
9 and so I don't have that information, but I do have, in
10 the Michigan Mercury Utility Work Report, which I think
11 is cited somewhere in these documents there is a table
12 listing which plants burned bituminous, which blended
13 bituminous and sub-bituminous, which I believe is most
14 of the plants that were in that five or six that I
15 mentioned were blenders. They used both, but then a few
16 only used sub-bituminous, so that data is available in
17 that report, so I am aware of it but I don't have the
18 day-by-day blending and how much was used of each type
19 and so forth.

20 Question D: "Do you know what type of
21 emissions controls these plants use?" Again, Table E to
22 that Michigan Mercury Electric Work Group provides the
23 mercury -- or the emissions control that's used on each
24 one of those plants. I believe that was utility

1 provided to the work group.

2 MR. RIESER CONTINUES:

3 Q. With the type -- and I think we probably
4 talked about this, but I have the same late afternoon
5 thing you have got going on. Would the type of emission
6 control and the type of coal used affect the chemical
7 signature that you rely on?

8 A. I believe that the signature that we look
9 at can be influenced by the type of control. An example
10 would be if there was no type of particulate control on
11 the source, that would have a profound effect on what
12 came out, in terms of the major trace elements, which
13 most of those are going to be in the particulate form.
14 If there's some type of a scrubber, a wet scrubber, of
15 course, that's going to remove a large degree of the
16 soluble gases, so yes, those things will have an effect
17 on the signatures. The interesting thing is that when
18 you look at the signatures that have been collected over
19 the years, you can see variability in certain elements,
20 and you try to not use those to define your sources, but
21 they do introduce some uncertainty in your profiles and
22 that's one of the reasons why these new models are able
23 to propagate through the uncertainty in the signatures
24 to give you that sense that, okay, what if you're off 10

1 percent in this element and this sample because of
2 something like a control or because of some other
3 chemical transformation?

4 Q. Is it your expectation that these power
5 plants, at the time you did this study, had no
6 particulate control?

7 A. Oh, no. I'm not aware of other plants out
8 there --

9 Q. I hope not.

10 A. Okay, so, sorry. I asked you a question
11 again. I apologize. No. That's not my expectation. I
12 was giving you an example.

13 Q. Well, the follow-up, if there are, send
14 them my number.

15 DR. KEELER: E: "What other sources
16 of mercury emissions did you identify as being local
17 with respect to the study site?" Detroit is very
18 similar to Southeast Chicago in that it has a very high
19 density of motor vehicle traffic, iron and steel
20 production. There is a municipal waste incinerator
21 about 10 kilometers away from our site. There's oil
22 refining and chemical manufacturing, together with a
23 very large sludge incinerator. Those are the major
24 sources that we identified in that area.

1 F: "What was your basis for
2 determining that RGM you identified was a result of the
3 local emissions from coal-fired power plants?" The
4 answer I wrote to myself is I'm not sure what you're
5 referring to. If you could maybe point to what you're
6 asking me, I could maybe answer the question.

7 MR. RIESER CONTINUES:

8 Q. Sure. On the top of page 3153 in the
9 left-hand column.

10 MR. KIM: Which document?

11 MR. RIESER CONTINUES:

12 Q. I'm sorry. We are looking at the Detroit
13 paper. I have another copy, if you need it. I'm
14 looking at page 3153, on the top. It's in the
15 paragraph, "The presence of sulfur dioxide and RGM." Do
16 you see that?

17 A. Yes.

18 Q. The third sentence -- excuse me -- fourth
19 sentence says, "Since, both, RGM and sulfur dioxide are
20 primary emissions, we conclude that this factor
21 describes local emissions of RGM from coal-fired utility
22 proximate to the monitoring site in Detroit."

23 A. So you are asking me what the basis is for
24 that conclusion?

1 Q. Yes.

2 A. We have five-minute average SO2
3 concentrations, as well as concentrations of NOx, CO,
4 fine particulates, five-minute concentrations of
5 developmental mercury. Hourly concentrations of
6 reactive gas and reactive and particulate mercury
7 together with the onsite meteorological information,
8 plus all the meteorological information that we
9 collected from all the sites from the National Weather
10 Service, and during times when we got transport from the
11 direction of a couple of the larger coal-fired
12 utilities, this is when we saw this SO2-RGM
13 relationship, and it also turned out when we did this
14 analysis that that factor identified the periods when we
15 had that type of specific flow from that source, so it
16 was done through a data analysis of looking at when the
17 spikes of these things occurred together. The Monroe
18 power plant is to the south, southeast of the site.
19 It's one of the larger facilities, and we could see that
20 on occasion at our monitoring site and this was very
21 different than when we saw --

22 Q. I'm sorry. You could see that --

23 A. In the data, and this was different when
24 one looked at the data when we got flow from the island

1 where the industrial source was coming from the coke
2 oven and iron and steel facility and the sewage sludge
3 incinerator and refineries. It had a very different
4 characteristic to it, so this confirmed in our mind that
5 this analysis, which was done independently, was telling
6 us that this was coming from coal-fired emissions.

7 Q. Not only coal-fired emissions, but
8 coal-fired emissions from a certain facility?

9 A. Again, if I didn't put a facility here, I
10 guess it was not one facility. It could have been from
11 more than one because I think that was more than one
12 episode that we are talking about in that paragraph.

13 Q. So local emissions in that sentence I
14 assume also means this 50 kilometer range that we have
15 been talking about?

16 A. That's right, during one day.

17 Q. And the approximate also refers to that
18 50-kilometer distance?

19 A. Where it's approximate.

20 Q. It says, "Describes local emissions of RGM
21 from coal-fired facility proximate to monitoring site."

22 A. That's right, approximate.

23 Q. Thank you.

24 DR. KEELER: Question No. 6: "Is it

1 correct that the Steubenville study is designed to be a
2 four-year study and completed in 2006?" No. The study
3 was initially designed and put out on the street as an
4 RFP to be a two-year study. The study has been -- was
5 extended to become a three-year study because of the
6 additional equipment that was given to us, so we
7 requested an additional year of measurement and had
8 been, since then, extended one more year because of the
9 importance of this site, in terms of the results that we
10 were seeing, so now the study is intended to --
11 measurement collection is going to run through 2006.
12 We'll get done collecting data at the end of 2006, and
13 there will probably be a subsequent year of analyzing
14 the samples, doing the analysis and doing the modeling
15 that goes along with that. So originally, it was a
16 two-year study.

17 MR. RIESER CONTINUES:

18 Q. When do you -- this is sort of Question B,
19 but we might as well get to it. When do you expect the
20 2005 data to be available for review?

21 A. That is Question B, "Is the data for 2005
22 available for review?" The 2005 database is being built
23 at this time. We are working on the last two quarters
24 of the year. It takes quite a while to analyze all

1 these different samples because it's not just
2 precipitation aerosol samples we are collecting, as well
3 as the other gaseous data and meteorological data. All
4 that data has to be processed and put together, so we
5 are hoping that the 2005 data will be completed shortly.
6 What does that mean? It's June. We are going to be in
7 the field for the next two months. It's likely not to
8 happen, until the fall, so October-November time frame.

9 Q. Is that going to have to go through a peer
10 review process, as well, or subject to publication, or
11 is that something you expect to be released to the
12 public?

13 A. Our intentions, at this point, are to put
14 all of the data together into a complete analysis of the
15 entire data and submit that for per review. My guess is
16 it will probably go through another exhaustive peer
17 review internally and through EPA, but I don't know that
18 for a fact, so it will be released after that, that
19 process.

20 Q. Thank you.

21 DR. KEELER: "Is it accurate that the
22 information you present in your testimony is based upon
23 the first two years study 2003, 2004?" The answer is
24 yes.

1 Question 7: "You indicated that you
2 served on a Michigan Electric Utility Work Group, which
3 studied ways to reduce emissions from coal-fired power
4 plants. A: Did you participate in the final draft of
5 the report dated June 20, 2005?" The answer is yes.

6 B: "Did you participate in the
7 drafting of the chapter on mercury emissions and
8 deposition, which is chapter 3.3 on page 50 of the
9 report?" The answer is yes.

10 C: "Do you agree with the statement
11 on page 50 that, 'The concern over mercury in the
12 environment stems from its eventual deposition at the
13 earth's surface and subsequent conversion to methylated
14 mercury'?" The answer is yes.

15 D: "Do you agree with the statement
16 on page 56 that 'oxidized mercury, or Hg⁰, that is
17 deposited on the surface of the Great Lakes would not
18 likely enter the reaction pathway that would lead to the
19 production of methylmercury in the lakes; although
20 tributaries and surrounding wetlands would support
21 methylation activities?" I did not write that sentence.
22 For the most part, it's correct, except I believe that
23 there was some type of mistake made in that. I'm not
24 sure that they were correct in their oxidized mercury or

1 Hg0. I don't know if they meant -- Hg0 is not oxidized
2 mercury, so the statement is factually incorrect as it's
3 written, but the intent of the statement is, for the
4 most part, correct that mercury in, both, the elemental
5 form and in the reactive form that deposits to the Great
6 Lakes water body, itself, is -- some of that mercury is
7 going to evade and come back out, and I think that's the
8 intent of the sentence that was in that report.

9 MR. RIESER CONTINUES:

10 Q. Also, the reaction to the methylation
11 reaction pathway is not commonly active in the Great
12 Lakes?

13 A. Yeah. As we discussed earlier, the most
14 of the Great Lakes are oxygenated fairly well down to
15 the -- so there's no methylation that's occurring in
16 that oxygenating water. The big lakes, themselves, are
17 not where the methylation is occurring. The methylation
18 is occurring when that precipitation and pollution
19 deposition hits the forested areas around the Great
20 Lakes and the wetlands, and then the rain washes that
21 pollution off, or the mercury that's in the rain. Then
22 it runs off and goes into the wetlands where it then can
23 subsequently undergo the methylation, and then that runs
24 off into the tributaries, and feeds into the shoreline

1 of the lakes, but the question is correct. It doesn't
2 happen in the Big Lakes in open water.

3 E: "Why does not the report discuss
4 your work at Steubenville?" As I mentioned before, the
5 work in Steubenville, we were forced to rush and do some
6 of this analysis in the spring of 2005. The mercury
7 work group that I was a part of had started quite a bit
8 earlier than that and had been going on for a long time,
9 and although they were very anxious for us to get this
10 into peer review, and get it out in the literature,
11 there was an understanding that we weren't going to
12 include non-peer-reviewed publications in that report
13 just as a way to be fair across the table, and so that's
14 why it was not included. It was not excluded since I
15 was a member of that work group, I did not exclude my
16 own work because I didn't feel as if it was a good
17 enough quality. It was just that we agreed to these
18 rules, and I lived with them.

19 F: "Do you agree with the statement
20 on page 58 that the results of the Wisconsin Utility
21 Case Study performed by -- I'm sorry I'm not going to
22 butcher your name -- spell it,
23 V-I-J-A-Y-A-R-A-G-H-A-V-E-N, et al., indicated that, on
24 an annual basis, coal-fired utility boilers in Wisconsin

1 contributed, approximately, one to four percent of the
2 mercury being deposited via precipitation near Wisconsin
3 MDN stations. Do I agree with that statement? I have
4 no basis to agree or disagree with the statement. I'm
5 aware of the work and the report that was done for the
6 Wisconsin utilities. And presented to the mercury work
7 group. I have no reason to doubt the validity of their
8 work, and I would suggest that in the case of Wisconsin
9 utilities seeing that most of their utilities their
10 large utilities are located on the east side of the
11 lake, most of their emissions would tend to belong to
12 the east, and would not be deposited in the
13 precipitation, so it's not inconsistent with my thought,
14 in terms of where precipitation comes from and goes to,
15 in terms of delivering pollutants to the state of
16 Wisconsin, so that's my answer.

17 MADAM HEARING OFFICER: Point of
18 clarification, "MDN station" is that monitoring
19 stations?

20 DR. KEELER: MDN refers to the mercury
21 deposition network.

22 MR. RIESER CONTINUES:

23 Q. There are power plants other than those
24 along the eastern coast of coal-fired burning power

1 plants in Wisconsin, other than those along the eastern
2 shore of Lake Michigan, are they not, western shore?

3 A. Yes. I think there are a couple that are
4 also on the southeast side I guess or southwest side,
5 excuse me.

6 DR. KEELER: G: "Do you agree with
7 the statement on pages 60 to 61 that, `the local impact,
8 or potential hot spot, is likely overestimated by
9 Regional 3-D Eulerian models"? I would say, no, I don't
10 agree with that. It really is largely a function of the
11 model, in the parameterizations of that model, so I
12 would tend not to agree with that generalization.

13 Q. So when you say it depends on the model,
14 are there specific models that you think are likely to
15 overestimate local impact?

16 A. Again, I would have to be intimately
17 familiar with the model in order for me to give you an
18 example of one. It would depend on the picture of
19 emission sources that you were looking at and how the
20 model parameters some of its scale processes, and so
21 forth, in order for me to generalize that question.

22 Q. For example, the C-MAQ that's utilized by
23 U.S. EPA.

24 A. If one is asking me the question do I see

1 instances in modeling output that suggests the C-MAQ
2 overestimates deposition in some places, I would say
3 that, from my experience, that I see C-MAQ
4 underestimating deposition in areas where we have
5 measurements where there's a great deal of mercury, for
6 example, and other places where it overpredicts based on
7 the measurements, so again, I think that's a very
8 difficult generalization to make, and one I would not
9 agree with. I don't think there's a hard and fast rule
10 that you could say that's a correct statement.

11 Q. And do they also be sort of gets into H,
12 that -- would you agree with the statement it's likely
13 to be overestimated by the Team model -- T-E-A-M?

14 A. I am familiar with the Team model through
15 the publications that have been written. I am not,
16 intimately, with the parameterizations in the Team model
17 and how they handle some of those things, so I wouldn't
18 be able to answer, but H: I do agree that C-MAQ and
19 Team are both examples of 3-D Eulerian models, so the
20 answer to that is yes.

21 Q. Do you think that the C-MAQ and Team
22 models are useful for looking at the issue of mercury
23 deposition?

24 A. I'm, both, a modeler and a measurements

1 person. When one can model a physical process using
2 mathematics and equations, one can confirm that they
3 understand what controls the process. That's what the
4 basis for engineering is. If one can model something,
5 one learns and gains great insights to the physical and
6 chemical processes that are underlining the true
7 physical realities that occur in the environment. As
8 someone who does, both, measurement and models, I am
9 equally what would you say -- I look at both of them
10 with a sense of knowing that both are very uncertain,
11 and that both can be used to collaborate the other.
12 Models are imperfect, and models, especially for
13 something as complex as mercury deposition, are
14 something that, at this point in time, are not to the
15 point where I feel comfortable with using them to --
16 because I don't feel that they do behave and describe
17 the phenomenon that we see in the environment based on
18 our measurements, so models are useful tools, but what
19 you put into the model, the input parameters, how the
20 physical parameterizations are done in the models will
21 have a great impact on the quality of the output that
22 the model has and not all models are created equal. I
23 think that the models that have been published in the
24 peer-reviewed literature have come a long way. I think

1 that the state of the sciences should be applauded where
2 we are at at this point, but we have a long ways to go,
3 and it's not the modelers problem. It's the other half
4 of me that's trying to describe the physical and
5 chemical reactions that are needed in the models. If I
6 give them the wrong model reaction rates, then they
7 can't model the process properly. If I don't give them
8 the proper speciation in the emissions data, they cannot
9 predict the appropriate deposition downwind. I think
10 the models in terms of their description of meteorology
11 have gotten pretty sophisticated, but the fact remains
12 that it's still a struggle with actually predicting
13 where precipitation falls, if you look at the way that
14 these models predict each event that we sample, so if we
15 compare an event estimate from C-MAQ, or from some other
16 model, we do a poor job because we can't get the
17 precipitation rate amount or the rate correct. We don't
18 get the precipitation falling in the correct location.
19 These are problems that all models have that
20 parameterize meteorological processes.

21 Q. Would the same uncertainty be associated
22 with a source-receptor model?

23 A. All these are source-receptor models.
24 Source-receptor models are, basically, taking some

1 attribute at a receptor and providing a relationship,
2 how much comes from this source winds up with that
3 receptor, so whether you start at the source, or you
4 start at the receptor, they are both receptor models, so
5 are you asking me are these the same uncertainties in
6 receptor models?

7 Q. I'm asking you whether there are the same
8 uncertainties in the source-receptor model that you
9 identified yourself as performing.

10 A. So the source receptor-modeling that I
11 refer to and that was utilized to come to our
12 conclusions on the portion of coal-fired utilities at
13 Steubenville are receptor models. They are starting
14 from observations at the receptor, and they work
15 backwards, and they do not rely upon understanding the
16 chemical processes that go in the atmosphere. They
17 don't require that you understand the species, exact
18 speciation that occurs at the power plant. They only
19 require that you have a detailed characterization of the
20 measurements at that site, and that's one of the
21 advantages. That's why receptor modeling started
22 because in the early days there were measurements made
23 of particulates in the atmosphere, and we didn't know
24 where that particulates were coming from, and we were

1 able to identify sources that people didn't even know
2 were there based on using these receptor techniques and
3 working backwards and identifying a source of that
4 particular pollution, so no, they don't have -- they
5 don't suffer from the same uncertainties as the project
6 models would.

7 Q. My recollection is that you testified that
8 the source-receptor -- excuse me -- the receptor models
9 identify are categories of sources, correct?

10 A. I don't understand that question.

11 Q. What the receptor models identify are --
12 is not a specific source, a specific smokestack, for
13 example, but a category of sources, coal-fired power
14 plants?

15 A. Correct.

16 Q. So in order to locate the specific source
17 and identify it's proximity to the receptor, you have to
18 add another step, which involves meteorology, correct?

19 A. Meteorological modeling, correct.

20 Q. Is the meteorological modeling subject to
21 the same uncertainties that you have just described?

22 A. This is the beauty in this analysis that
23 we depend largely on observations in that type of
24 analysis. We do use a model, like the hy-split model

1 that gives you where the pollution came from. You can
2 start at a receptor and it will tell you where the air
3 came from that arrived at that point in space, and there
4 are uncertainties in that calculation, but we include
5 that in our modeling. We take into account that there's
6 an uncertainty in the upwind pattern. That's something,
7 again, that many of the other researchers that look at
8 this do not include that. They assume that the
9 trajectory is a perfect calculation, but we look at it
10 as a problemistic function, that the trajectory
11 represents the highest probability that pollution would
12 follow that path and propagate a certainty about that
13 analysis.

14 Q. So the uncertainty associated with the
15 meteorologic models that you use in your receptor
16 studies is less than the uncertainty inherent in the
17 C-MAQ or Team modeling?

18 A. It is because it's not part of our results
19 or our conclusion. When we get a result, and this is
20 why, when you keep asking me about the distance scales,
21 what's local versus regional and so forth, is that we
22 don't overinterpret what we're doing, and the scale that
23 we ascribe to that the sources could have been in is a
24 little bit larger than what we would like. We would

1 like to be able to pinpoint it to a spot, but because
2 there's uncertainty in these calculations, it becomes a
3 little bit blurry, but what's nice is, at the end of the
4 result, we can pinpoint an area like Southwestern Ohio
5 so something the size of an area of a state is the kind
6 of the smallest geographical region that we can
7 identify.

8 Q. When you use the meteorologic models that
9 you described in your receptor modeling, how far back in
10 time or back in distance do they go?

11 A. That varies from study to study and what
12 we're looking at. As one goes farther and father
13 backwards in time, the calculation has greater and
14 greater uncertainty, and one of the things I did as a
15 Greenhorn graduate student over 20 years ago was to
16 actually look at trajectories that went back five and
17 seven days compared to those that went back three days,
18 and look at our ability to predict where the air came
19 from using five-day trajectories, versus three days,
20 versus 24 hours, and what we found was -- and this is
21 actually work we did under the utility acid
22 precipitation project filed by my advisor, Perry Samson,
23 at the University of Michigan who was the principal
24 investigator on that. We actually used the three-day

1 back trajectories, and found they gave us very, very
2 good information describing the synoptic meteorological
3 conditions pertaining to air mass transport, so through
4 a set of analysis and meteorological tests and so forth,
5 we found that a three-day was the most reliable,
6 although understanding that, of course, air is
7 transported much farther than that, and again, if you
8 were looking at carbon monoxide, or if you are looking
9 at a stable interpollutant that doesn't have any
10 transformations or deposition, then one might select a
11 different approach, but since we are looking at
12 precipitating systems, the choice of a three-day
13 trajectory or five-day trajectory doesn't strongly
14 influence our analysis.

15 Q. What are your assumptions with respect to
16 the amount of mercury in the air, furthest back extent
17 of that meteorologic model?

18 A. We don't make any assumptions about that.
19 There is no inherent assumption about the amount of
20 pollutants going back along the trajectory.

21 Q. Then going back -- what are you measuring
22 back along the trajectory? The air movement?

23 A. Yeah. That's only telling us about the
24 meteorological conditions that occurred upwind.

1 Q. There's no factor for looking at where --
2 we made these discussions about local and regional
3 sources, which have a radius of about one thousand
4 kilometers, about?

5 A. Yeah.

6 Q. How do you know that the mercury that you
7 assume is from a local-regional source within this
8 thousand kilometer radius circle is from within that
9 circle and not going outside that circle?

10 A. What we will do is we will actually look
11 at the rainfall patterns that occurred -- we will take
12 the meteorological data and look at it. It's kind of a
13 the best way to describe it is you take the 30-minute
14 meteorological data and plot it out on the piece of
15 paper so that the maps that you see and then put it in
16 motion, so you watching it as it's moving through time,
17 and you can actually look and see where the air mass
18 came from, and where it precipitated along the path
19 where the air mass came, and you can look and see where
20 the air was flowing into the storms, and where that
21 storm or that cloud cell actually moved, and then
22 precipitated, and so we do this for each storm that we
23 have data for, and we can work backwards along those to
24 a point where we are confident that we have captured

1 where that storm started, where the air mass came from
2 and eventually precipitated and aided by NEX-RAD data,
3 together with all the surface meteorological
4 measurements, and this is a very tedious analysis, and
5 it takes a lot of time, as you can well imagine. If
6 you've ever done a meteorological analysis, we still do
7 things the old way where we take out maps and we plot
8 out things by hand and actually put these things
9 together, together with the data that we are collecting,
10 so we can look at the variability, really, as a
11 snapshot. Sometimes we will look at the NEX-RAD data in
12 five-minute intervals and play it like a movie and play
13 it back and look at these snapshots, and in doing that
14 because reactive mercury is a form that's most likely to
15 go into those precipitating systems, together with
16 particulate mercury, we can then know that those
17 emissions had to have come from a point in time in space
18 upwind where they could have been removed at our site,
19 so elemental mercury that was coming from China, for
20 example, takes a very long time to oxidize in the
21 atmosphere, and it can float around and float around and
22 float around, but it takes a long time and converts at a
23 very low rate. If we have a lot of mercury in our
24 sample, it's almost impossible for a mercury that was

1 emitted, say, use the example of California in the
2 elemental form to have it get to enough where it's going
3 to explain the amount of mercury we found in our
4 deposition sample in Ohio, and so we have an
5 understanding of the chemical conversion, and an
6 understanding of the types of mercury that are emitted,
7 and you can only explain that by looking at sources
8 within a certain vicinity that emit the types of mercury
9 that would go into the solution, and go into clouded
10 water. Of course, I'm oversimplifying this to make sure
11 everyone understands what I'm saying, which I know is
12 fairly difficult, but still, that's the basic
13 taking-apart and dissecting, doing a CSI case on a
14 precipitation event. We are taking all the information
15 that we can and dissecting it, knowing what we have by
16 looking at it over 20 years worth of precipitation data
17 for other species, like sulfate, nitrate, precipitation,
18 and using that to then determine the radius from which
19 these sources could come, and then having over 200
20 precipitation events, you put this ensemble of events,
21 this weight of evidence together, and then paint a
22 picture on the region or area that that mercury could be
23 coming from.

24 Q. Would some portion of the mercury that you

1 observed at the receptor site come from these more
2 distant sources, or is there an assumption that none of
3 it comes from those distant sources?

4 A. No. We have always stated, although
5 people like to pin you into a box, and say that you
6 don't believe there's any global transport. I've never
7 said that. It's, in fact, we see some 20 percent could
8 be coming from very distant sources beyond the regional
9 scale, so there is going to be global transport. If we
10 are able to knock down emissions to a point where let's
11 just say this rule went into effect, and we were able to
12 take 90 percent of emissions out of coal-fired
13 utilities, that 20 percent signal would become an
14 important one to be worrying about, but that signal is
15 varying over time, but you can see that 20 percent
16 signal if you look at the remote sites to the west where
17 there are no coal-fired utilities. You can look west of
18 the Mississippi, and look to see that the deposition
19 that they incur out there is typically less than 4
20 micrograms per square meter, where we are getting 20 in
21 Steubenville, so you do see that global signal, and it's
22 real, and it's something we are looking on, in terms of
23 getting other nations -- China, India, and other places
24 -- to be concerned about their mercury emissions, as

1 well.

2 Q. When you use the term "value 20 percent,"
3 that's 20 percent of --

4 A. The observed mercury deposition that we
5 see.

6 Q. The observed mercury deposition. Does
7 your model differentiate between coal-fired utility
8 mercury at different distances within that one thousand
9 kilometer radius circle, say, 1,500?

10 A. Are you asking me about, again, individual
11 plants?

12 Q. Yes.

13 A. No. Because of the uncertainty in the
14 meteorological analysis, we can't differentiate between
15 a plant that's located 15 kilometers from another one in
16 that sphere, so the answer is no.

17 MR. AYRES CONTINUES:

18 Q. Could I jump in with one question at this
19 point? Mr. Rieser has used this thousand kilometer
20 radius several times, and I just wanted to ask the
21 witness if that is the outer limit of what you call
22 "region"?

23 A. Yes. I think that's a good way to think
24 about it. I think that's really, when we are looking at

1 regional, that thousand kilometers is the outer region.

2 Q. Would it be likely to be smaller
3 throughout?

4 A. In most of the large precipitation events
5 that we see at Steubenville, it's actually much smaller.
6 It's less than 50 kilometers. One of the questions that
7 you asked me earlier and I thought you were going to ask
8 me the same question because I did answer it before was
9 that you asked me would we -- if, in fact, the mercury
10 that was the mercury that we see in the wet deposition
11 could we explain it by emissions of all elemental
12 mercury. If so, if the local power plants were only
13 emitting elemental mercury, could we explain our
14 deposition pattern? The answer is no. So, if all the
15 power plants only put out elemental mercury in the
16 entire region, then we could not explain our data, so
17 that's fairly important, so it really confirms the fact
18 that coal combustion sources are putting out a
19 significant amount of mercury in that reactive,
20 particulate form, and that's consistent with our
21 understanding and thought processes in the atmospheric
22 chemistry.

23 MR. RIESER: Would you read the last
24 part of that answer back, please?

1 (At which point, the previous answer
2 was read by the court reporter.)

3 MR. RIESER CONTINUES:

4 Q. That it's some portion of RGM and some
5 portion is elemental.

6 A. It's not an according to the model at all.
7 It's a confirming a point, in terms of our interpreting
8 our data.

9 Q. In what way?

10 A. Because our understanding of the chemistry
11 of elemental mercury is such that it would not see the
12 large amounts of mercury in the deposition that we see
13 based on just elemental mercury being the form that
14 would be in the precipitating systems that deposit the
15 mercury to Steubenville.

16 Q. In answer to Mr. Ayres' question I think
17 you changed something that you said before with respect
18 to your testimony, so I just need to confirm it. Right
19 at the end of your testimony, you talked about the
20 deposition of mercury having influence by large
21 precipitation and these events are associated with
22 emissions from local and regional sources, and we had a
23 long discussion about how those are defined, and you
24 define them in the meteorologic sense, and it was my

1 understanding that the combination of local and regional
2 implied the distance that had been using because it was
3 your phrase a thousand kilometers away, and since it can
4 come from anywhere, I'm thinking of a circle of a
5 thousand kilometer radius.

6 A. That's correct.

7 Q. So are you changing that definition of how
8 you're using "local" and "regional" in that sentence of
9 your testimony?

10 A. No. I gave a sub-answer. The answer to
11 that in the testimony is still correct. What I said was
12 that, for a number of the largest events, we determined
13 that they were coming from less than 50 kilometers away.
14 I said -- I did not make the general statement that all
15 of them were coming from less than 50 kilometers away,
16 so my general statement in my testimony is still
17 correct.

18 Q. And how are you able to determine that
19 they were less than 50 kilometers away?

20 A. Again, based on meteorological conditions
21 in those situations, meteorological conditions was such
22 that the transport was very slow, and storms did not
23 move very quickly, and so the spacial extent was very,
24 very isolated.

1 MR. HARLEY: Madam Hearing Officer,
2 out of deference to my peers who are actually being paid
3 to be here, we've elected to sit at the second table,
4 but I do want to point out that we have appeared at
5 these proceedings, and would be very grateful, even
6 though we are sitting at the second table, if we could
7 get copies of exhibits when they are passed around.

8 MADAM HEARING OFFICER: And I
9 apologize, Mr. Harley. I have not been looking up when
10 that's happening, and we'll see to it that you get
11 exhibits in the future. Keel.

12 MADAM HEARING OFFICER: Also, if we do
13 have problems getting copies of things, the EPA I know
14 has a copier here, as do we. We can get copies.

15 MR. KIM: We will make sure we have
16 copies for, at the very least, Mr. Harley.

17 MADAM HEARING OFFICER: With that, I
18 think we are ready to begin with the questioning again.
19 Are we ready for 7-H?

20 DR. KEELER: I answered 7-H.

21 MR. RIESER CONTINUES:

22 Q. I just have a couple. Is it your
23 understanding or belief from the data that you got that
24 this Steubenville the utilities that, say, within 50

1 kilometers of Steubenville are putting out -- are
2 emitting large amounts of RGM?

3 A. So you combined a number of statements
4 that I made into a new statement, which doesn't really
5 express what I said in the several independent
6 statements. A, the 50 kilometers was pertaining to a
7 different point, referring to a couple of the largest
8 precipitation events, and the second part of your
9 combined sentence was do I feel like there's a large
10 amount of RGM coming out of the power plants. That was
11 another statement in which I said we couldn't -- we
12 couldn't explain the large amount of mercury deposition
13 we see in our precipitation events based on local and
14 regional power facilities putting out all elements of
15 mercury that they had to have been putting out reactive
16 mercury for us to see that. I can't quantify the amount
17 of reactive mercury, but I did say that it was a
18 substantial amount of their emissions had to have been
19 in the reactive mercury form, so just to clarify, so I
20 didn't put those things together.

21 Q. Following up on that, you talked about a
22 20 percent global mercury I think was the phrase. Is
23 that correct?

24 A. 20 percent that came from --

1 Q. Global sources?

2 A. From distances greater than the regional
3 scale, let's say.

4 Q. How did you arrive at that number?

5 A. Well, A, that was, approximately, the
6 difference in my -- it really is a difference, if you
7 begin looking at the amount of deposition at sites that
8 are west of the Mississippi, and at periods where we get
9 what I would call -- I call them clean air sectors or
10 transports from directions where there aren't a lot of
11 sources. We get fairly low deposition amounts and
12 because we don't see strong tracer signals from those
13 precipitation samples and we get transport from, say,
14 the northwest out of Canada, but we still see some
15 mercury. It appears to me that that's something that
16 could be from oxidation of mercury that was transported
17 over long distances, so the absence of strong tracers in
18 this small amount of mercury almost always is visible in
19 this very small mercury events, and that's where I kind
20 of have a sense for 20.

21 Again, I didn't mean to be
22 quantitative that the 20 percent is our estimate at
23 Steubenville. That's not what I said. I said there
24 could be something on the order of 20 percent

1 contributing to a background over the Great Lakes
2 region. But again, the importance of that background is
3 going to vary over a time period. Clearly, that's a
4 small signal in Steubenville compared to what we see
5 from the local coal-fired utilities compared to the
6 local and regional utilities.

7 MADAM HEARING OFFICER: You need to
8 identify yourself.

9 MR. RIESER: Let's go on to eight,
10 please.

11 MADAM HEARING OFFICER: Mr. Zabel and
12 then Mr. Harley.

13 MR. ZABEL CONTINUES:

14 Q. Before we go on to eight, Dr. Keeler, I
15 can follow this at all. You have a monitoring station
16 at which you take a sample. You analyze that sample for
17 mercury. I'm talking about Steubenville now.

18 A. The precipitation source assessment?

19 Q. Yes.

20 A. Yes. We collect precipitation samples,
21 and we analyze those samples for mercury, a suite
22 (phonetic) of trace elements and major ions.

23 Q. Just somewhat of an aside, is that total
24 mercury?

1 A. It is total mercury.

2 Q. And you analyze it, as you said, for the
3 trace elements that, I assume, have been fingerprinted
4 to specific source types. Is that correct?

5 A. I'm sorry. I don't understand your
6 question.

7 Q. Earlier you talked about fingerprinting
8 specific source types.

9 MADAM HEARING OFFICER: I think he
10 used the word "signature."

11 DR. KEELER: That's fine, source
12 signature, same thing.

13 Q. Specific source types by trace elements.
14 Is that correct?

15 A. That's correct.

16 Q. So you now analyze the sample for the
17 mercury content and the trace element content. Is it
18 through that trace element and your model that you
19 allocate the quantity of mercury among those source
20 types?

21 A. It's all of the chemical composition, the
22 major ions, the elemental composition, and the mercury,
23 and the PMF, or unmixed models that deconvolute this
24 sample's contributions back to the sources that

1 contributed, yes.

2 Q. So whatever algorithm you've got built
3 into that model will say X percentage of that came from
4 coal-fired power plants. Is that correct?

5 A. It identifies the source which then we use
6 our understanding of the chemical signatures to identify
7 that source, yes.

8 Q. What do you do with that global portion
9 that you mentioned a moment ago?

10 A. Well, the global portion is usually in the
11 unexplained category.

12 Q. How big is the unexplained category?

13 A. In this case, that's where I got the 20
14 percent factor.

15 Q. I guess what -- and maybe this is built
16 into the trace element analysis is you've got an
17 analysis of all those other elements to a apportion the
18 mercury. Why don't you apportion 100 percent of it?

19 A. You can only apportion the amount of
20 mercury that has a relationship with these other
21 elements, so if there are -- so if the case -- if, in
22 fact, it's a mercury form that was chemically
23 transformed in the atmosphere, just been floating around
24 and other trace elements which were there were removed,

1 so it's just this gaseous elemental mercury that's
2 floating around the earth, and then it chemically gets
3 transformed because it gets removed, it would not have
4 the same tracer to go with it, so therefore, it would
5 not be able to -- the model would not statistically be
6 able to separate it out as a new factor, so basically,
7 it gets in the unexplained category.

8 Q. I guess I'm having trouble getting around
9 the unexplained category, Doctor.

10 A. If you think about in terms of a
11 regression analysis, when you do a regression, and you
12 can explain your R squared is .86. it tells you that 14
13 percent of the variance in your data is unexplained.
14 That's what I'm trying to say.

15 Q. Now I understand. Thank you.

16 MR. HARLEY CONTINUES:

17 Q. Based on your testimony, I feel very bad
18 for Steubenville, Ohio. I'm not sure. That's my
19 question. In your opinion, is there any reason to
20 believe there is a disproportionate or preferential
21 mercury deposition on Steubenville, Ohio, by comparison
22 to other similarly situated towns?

23 A. No. There is nothing unique about
24 Steubenville, Ohio, that would make it stand out or be

1 unique, in terms of it receiving some unusual amount of
2 mercury deposition. The quantity of deposition that's
3 received there is really a function of its geographical
4 location in the United States. The fact that the
5 precipitation and the storms that bring the
6 precipitation have an orientation that go from the
7 south, southwest, up to the Steubenville location, and
8 then right now, it's all of those factors taken
9 together. The high density of emissions, together with
10 the way that the storm tracks -- storm tracks follow
11 that makes Steubenville a place that receives high
12 mercury deposition. There's nothing in particular or
13 special about it.

14 MADAM HEARING OFFICER: Ready to move
15 on to question eight? Mr. Bonebrake.

16 MR. BONEBRAKE CONTINUES:

17 Q. One follow-up. The 20 percent unexplained
18 portion that you were just discussing with Mr. Zabel, is
19 that all the positive is RGM?

20 A. I'm sorry. I must not be making myself
21 clear, then. The 20 percent we were talking about was
22 in reference to precipitation deposition. We were
23 talking about an unexplained amount of mercury that was
24 in the deposition that we can't account, in terms of

1 saying, "It came from this source or that source."
2 Partly, that's because of the uncertainty in the
3 calculations and everything else, but it doesn't
4 really -- I can't say that it's related to RGM or that
5 it's in an RGM form, or anything like that, so I think I
6 confused you somehow.

7 Q. So but that 20 percent portion you don't
8 know of what type of mercury is comprised?

9 A. That's total mercury assessment, so the
10 total amount of mercury that's in the precipitation
11 sample 80 percent of it we can explain and 20 percent of
12 it we can't.

13 Q. I understand that what I'm --

14 A. I mean, most of it is going to be in the
15 oxidized form. When we do that type of analysis where
16 we speciate the mercury from just a total mercury to
17 whether it's particulate or dissolved or reactive we
18 wind up getting a predominantly larger amount of
19 oxidized mercury in that sample. It will be 70 to 80
20 percent oxidized mercury. Some of it is particulate,
21 but we don't put much credence in that because, in order
22 to really get at the specific numbers -- and that's not
23 in the paper, and has no bearing on the calculations.
24 It doesn't come into account at all. It's just that

1 sample is not taken in the way to be able to look at
2 that number, specifically, and it's not important to us,
3 but it does wind up being in an oxidized mercury form in
4 the rain, so question 8 --

5 MR. RIESER CONTINUES:

6 Q. Just as a follow-up on Mr. Harley's
7 question, this is question is asked later, but I think
8 it makes sense to ask it here.

9 MADAM HEARING OFFICER: Could you
10 identify what question it is later, so we can mark it
11 off the list, please.

12 MR. RIESER: This would be 13 A and B,
13 "How many coal-fired power generating units are located
14 within 50 miles of Steubenville and what is the combined
15 capacity in megawatts of these units?" These are the
16 questions.

17 DR. KEELER: Again, the information I
18 have available to me, or whatever, is the information I
19 would have to go to the website and pull it off from EPA
20 from the 1999 ICR. I mean, I have got that information
21 back in my lab, but -- it wasn't pertinent, in terms of
22 defining my conclusions, or whatever. We used that
23 information, and we have -- I can provide you with a
24 map, if you would like, that shows the sources as

1 provided by EPA, but the megawatt capacity and so forth,
2 I don't have that.

3 MR. RIESER CONTINUES:

4 Q. It wasn't important to your study?

5 A. It wasn't important in this -- obviously,
6 it is important, in terms of those plants are emitting
7 mercury, but it's not important, in terms of the
8 conclusions that I drew because I don't look at
9 individual plant information at all. In the modeling
10 studies that I do, I don't need that information for
11 receptor modeling, you need that for deterministic
12 models.

13 DR. KEELER: Question 8: "On page 81,
14 the TSD states that you suggest `the lifetime of
15 elemental mercury in the atmosphere is likely much
16 stronger than previously believed.'"

17 MR. RIESER CONTINUES:

18 Q. That should be "shorter."

19 A. Because my answer was no, that's not an
20 accurate statement of my testimony.

21 Q. Fair enough.

22 A. So the question should be it's likely much
23 shorter than previously believed?

24 Q. Correct. Is that an accurate statement?

1 A. Yes. I believe it is an accurate
2 statement. B: "What is the basis for that statement?"
3 One of the biggest uncertainties in all of the mercury
4 modeling and to understanding mercury chemistry at this
5 point is the rates of reaction for mercury in the
6 atmosphere. We learned through work that our colleagues
7 have done in the Arctic that elemental mercury can very
8 rapidly on a time frame of almost instantaneously react
9 with atmospheric halogens, bromine and chlorine in the
10 atmosphere to transform the elemental mercury to
11 reactive mercury and deposit to the surface of the snow
12 pack in such a way that all the elemental mercury is
13 depleted from the air over the course of hours. It's a
14 very interesting phenomenon that occurs at Arctic
15 sunrise. This really got the mercury world shook up
16 because it was something that we hadn't anticipated.
17 Most of the work that had been done prior to that
18 suggested that mercury chemistry was really slow, that
19 it would take days and days for you to oxidize mercury
20 and convert it from one form to another. Over the past
21 several years, we have learned that we have a poor
22 understanding of the mercury chemistry, that we don't
23 understand what chemicals and what compounds are
24 oxidizing mercury, and through the work of a large

1 number of scientists, we now know that mercury can
2 transform to the atmosphere from one form to the other.
3 It can be both oxidized and can be reduced and that
4 chemistry suggests that, in certain environments, such
5 as downwind of urban areas, that you can actually get
6 rapid oxidation of the mercury. By "rapid" there I
7 don't mean like in the Arctic, instantaneous. I mean
8 over the course of hours. In the same type of time
9 frame that is introduced in regional transport, you can
10 get transformation of elemental mercury to reactive
11 mercury, and so that would then shorten up the lifetime
12 of mercury in the atmosphere and that's the basis for my
13 statement.

14 Q. Has that phenomenon been observed anywhere
15 other than in the Arctic or marine-boundary
16 environments?

17 A. The phenomenon with the halogens is
18 something that has not been documented anywhere, but in
19 the Arctic, and in some cases, in the marine boundary
20 layer. We have not seen it in the marine boundary
21 layer, by the way. We have made our own measurements
22 and don't see that phenomenon, but others claim that
23 they do, but that's -- the reason for that is it's
24 associated with the Arctic sunrise. The whole winter

1 it's dark. The chemicals build up in the snow and ice.
2 The sun comes out, and all those chemicals get released.
3 It's a rapid explosion of all these chemical reactions
4 together with the ice that's there, so that's a very
5 different phenomenon. We do see in Michigan at our
6 sites and in Steubenville evidence of atmospheric
7 chemistry taking place where elemental mercury is
8 changing into reactive mercury, so we have observational
9 evidence of this happening, and we're in the process of
10 trying to define that better by improving our models, so
11 we can describe that, but it's something that is fairly
12 new, and not everyone has included those processes in
13 their models.

14 Q. Are reductions happening, as well, from
15 that?

16 A. Yes, they do. Reduction does occur. It
17 occurs in cloud water, and it's thought to occur in
18 other situations, as well, although we have not seen
19 those -- or those reduction reactions occur in our
20 observational studies, but we do see reduction occurring
21 in cloud water, and it's fairly important reaction in
22 terms of our cloud chemistry.

23 Q. Thank you.

24 DR. KEELER: Question 9 I think. "In

1 your testimony you discuss the U.S. EPA's there's a --
2 C-MAQ model to determine the impact of domestic mercury
3 sources on atmospheric mercury deposition. A: Are you
4 familiar with the Team model used to perform some of the
5 model Michigan report?" Yes. B: "Do your comments
6 regarding C-MAQ also apply to Team?" Could you be
7 specific about what comments you are referring to?

8 MR. RIESER CONTINUES:

9 Q. The comments with respect to its
10 uncertainties.

11 A. Yes. My comments are the same. I would
12 say that all Eulerian deterministic source oriented
13 models suffer from similar large uncertainties due to
14 the fact that they, A, don't adequately describe the
15 physical and chemical processes that control the
16 behavior of mercury in the atmosphere or the
17 interactions of mercury with the surface of the earth,
18 so I would say that they are all equally uncertain -- I
19 shouldn't say they are equally uncertain. They all
20 share in that large uncertainty an inability to model
21 mercury transport and fate.

22 Q. Is that a larger uncertainty than other
23 deterministic models, for example, the model used in the
24 Everglades?

1 A. No. I would say that the uncertainties in
2 all of these models are quite large, and again, models
3 are a tool, and you use the tool that you have at your
4 disposal, and when we did the work in the Everglades,
5 the model that we used was, at that time, the best
6 developed tool that we had. If we were to go back and
7 redo that analysis, we would have used a more
8 sophisticated tool, and redo that in a different, so
9 they are all very uncertain. What we know now that we
10 didn't know then is that we were really off in our
11 understanding of atmospheric chemistry.

12 Q. You didn't know that at the time of the
13 Everglades?

14 A. At the Everglades, yes.

15 Q. What ways were you off, in terms of the --

16 A. We really didn't understand the complexity
17 in the mercury chemistry at that time. We felt that the
18 reaction ratings were slow enough where chemistry wasn't
19 important. We didn't consider vertical redistribution
20 of mercury in ways where I think we should have. So
21 there's lot of uncertainties we have learned a lot over
22 the last 10 to 12 years that made me feel even more
23 uncertain about where we are at with the modeling.

24 Q. The C-MAQ model has been through several

1 versions and several episodes of peer review, has it
2 not?

3 A. I don't know that that's correct. To my
4 knowledge, unlike the receptor models, which have been
5 through exhaustive peer review, and so forth, C-MAQ, to
6 my knowledge, has been part of several inner
7 comparisons, but I do not believe that it has undergone
8 the same Agency verification and validation that, let's
9 say, that the RATA (phonetic) model did back in the acid
10 rain days.

11 MR. BONEBRAKE CONTINUES:

12 Q. You mentioned that you had some concerns
13 about uncertainties in the model used in the Florida
14 Study. Also, that you had acquired some additional
15 knowledge pertaining to some of the factors related to
16 that model, Dr. Keeler?

17 A. I'm sorry. I apologize. Could you re-ask
18 the question.

19 (At which point, the prior question
20 was read by the court reporter.)

21 DR. KEELER: I don't have concerns
22 over the use of the model, or in fact, if I went back, I
23 don't think I would change any of my conclusions based
24 on what I know now. I would just use a different model,

1 knowing the uncertainties of the chemistry are as large
2 as they are.

3 Q. Those uncertainties in chemistry, if you
4 were to re-run if same -- use the same model and re-run
5 the model, but would you change some inputs to the model
6 based on the additional information you have available
7 to you today?

8 A. Actually, I made that statement trying to
9 make the point that we have a -- we have increased our
10 understanding of the chemistry tremendously to the point
11 that, to apply a model such as that one anymore, would
12 not be the best model choice. It turns out, because
13 almost all the mercury that was emitted from the
14 incinerators came out in the reactive form, and the
15 reduction reactions that we understand that are
16 important in cloud, really don't -- wouldn't cause us to
17 change our answers at all, that, in fact, the modeling
18 we did in Florida probably would stand up pretty well.
19 If we were to re-do it, we wouldn't have to re-do much.
20 The things that we know now are much more important, in
21 terms of looking at the super long range, so global
22 redistribution, and really looking downwind of major
23 urban areas, so regional oxygen chemistry, which again,
24 Florida does not have very high oxygen levels. The

1 levels of ozone are extremely low, for the most part, in
2 South Florida.

3 Q. If I understand that correctly, you are
4 saying the uncertainties you talked about are related
5 primarily to global transport issues?

6 A. Global transport and urban chemistry type
7 reaction.

8 Q. Doesn't global transport have an impact on
9 local deposition?

10 A. Doesn't global transport have an impact on
11 local deposition? I'm not sure why you would call it --
12 does global transport have an impact on deposition
13 everywhere? Is that what you're asking me?

14 Q. At any particular location, some portion
15 of what's being deposited at that location may be
16 derived from a source outside of the region, as you have
17 described it, right?

18 A. Every place that you have mercury there is
19 a probability that some of that mercury came from an
20 area that you would say is not in the local or regional
21 area surrounding that site, and that mercury could have
22 come from a source that was located on the other side of
23 the globe, or it could have come from a molecule of
24 mercury that was emitted from a plant down the road that

1 went around the globe once, and got reemitted and came
2 back, and we can't differentiate that mercury, so the
3 global pool is a combination of mercury that was emitted
4 by our sources, our coal-fired utilities, our
5 incinerators, as well as those that were emitted from
6 Chinese power plants and incinerators, and no, I cannot
7 rule out any one location. Some mercury is part of that
8 reemission or long range transport of emissions from
9 some place else.

10 DR. KEELER: Question C: "Are you
11 aware of whether the Team results have been validated
12 against MDN data." It's not typical for one researcher
13 to look into the validation of someone else's use of
14 their own model. When one uses the model, or one
15 develops their own modeling application, we try to
16 validate our own work, and so I'm not intimately aware
17 of what validation has been done by the Team model. I
18 have read the peer-reviewed literature papers that have
19 been published on the Team model. The word "validate"
20 means different things to different people, and showing
21 a comparison of predicted wet deposition versus MDN wet
22 deposition, to me, is not validation. It's a
23 comparison, so but that doesn't mean that that model
24 hasn't been validated. I'm not aware of any validation

1 of that model, but it may or may not have been.

2 Q. Why would that constitute a
3 validation?

4 A. "Validation" has a very specific meaning
5 when it comes to models, and in comparison of one part
6 of the model, output is not validation. Validation
7 suggests that you have compared the basic mechanisms and
8 processes in the model in a way that you can point to
9 real observations, and say that the model
10 subparameterizations are replicating reality. I can run
11 a model that will just use precipitation amount, and
12 predict with the same R squared the amount of mercury
13 deposition that you could get at almost any spot and you
14 could say, "Gee, I got the supermodel, and there's my
15 comparison, so I validated it," but to me, I'm not
16 describing anything. I'm just doing a statistical
17 explanation, so if you look in the model in literature,
18 and look at where models are actually validated, which
19 means you take the same input data and same emissions
20 data and same meteorological data, and you run models,
21 and you have various checks that you can make on the
22 model output at various steps to verify and validate
23 that the model is actually doing what you think it is
24 doing. That's a validation process, and again, the

1 model might have been validated. I have read the
2 peer-reviewed literature papers, and I have no basis of
3 knowing whether a validation was done or not.

4 DR. KEELER: D: "Are the
5 uncertainties" -- I already identified that -- answered
6 that one. D is no.

7 MR. RIESER CONTINUES:

8 Q. Are there difference levels of uncertainty
9 between the two?

10 A. Between C-MAQ and Team? Is that --

11 Q. No, between the receptor study and the
12 C-MAQ model?

13 A. Are there different levels of uncertainty?
14 I would say yes.

15 Q. In what way?

16 A. Again, understanding that I'm wearing two
17 hats. I'm the modeler and a measurement person, so I
18 don't want to criticize myself. I'm going to criticize
19 the other side, so I'm not trying to pick on one, versus
20 the other. In order to be able to model from a source
21 perspective, the fate and transport and deposition of a
22 pollutant, one needs to understand all of the processes
23 one has to understand the emissions, in terms of the
24 speciation; one has to understand the chemistry; one has

1 to understand the processing of the mercury and the
2 clouds; and one has to understand how the gas molecules
3 are interacting with the surface, all of this. That's a
4 lot of science. There's a lot there, and based on my
5 measurements, I would say that the uncertainties and our
6 ability to define the rates of chemical reaction of
7 mercury in the atmosphere and the rates of deposition of
8 mercury in the atmosphere, those uncertainties are much
9 greater than the uncertainties in our measurement
10 capabilities, much greater. I mean I would say that
11 borders a magnitude greater in source modeling than we
12 are in receptor modeling, so the two are completely
13 different.

14 Q. When you talk about the source modeling,
15 that includes the component that involves the
16 meteorologic model. Is that what you are doing?

17 A. No. Source modeling is C-MAQ and Team --

18 Q. I'm sorry, receptor modeling. I misspoke

19 A. No. When you are talking about
20 meteorologic modeling, again, we are using meteorologic
21 observations to do that. Trajectory modeling has
22 inherent it an uncertainty based on the time resolution
23 and the spacial resolution of the data that's collected
24 from the National Weather Service, and that uncertainty

1 is fairly well documented. People have been attacking
2 trajectory modeling for 25 years, so there's pretty good
3 literature describing biases and uncertainties in
4 trajectory calculations and how they would affect
5 prediction models.

6 Q. Does your receptor model account for the
7 non-linear transformations between the different forms
8 of mercury in the atmosphere between the source and
9 receptor?

10 A. The PMF and unmixed models do not have a
11 chemical transformation term in them. So they don't
12 take into account transformations, so that if there was
13 some phenomenon that one could come up with, which,
14 basically, what we do is we try to understand is there
15 some non-linear relationship that could occur and how
16 would that effect it, and in doing that analysis, if you
17 could come up with something that you could say would be
18 non-linear relationship you would have to figure out how
19 that would impact the relationship of the data at your
20 site, and that's inherent in the uncertainty analysis
21 that we do, but no, the models do not take into account
22 uncertainty -- or I mean, non-linear transformations.

23 DR. KEELER: Question E: "Can the
24 source receptor approach be used to predict the impact

1 of different regulatory approaches on mercury
2 deposition?" Not directly. Unlike a source model where
3 you can vary the emissions in the inventory, and say,
4 let's cut mercury emissions from some sector, and then
5 re-run the model, and then see what the difference is.
6 Receptor modeling only takes the observed results and
7 works backwards for telling you how much came from each
8 source sector, but it is -- it's a linear process, so
9 that you could say, if you were to cut mercury emissions
10 from that source, that it would a commensurate impact,
11 in terms of the contributions to the sample in that --
12 at that site, so it doesn't allow you to prognosticate.
13 You can't look into the future. I can't model 20/20,
14 for example, using a receptor modeling approach.

15 Question F: "In using the source
16 receptor approach, do you typically attempt to correlate
17 your results with findings from available atmospheric
18 deposition modeling?" Because we're using observations,
19 and working backwards to come up with a source, we do
20 try to go out and look at whether anyone else has
21 predicted source-receptor relationships to see how well
22 we are doing. In the case of all of our studies, we,
23 generally, try to do that. With mercury now, there are
24 more predictions coming out, but in the past, there

1 haven't been all that many, but yes, we do.

2 MR. RIESER CONTINUES:

3 Q. Have you done that with respect to
4 Steubenville?

5 A. Only in the respect that we did make a
6 comparison with what -- the results that were put
7 together by U.S. EPA using their CMAQ model.

8 Q. What was the result of that comparison?

9 A. The CMAQ model, which went into the CAMR
10 rule modeling, found that, for Steubenville, coal-fired
11 utility boilers contributed 43 percent of the mercury
12 deposition in the grid square where Steubenville is, and
13 the grid square was a 36-kilometer grid square, so 36 by
14 36 kilometers, so that number is an average of that grid
15 square. The only thing, and the biggest caveat here is
16 that those results were for the calendar year 2001. The
17 results that I have quoted here today were for our
18 modeling for the years 2003-2004, so it's really
19 comparing apples and oranges, but to get a sense for
20 how well CMAQ was doing, we made that comparison, so you
21 can't directly compare the 43 percent from the CMAQ
22 model to what we did because it's different years, and
23 the meteorology is very, very different, and since we
24 saw 13.2, or whatever it was in 2003, and 19.8 in 2004,

1 that there's a significant big uncertainty just from one
2 year to another, so comparing apples to oranges isn't a
3 good idea, but that's the only data that was available.

4 Q. Is there an uncertainty factor associated
5 with the 70 percent number that you have talked about
6 with respect to Steubenville?

7 A. What's the uncertainty number?

8 Q. We'll leave that for later.

9 DR. KEELER: G: "What steps have you
10 taken to evaluate the accuracy of the Steubenville
11 results?" As I mentioned earlier, one of the strengths
12 of our study really has been the extensive peer review
13 that was completed by EPA in its external reviewers. As
14 I mentioned, we provided the raw data and the models to
15 the external reviewers to re-run the models, and to use
16 whatever other tools they had at their disposal to
17 evaluate the conclusions and the raw quantitative
18 answers that we gave, and when we were given back those
19 results, and when they gave us our report, they,
20 basically, confirmed our numbers and said that these
21 were very solid, robust answers. The conclusions that
22 we got were very strong, and I would say that's a very
23 strong indication of the quality and accuracy of the
24 work that we are doing. Also, I should say, in terms of

1 evaluating the accuracy of the predictions, one of the
2 things we did is we went and looked at, again, the EPA
3 emissions inventory for, basically, for the whole
4 Midwest going from east of the Mississippi, and if you
5 look at that emissions database, and look at what is
6 burning coal and where in the greater vicinity, almost
7 all of the coal burned in the Midwest -- I don't
8 remember the exact figure, but a large majority of it is
9 burned by utility boilers, which again, kind of goes
10 along with the answers that we found from our receptor
11 modeling.

12 Q. I'm sorry. When you use the term
13 "vicinity" that --

14 A. Like I said, east of the Mississippi.

15 Q. The peer review, that's external to the
16 EPA. Is that a specific body, like the NAS, or somebody
17 like that?

18 A. EPA hired a contractor to ask for
19 independent review from three independent scientists who
20 felt they had the qualifications. I wasn't involved in
21 that. I have no idea how they went through the
22 selection process. None of the EPA people that were
23 involved in that study were involved in that peer review
24 section. I had no control over that, so these were

1 independent scientists who had modeling measurement and
2 source-receptor relationship qualifications.

3 DR. KEELER: Question H: "Are there
4 any studies that evaluate source-receptor studies?" I
5 think I mentioned before the EPA has been involved in a
6 number of, basically, model innercomparisons and
7 evaluations for the receptor models over the last 15
8 years, and those are documented in the peer review
9 literature, and yes, there are plenty of those, and
10 there's also been a lot of work being done as far as the
11 receptor modeling developed by EPA.

12 MR. RIESER CONTINUES:

13 Q. But it's accurate that those prior
14 receptor models didn't address mercury, correct?

15 A. Some of them did.

16 Q. Which ones?

17 A. I'm trying to think now. I think the
18 Hopke Group applied PMF, I think it was, looking at -- I
19 think it was mercury, and he also applied a
20 trajectory-based approach -- PSCF I think it's called --
21 applied to mercury measurements that they made in New
22 York.

23 Q. Do you know when those were performed?

24 A. I, honestly, don't recall.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

MADAM HEARING OFFICER: I think we'll
-- five o'clock has arrived. We have finished -- we're
at Question No. 10.

1 STATE OF ILLINOIS)
2 COUNTY OF ST. CLAIR)SS
3

4 I, Holly A. Schmid, a Notary Public in
5 and for the County of Williamson, DO HEREBY CERTIFY that
6 pursuant to agreement between counsel there appeared
7 before me on June 16 and 17, 2006, at the office of the
8 Illinois Pollution Control Board, Springfield, Illinois,
9 Dr. Gerald Keeler, who was first duly sworn by me to
10 testify the whole truth of his knowledge touching upon
11 the matter in controversy aforesaid so far as he should
12 be examined and his examination was taken by me in
13 shorthand and afterwards transcribed upon the typewriter
14 (but not signed by the deponent, and said testimony is
15 herewith returned.

16 IN WITNESS WHEREOF I have hereunto set
17 my hand and affixed my Notarial Seal this 25th day of
18 June, 2006.

19 _____
20 HOLLY A. SCHMID
21 Notary Public -- CSR
22 084-98-254587

23
24