

1 ILLINOIS POLLUTION CONTROL BOARD  
2 June 21, 2006

3 IN THE MATTER OF )  
4 )  
5 PROPOSED NEW 35 ILL. ADM. CODE) R06-25  
6 225 CONTROL OF EMISSIONS FROM) (Rulemaking - Air)  
7 LARGE COMBUSTION SOURCES )  
8 (MERCURY) )

9  
10 TESTIMONY OF DAVID FORTER  
11 and SID NELSON

12 BEFORE MARIE E. TIPSORD  
13 HEARING OFFICER  
14

15  
16 The testimony of David Forter and Sid  
17 Nelson, witnesses called in the rulemaking proceeding  
18 before the Illinois Pollution Control Board taken on  
19 June 21, 2006, at 9:00 a.m., at the offices of the  
20 Environmental Protection Agency, Springfield, Illinois,  
21 before Holly A. Schmid, Notary Public and Certified  
22 Shorthand Reporter, CSR No. 084-98-254587 for the State  
23 of Illinois.  
24

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

A P P E A R A N C E S

MEMBERS OF THE ILLINOIS POLLUTION CONTROL BOARD:  
Ms. Marie E. Tipsord, Hearing Officer;  
Dr. G. Tanner Girard, Board Member;  
Ms. Andrea S. Moore, Board Member;  
Mr. Anand Rao, Board Staff;  
Mr. Thomas Johnson, Board Staff;  
Mr. Tim Fox, Board Staff;  
Mr. Nicholas Melas, Board Staff;  
Ms. Alisa Liu, Board Staff.

COUNSEL FOR THE ILLINOIS  
ENVIRONMENTAL PROTECTION AGENCY:  
Mr. Charles Matoesian;  
Ms. Gina Roccaforte;  
Mr. John Kim;  
Mr. Richard Ayres;

COUNSEL FROM SCHIFF-HARDEN  
Ms. Kathleen Bassi;  
Mr. Stephen Bonebrake;  
Mr. Sheldon Zabel;  
Mr. Jim Ingram, Dynegy, Inc.

COUNSEL FROM JENNER & BLOCK  
Mr. Bill Forcade;  
Ms. Katherine Rahill.

COUNSEL FROM McGUIRE-WOODS:  
Mr. James Harrington;  
Mr. David Rieser;

COUNSEL FROM CHICAGO LEGAL CLINIC  
Mr. Keith I. Harley

E X H I B I T S

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

IDENTIFICATION

PG.

Exhibit 45	15
Exhibit 46	33
Exhibit 47	89
Exhibit 48	120
Exhibit 49	122

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

everyone. Welcome back. This is day seven I believe of our continuing -- eight. No. This is only Wednesday. Oh, yeah, it is day eight. So let's get on with it.

I'm Maria Tipsord. With us today are Andrea Moore and Dr. Tanner Girard, the presiding board members. Also present is Alisa Liu from our technical unit and Tim Fox who is Andrea Moore's assistant. Connie Newman and Erin Conley are going to be in and out today. Erin is working on some other actual board business, believe it or not, and John Knittle will also be in and out because he, too, also has the other board business to do. I can't believe there's anything else going on, personally.

We are going to continue with Mr. Nelson who is under oath. We will proceed with Kinkade Question No. 2. Before we do that, in speaking to Mr. Kim and the Agency, it's my understanding that they would like to and are hopeful that the schedule today will be the completion of Mr. Nelson, proceeding Mr. Porter and then Dr. Hausman and finishing with Dr. Hausman today, so that we could start with Dr. Staudt tomorrow. Given that, and given that I had already indicated that we would go late tonight, if it

1 looks like we are going to finish up with Dr. Hausman as  
2 the day proceeds, we may even go a little later than  
3 seven. I'm not going to keep you here until 10, but if  
4 it looks like we can finish up in another half hour at  
5 seven o'clock, we will finish and start with Dr. Staudt  
6 in the morning. That being said, Mr. Forcade.

7 CROSS EXAMINATION BY MR. FORCADE:

8 Q. Before we go to Question 2, I have some  
9 follow-up questions, if I could.

10 MADAM HEARING OFFICER: Follow-up  
11 questions to Question No. 1.

12 MR. FORCADE CONTINUES:

13 Q. Mr. Nelson, could you tell me what your  
14 degree in engineering -- what field or areas your  
15 engineering degree is in.

16 A. Technically, on the diploma, it says  
17 "Mining Engineering." It's from Penn State, which is a  
18 coal kind of university. I was in the mineral  
19 processing option of that, so --

20 Q. I'm sorry?

21 A. Mineral processing engineering, so.

22 Q. What courses in deposition modeling have  
23 you taken at an educational institution?

24 A. I don't have courses in deposition

1 modeling, but I spent four years at Harvard Kennedy  
2 School of Government. Much of that is a Kennedy Fellow  
3 of Science Technology and Public Policy where I do have  
4 quite a bit of experience in distilling science and  
5 technology in applying that to public policy issues.

6 Q. Did you take any educational courses at  
7 Harvard in atmospheric chemistry, deposition modeling,  
8 or similar matters?

9 A. No.

10 Q. Do you have any educational courses that  
11 you have taken on those topics?

12 A. No.

13 MADAM HEARING OFFICER: Question No.  
14 2.

15 MR. NELSON: Question No. 2: "Have  
16 you reviewed Dr. Staudt's testimony?" Yes, I have. "If  
17 so did you rely on Dr. Staudt's testimony in forming any  
18 opinions or testimony?" No, I did not. So B and C  
19 don't apply. No. 3: "Have you reviewed the TSD?" Yes,  
20 I have. "If so, did you rely on the TSD in forming any  
21 opinions or testimony?" No, I have not, so B and C,  
22 again, don't apply.

23 MR. FORCADE CONTINUES:

24 Q. Mr. Nelson, I believe you indicated that

1           you have been provided a copy of the TSD at the early  
2           stages of your connection with the Illinois EPA relating  
3           to this matter. Is that correct?

4           A.     I got an E-mail with it included, yes.

5           Q.     Would it then be safe to say that you had  
6           no part in writing the sections of the TSD because you  
7           received a copy prior to being retained?

8           A.     That would be correct. I had nothing to  
9           do with writing it.

10          Q.     So you had no part in drafting the TSD?

11          A.     None at all.

12                         MR. NELSON: No. 4: "Have you  
13           reviewed the ISF report?" No, I haven't, so the rest of  
14           that is not applicable. Have you reviewed the  
15           information required by the Agency from any of site  
16           inspections at each of the Illinois coal power plants  
17           during the control configuration inspections during late  
18           April and early May of 2006?" I hadn't, until I got  
19           this question and then I asked for this data and some of  
20           it was provided to me. No. 6: "Did you assist in  
21           writing any portion of the TSD, and if so, which  
22           sections? No. I did not participate in that.

23                         CROSS EXAMINATION BY MS. BASSI:

24          Q.     On Question No. 5, you said you had not

1       seen the control configuration inspection reports, until  
2       you got the question, and then you -- some of it was  
3       provided to you?

4             A.     Yeah.  It came by E-mail and the file was  
5       too big, so I got an edited version of it with most of  
6       the data.  A lot of the -- some of the graphics were  
7       very large, and they weren't included, so they couldn't  
8       get it to me by E-mail.

9             Q.     Did someone -- did someone who was sending  
10       it to you edit it?  Is that what you're saying?

11            A.     Just to get the file size down.  Again, it  
12       was photographs that were missing, and they take up a  
13       lot of room.

14            Q.     The photographs were missing?

15            A.     Most of the photographs.

16            Q.     Who did the editing?

17            A.     Dr. Staudt is the one who sent it to me.  
18       He broke it into a couple files because, like I said, it  
19       was a very large file.

20                   MR. FORCADE CONTINUES:

21            Q.     You said that most of the photographs were  
22       missing.  Does that imply that you reviewed the complete  
23       document at a later time and made comparisons.

24            A.     No.  The photographs were really



1 unnecessary.

2 Q. How did you know there were photographs  
3 there?

4 A. By the layout. There would be some notes  
5 about these inspections, and then there would be a  
6 drawing of the configuration, and then there would be  
7 photographs, and like, there were one or two photographs  
8 in there, but you would see a couple blank pages. I  
9 don't think it was missing anything particularly  
10 important.

11 MADAM HEARING OFFICER: I am going to  
12 shut this questioning off about what was contained in  
13 that because right now that's not an issue. He  
14 testified he didn't receive that, until after his  
15 testimony came in. So far there hasn't been any  
16 questioning to him about what that material means, and  
17 so what was in that material I'm not sure is relevant at  
18 this point because, at this point, he didn't review this  
19 when he got his testimony, and so far none of Kinkade's  
20 questions have asked him to draw conclusions from that  
21 information. I'm not sure we need to belabor what was  
22 in it.

23 CROSS EXAMINATION BY MR. BONEBRAKE:

24 Q. I have a related question. Yesterday in

1 Exhibit No. 44 was introduced into the record, and it's  
2 the first page entitled "Statewide Coal-Fired Electric  
3 Utilities" and I think, Mr. Nelson, you discussed this  
4 briefly yesterday. Was this document with all these  
5 pages something you prepared or was it provided to you  
6 by somebody?

7 A. It was provided to me. I had no hand in  
8 preparing it. I had asked for an update for my own data  
9 as to what the configurations of the various plants were  
10 and what -- there's coal data in there, what kind of  
11 coals they are burning.

12 Q. And exhibit 44 -- you may have mentioned  
13 this yesterday and if so, I missed it, but when was it  
14 that you received Exhibit 44?

15 MADAM HEARING OFFICER: He did say the  
16 date on the document that he received was sometime in  
17 March, I believe, March 3.

18 MR. NELSON: My document was March 6,  
19 so it was after March 6.

20 MADAM HEARING OFFICER: They are going  
21 to provide us with that actual document.

22 MR. BONEBRAKE CONTINUES:

23 Q. So there's two versions of this because  
24 the version that's been entered into the record is dated

1 May 30, `06. So have you done any independent  
2 investigation to confirm the information that's provided  
3 in Exhibit 44?

4 A. No, I haven't.

5 Q. Did you rely upon the information of  
6 Exhibit 44 or the earlier version of that exhibit?

7 A. In forming some of the opinions that I  
8 have, but not in forming my testimony. That was  
9 submitted earlier.

10 Q. So you have some additional opinions,  
11 above and beyond, what's in the testimony. Is that  
12 correct, that you're offering today?

13 A. Any information that I have gathered forms  
14 the opinions that I will express today. You can't help  
15 it. There are no real significant new information in  
16 there. A few more plants have switched to  
17 sub-bituminous coals that clarifies some of the  
18 configurations. There have been some updates with  
19 respect to some of the boiler types and things of that  
20 nature.

21 MS. BASSI CONTINUES:

22 Q. Going back, then, to "The Compliance  
23 Configuration Inspection Report, did that form your  
24 opinions?

1           A.     In particular, there's data in that on  
2           SO3, flue gas conditioning systems at numerous of the  
3           plants that are not in the fact sheets, so that would be  
4           some information that I've gathered within the last two  
5           weeks.

6           Q.     And does that inform your opinions that  
7           you are going to express today?

8           A.     Yes.

9           Q.     Was the copy of that report that you  
10          received redacted at all? Did it have parts of it that  
11          were blacked out?

12          A.     No. Nothing was blacked out, just a few  
13          missing photographs.

14                         MR. KIM: If I may, first of all, any  
15          documentation that Mr. Nelson looked at there might be  
16          one additional piece of information -- well, let me back  
17          up. My understanding is one of the compilation  
18          documents that we submitted yesterday, which is dated in  
19          May of `06, was not the version that Mr. Nelson looked  
20          at. He looked at a version that was dated two months  
21          later. We are in this process of tracking that down.  
22          I think the only distinction is the May one might have a  
23          little more information than the March one, but there's  
24          no conflicting information is my understanding. If

1       there is an additional piece of information that he  
2       might have received from Dr. Staudt that is not that  
3       document, we're going to copy that, and make that  
4       available, as well.  If that's the case, the only reason  
5       it hasn't been done is, frankly, we're just sort of  
6       drowning in paper on this, but that will be done, as  
7       well.  I don't understand the relevance about the  
8       pictures and so forth.  Whatever we present is going to  
9       have all the pictures that would ever be there, and if  
10      there's missing pictures that we didn't see we will take  
11      care of that.  Having said all that, and just to inject  
12      a little more confusion, our intent in presenting  
13      Mr. Nelson and David Forter of ICAC was that they would  
14      be addressing sort of, in tandem, issues concerning  
15      technology availability and such.  Mr. Forter, because  
16      of his organization's background, has a broader  
17      overview, and the questions I think, indeed, that were  
18      presented to him were a little more general in nature.  
19      Mr. Nelson has more specific questions.  He has a  
20      greater number of questions and more specific to perhaps  
21      his company's products and some specific technology  
22      applications.  I apologize, but because of some bad  
23      directions that Mr. Forter received, he was not here at  
24      exactly nine o'clock.  We would have put him on at nine

1 o'clock, especially since Mr. Nelson is only on Question  
2 this morning. If nobody has any objection, I would  
3 like to keep Mr. Nelson here at the table, so he can  
4 answer anything that comes up, but I would like to  
5 provide Mr. Forter because I'm hoping if he actually  
6 goes through his questions, which are shorter in length,  
7 but more general in nature, that might set some of the  
8 foundation for any questions that would be later  
9 answered by Mr. Nelson, and I apologize for jumping a  
10 little out of order, but I'm saying this now when we are  
11 only five or six questions into Mr. Nelson's testimony.  
12 If someone has a problem with that, we can continue on  
13 with this, but I'm just saying that I think  
14 Mr. Forter's questions and answers are probably a little  
15 more general in nature than some of the ones presented  
16 to Mr. Nelson.

17 MADAM HEARING OFFICER: Does anybody  
18 have any objection?

19 MR. KIM: They will both be together  
20 as a panel.

21 MADAM HEARING OFFICER: Then let's  
22 bring up Mr. Forter, and we will pick up on Question 7  
23 for Mr. Nelson.

24 MADAM HEARING OFFICER: I have been

1 handed a copy of David Forter's prefiled testimony. If  
2 there's no objection, we'll mark that as Exhibit No. 45.  
3 Seeing none, it's marked as Exhibit 45, and could we  
4 have Mr. Forter sworn in, please.

5 (Exhibit No. 45 was admitted.)

6 (At which point, Mr. David Forter was  
7 sworn in by the court reporter.)

8 MR. KIM: Mr. Forter hasn't been a  
9 party to any of the testimony that's happened so far, so  
10 he's fresh.

11 MADAM HEARING OFFICER: Then I believe  
12 Kinkade and Prairie State had one question, as well, but  
13 it's similar to Question 7 of Kinkade, so if you want,  
14 we will start with Kinkade.

15 MR. KIM: Thank you for the  
16 accommodation.

17 MADAM HEARING OFFICER: Mr. Forter,  
18 what we have been having the witness do is read the  
19 question and then respond to it.

20 MR. FORTER: I will read the question  
21 and then answer the question. "Did you receive any  
22 information from the Agency prior to forming any  
23 opinions, including, but not limited, to the opinions  
24 contained in your testimony? A, "If so, describe that

1 information in detail and if so, did you rely on the  
2 information in forming any opinions in your testimony?  
3 If so, specifically, what opinions or parts of the  
4 testimony did you rely on the information that you  
5 received from the Agency." The body of the question is,  
6 "Did you receive any information from the Agency prior  
7 to forming any opinions, including, but not limited, to  
8 the opinions contained in your testimony?" And the  
9 answer is no. Question No. 2: "Have you reviewed  
10 Dr. Staudt's testimony? If so, did you" -- the answer  
11 is no. Actually, I haven't. "If so, did you rely on  
12 Dr. Staudt's testimony?" and the answer would be no.  
13 "If so, which parts?" And the answer is still no. C:  
14 "If so," still no.

15 MADAM HEARING OFFICER: Question No.  
16 3.

17 MR. FORTER: "Have you reviewed the  
18 Technical Support Document?" And the answer is yes,  
19 parts of it. I seen that just recently and had taken a  
20 look at it primarily just as it reflects back on my  
21 comments that were already made. "If so, to which parts  
22 of the testimony did you rely?" In general, again, we  
23 have broader questions and broader issues, and it was  
24 looking at general issues that were being brought up.



1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MR. FORCADE CONTINUES:

Q. Just as a follow up, did you provide any information to the Agency that would have formed the basis for information in the TSD or were you contacted after the TSD had been prepared?

A. I was contacted after the TSD was prepared.

MR. BONEBRAKE CONTINUED:

Q. Based upon your review of the TSD, were there any assertions or statements in the TSD that you disagreed with?

A. It was a general overview just before actually this hearing, just to kind of understand a little of what was in there. Nothing in particular jumped out at me.

MR. FORTER: "Have you reviewed the ICF report attached as appendix C to the TSD?" And the answer is no. "Have you reviewed the information acquired by the Agency from any state inspections at each of the Illinois coal-fired power plants control configuration inspections during late April or early May of 2006?" I have seen a summary of those things. I'm not sure which date it was, and that was just prior to this hearing.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MR. FORCADE CONTINUES:

Q. For clarification, that would be after you made your prepared testimony?

A. After my prepared testimony.

Q. Therefore, you didn't rely on that in your prepared testimony?

A. Not at all.

MADAM HEARING OFFICER: Question No.

6.

MR. FORTER: "Did you assist in

writing any portion of the Technical Support Document?"

The answer is no. Question 7: "What is your definition

of 'commercially available'?" And there is no

generally-accepted definition, but we assume as an

institute, Institute of Clean Air Companies, when

something has been offered for sale, it's been -- it's

commercially available. Once it's been sold, it's

definitely commercially available.

MR. FORCADE CONTINUES:

Q. Are you suggesting that any time a company who puts an advertisement out offering a product for sale that it's commercially available?

A. Some qualification there, I think if there was a likely prospect of a market out there to buy it.

1 I know of products that have been out there on the  
2 market for 20, 30 years with no prospect of being sold.  
3 In this case, there was a regulatory environment, at  
4 least, on a federal basis that makes it a likely market  
5 for technologies.

6 Q. Would it be safe to say, then, your  
7 definition of commercially available has to do simply  
8 with the purchase and sale of such pieces of equipment?

9 A. Yes.

10 Q. It has nothing to do with whether or not  
11 the equipment will achieve the goals identified?

12 A. The goals that are achieved or what are  
13 developed between the customer and the vendor, and it  
14 also trying to meet a permit requirement, so there are,  
15 for instance, there's selective catalytic reduction  
16 devices out there, which will achieve maybe in a range  
17 of 20 percent, so to say it's commercially available  
18 only at a certain achievement, would be wrong because  
19 that technology has been available for over 15, 20 years  
20 in this country.

21 Q. What I'm trying to get at is, if you're  
22 saying, as I believe you did, that "commercially  
23 available" was simply the act of someone offering it and  
24 possibly someone purchasing it, there's no component of

1           that evaluation on the achievability of that particular  
2           piece of equipment in your definition, is there?

3           A.     Every application is different, so the  
4           achievement will be different in different applications.  
5           We know -- for sorbent injection, it has very broad  
6           range of achievement on different types of coals and  
7           different configurations.  It's offered for sale.  It's  
8           actually been sold.  I think whether it's commercially  
9           available is a moot point at this point.  One of the  
10          things we have also up on our website is a list of 16  
11          different sales that actually have occurred around and  
12          including sorbent injections.  At that point, there's  
13          actually been a contract made between a customer and a  
14          vendor and that product has been sold.

15          Q.     If a product is sold, do you subsequently  
16          follow it to see if it achieves the objectives  
17          identified?

18          A.     No.

19          Q.     So you could have a product that's  
20          commercially available that did not achieve the goals of  
21          -- is that correct?

22          A.     That's correct.

23                         MR. FORCADE:  I'm confused as to  
24          whether I should repeat the questions for both witnesses

1 or we have switched witnesses.

2 MADAM HEARING OFFICER: We have  
3 switched witnesses. We will go back to Mr. Nelson  
4 because there are many more questions for Mr. Nelson, so  
5 rather than treat them as a panel, I think --

6 MR. FORCADE: I'm just confused.

7 MADAM HEARING OFFICER: We'll go on  
8 with Mr. Forter and go back to Mr. Nelson because there  
9 are many, many more questions. I also would note that  
10 this question of commercially available is the one that  
11 Prairie State asked, as well, so we are covering Prairie  
12 State's question at the same time.

13 CROSS EXAMINATION BY MR. HARRINGTON:

14 Q. Does commercial availability convey with  
15 it any concept of the volume of material or the ability  
16 to meet any particular market?

17 A. The Institute deals with a wide range of  
18 air pollution control devices and technologies. In  
19 fact, some of those cases, they are technologies, and  
20 it's a way of doing something, as opposed to an actual  
21 piece of hardware, or in this case, a free agent, which  
22 is injected. So these technologies are commercially  
23 available when they meet sort of a performance  
24 specification. They do achieve something, obviously, in

1 order to be able to work. It does not specify that.  
2 When a customer gets in with a vendor, they will work up  
3 different language in their contracts as to what they  
4 will achieve with so much free agent and things like  
5 that.

6 MR. HARRINGTON: Would you read back  
7 the question, please.

8 (At which point, the prior question  
9 was read by the court reporter.)

10 MR. HARRINGTON CONTINUES:

11 Q. By that, I'm not talking about its  
12 performance, just for clarification, but for example,  
13 does it say, "Yes. It's available to anybody who might  
14 want it?" or could it have very limited supply and still  
15 be commercially available?

16 A. Again, we are into an area where there is  
17 no definition of "commercially available." My best --

18 Q. What do you mean by "commercially  
19 available" in your testimony?

20 A. My best gauge is when something has been  
21 sold. We can backtrack that to when it was being  
22 offered, and in this case, we are well beyond being  
23 offered. We are being sold. It actually has been sold.

24 Q. But that does not tell us or the Board

1           whether the suppliers can supply one plant or 100  
2           plants.  It says some has been sold to somebody, and  
3           that's all we know when you say "commercial  
4           availability."  Just those terms.  I'm not worried about  
5           any particular product.

6                     A.     Right.

7                     Q.     Does it mean that it has passed any  
8           Highland test to demonstrate it's effectiveness?

9                     A.     Typically, I know that the Department of  
10          Energy and even EPA will talk about commercially  
11          available, and they will show how something actually  
12          goes through the initial testing, the RND phases,  
13          demonstrations, which we have had more demonstrations on  
14          activated carbon injection than I think anything I have  
15          ever seen before, before it actually being sold, but  
16          there is no -- again, there is no clear-cut definition  
17          of how that actually occurs, but in this case, we have  
18          clear-cut demonstration on many different  
19          configurations, many different coal types.

20                    MR. HARRINGTON:  Would you read back  
21          the question, please?

22                    MADAM HEARING OFFICER:  I'm sorry.

23                    (At which point, the prior question  
24          was read by the court reporter.)

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MR. HARRINGTON CONTINUES:

Q. Just the term "commercial availability" is all I'm asking, not particular product.

A. I will go back to the beginning.

Q. That's a yes or no.

A. The offering of a technology for sale and that technology can, both, be hardware, software, human ingenuity. That is the technology.

MR. FORCADE: I'm sorry. But we're getting nonresponses to our questions. The questions are really quite specific, and we can keep asking them, and we can keep asking the court reporter to repeat them, but if the answer doesn't relate to the question, this is going to be a very long day and --

MR. KIM: I think the witness is trying to answer the best he can. It may be that some of these questions don't lead to an easy yes-or-no answer. With that in mind, if we can -- I certainly have no problem if maybe that point is not being made, or if we can focus more on the answer then we'll definitely do that because I want to cut to the chase, too, but I'm just saying that maybe some of these things are -- I think he's doing the best he can to answer. I think it sounds like it's a fuzzy area.



1 MR. AYRES: Madam Hearing Officer, the  
2 witness has said there's no definition of "commercial"  
3 -- this is a term which they are asking him about which  
4 doesn't have a definition. Now, all these follow-up  
5 questions are trying to flush out what a definition is,  
6 which the witness has already said there isn't one.

7 MADAM HEARING OFFICER: I must  
8 respectfully disagree. The question -- his first  
9 question was concerned the availability, the volume,  
10 whether or not it could supply one plant or 100 plants,  
11 and I think his answer was that the definition of  
12 "commercially available" doesn't cover whether there's  
13 enough product out there to cover one or 100, and the  
14 second question was whether or not "commercially  
15 available" also meant that there was -- that it worked,  
16 in effect.

17 MR. HARRINGTON: That it had been  
18 tested.

19 MADAM HEARING OFFICER: And his answer  
20 was it's been tested, but that doesn't necessarily mean  
21 that it is contained within the definition of  
22 "commercially available."

23 MR. HARRINGTON: His definition.

24 MADAM HEARING OFFICER: His

1 definition, so I respectfully disagree. I think you may  
2 not be getting the answer you want to hear, but I do  
3 think he is answering the questions to the best of his  
4 ability about commercial availability and I'm getting  
5 coffee at the break, I promise.

6 MR. HARRINGTON: If I might politely  
7 say, you did a fine job of answering those questions.  
8 If I heard that from the witness, we wouldn't be having  
9 this discussion. Thank you.

10 MADAM HEARING OFFICER: I did not  
11 incorrectly characterize your answers, did I?

12 MR. FORTER: No. You summarized them  
13 very well.

14 MR. FORCADE: I was unable, when  
15 Mr. Forter came on, to go back to the fundamental  
16 questions of education, which I did for Mr. Nelson.  
17 Could I have him inquire about his educational  
18 background?

19 MADAM HEARING OFFICER: Sure.

20 MR. FORTER: I have a Bachelor's in  
21 Microbiology from the University of Maryland. That is  
22 my educational background.

23 MR. FORCADE CONTINUES:

24 Q. You have no engineering degree?

1           A.     I have no engineering degree.  I have  
2 engineer course work, but no degree.

3           Q.     What professional classes have you taken  
4 since your undergraduate degree in microbiology that  
5 would be applicable to the technology that you are  
6 describing today?

7           A.     I have been involved in air pollution  
8 control for almost 20 years and my classes have been  
9 on-the-job training both at the Metropolitan Washington  
10 Council of Government.  U.S. EPA, was on the transport  
11 Commission with ICAC.  My formal training has probably  
12 been through my peer work.

13                           MR. BONEBRAKE CONTINUES:

14           Q.     Mr. Forter, are you currently an officer  
15 with an Industry of Trade group?

16           A.     I am a part of the board as executive  
17 director for the Institute of Clean Air Companies.

18           Q.     Can you tell me what the mission of that  
19 particular institute is?

20           A.     It is to develop and disseminate  
21 information about the technologies for air pollution  
22 control.

23           Q.     And do you view yourself to be an advocate  
24 for that institute?

1 A. I do.

2 Q. Is Mr. Nelson's company a member of the  
3 institute?

4 A. Not at this time.

5 Q. Does the institute represent a number of  
6 companies in the pollution control business?

7 A. We have 90 members.

8 Q. Is Mr. Nelson's company one of those  
9 members?

10 A. No.

11 MADAM HEARING OFFICER: We are ready  
12 to move on to Question No. 8? Question No. 8.

13 MR. FORTER: "What is your definition  
14 of cost effectiveness?" Again, this is my definition of  
15 "cost effectiveness," and it has to do with a technology  
16 that is effective at reducing pollution, and then the  
17 costs that's associated with that. And it varies from  
18 pollutant to pollutant and from technology to  
19 technology. We will find for NOx control, the cost  
20 effectiveness would be very different than it is for  
21 mercury. Mercury, as you know, is a hazardous air  
22 pollutant, and the effectiveness of that and the  
23 benefits of that are much greater because its an air  
24 toxic.

1 MR. FORCADE CONTINUES: Will we be get  
2 getting answers to the same questions for Mr. Nelson  
3 now?

4 MADAM HEARING OFFICER: We will go  
5 back to Mr. Nelson and cover these questions. You asked  
6 these questions of Mr. Nelson, and we will cover those  
7 when we are done with Mr. Forter. Question No. 9.

8 MR. FORTER: "What is your definition  
9 of "economically feasible"? And again, its having a  
10 technology that is available and then the economics of  
11 it working within some marketplace, and usually, a  
12 market is driven by some regulatory driver, such as a  
13 federal rule or state rule, even local rules, so it's  
14 being available and meeting some cost performance there.

15 MR. FORCADE CONTINUES:

16 Q. Are you then suggesting that a technology  
17 required by any adopted or proposed regulation is, by  
18 definition, economically feasible?

19 A. I'm sorry. Could you repeat the question?

20 Q. Are you suggesting, then, that a  
21 requirement imposed by any adopted or proposed  
22 regulation is, by definition, economically feasible?

23 A. Generally, when these rules and policies  
24 are made, they look at the economics, and generally,

1        what is being proposed is economically feasible. They  
2        go through a whole economic analysis, something that I  
3        don't do, and not required to do as part of my  
4        responsibilities.

5                Q.        Since the particular regulation under  
6        consideration here has not been adopted by any entity,  
7        would it be safe to say that you have no idea whether it  
8        is economically feasible?

9                A.        Again, I will refer back to the fact that  
10       we have -- there's been sales at -- 16 different sales  
11       we have on our website that shows somebody believes it's  
12       economically feasible to buy this. We have some  
13       handouts on that. It's also on our website, which is  
14       www.icac.dom, so the assumption here is somebody has  
15       bought it for some regulatory requirement and the  
16       economics are proving out themselves.

17               Q.        Then would it be correct that you are not  
18       incorporating any evaluation of the total cost of  
19       construction in the operation of the equipment compared  
20       to the amount of pollutant reduction that would be  
21       achieved by that in making your definition of  
22       "economically feasible"?

23               A.        Well, the economic feasible -- are we  
24       talking about sorbents? Are you referring to that?

1           Q.     I'm just referring to the term  
2           "economically feasible" which actually came from  
3           Mr. Nelson's testimony, since that's where the questions  
4           were directed, but the concept is that the terms  
5           "commercially available" and "cost effective" and  
6           "economically feasible" have been spread throughout the  
7           testimony, and while there may or may not be definitions  
8           to those, we are trying to find out what the individual  
9           witness who uses that term means by it because it has  
10          significant potential impact on the direction the Board  
11          may choose to go in this proceeding, and I'm trying to  
12          find out from you what you mean if you have used the  
13          words "economically feasible" and what I'm hearing so  
14          far is it has to do with adopted regulations, and I'm  
15          trying to inquire if there's other aspects of an  
16          evaluation you would use to determine if something is  
17          economically feasible.

18          A.     The economics in this case are overwhelmed  
19          with the benefits from this. Using the information from  
20          EPA, which says, for every dollar spent, you get 22  
21          dollars back. For the capital costs for sorbents, we  
22          are talking about somewhere less than -- around a  
23          million dollars, so the economics here are such that  
24          it's very feasible for achieving a reduction, but what

1 that reduction level might be is really up to the  
2 regulatory body or to customers to determine what that's  
3 going to be.

4 Q. In your definition of "economically  
5 feasible" you make reference to an EPA report of some  
6 type. Could you tell me what that report is and where  
7 it is in the record?

8 A. I'm trying to -- I would have to review my  
9 testimony where it referred back to an EPA document.

10 MR. AYRES: Could you point out where  
11 it is in his testimony?

12 MR. FORCADE: It came from his answer  
13 he just gave me.

14 MR. FORTER: EPA -- in doing their  
15 Office of Research Development, within EPA, produced a  
16 report that was used as a Technical Support Document to  
17 CAMR, and I believe it's in proposal phase, and they  
18 talked about the feasibility of the different  
19 technologies and everything else. Their conclusion -- I  
20 disagree with it -- was that -- the body of the document  
21 is very good. The conclusion I disagree with.

22 MADAM HEARING OFFICER: Excuse me.  
23 Before we go on, we have been handed a document that we  
24 haven't marked as an exhibit. We need to get that taken



1 care of before we move on to any more exhibits.

2 "Commercial Mercury Control Technology Bookings" is  
3 going to be marked as Exhibit 46, if there's no  
4 objection. Seeing none, it's marked as Exhibit 46. And  
5 then, Mr. Forcade, your next question.

6 (Exhibit 46 was admitted.)

7 MR. FORCADE CONTINUES:

8 Q. I'm trying, again, to explore this  
9 economically feasible concept, and you said you relied  
10 for your definition of that term upon some U.S. EPA  
11 reports which you have just identified. I asked if  
12 those reports have been produced into the record. You  
13 also said you had not agreed with all of them, and I  
14 need to explore which portions you disagree with, but  
15 it's hard to do, if I haven't got the document.

16 MR. KIM: The witness can correct me  
17 if I'm wrong, but I don't think he said he referred to  
18 that. I think he said he was using those as his  
19 examples going beyond his testimony. I just flipped  
20 through his testimony quickly. I didn't see him make  
21 any reference to any U.S. EPA document, other than U.S.  
22 EPA mechanisms that were implemented in other U.S. EPA  
23 programs, but I didn't see him make reference to another  
24 document. If I'm wrong, then he can correct me.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MR. FORCADE CONTINUES:

Q. The reference to the U.S. EPA document was in response to my question relating to what he considered to be economically feasible.

A. EPA has -- the CAIR and the CAMR programs have had a lot of analysis with them where EPA has gone out publicly and talked about the cost benefit ratio of, for every dollar spent, you get 22 dollars back in response. That makes a lot of technologies economically feasible within that range because we are still not even tapped up to the 22-dollar-a-ton range at this point.

Q. Could you explain to me how, for every dollar spent, you get 22 dollars back?

A. That's EPA's analysis. I can't talk about that. It's based on direct health benefits coming from -- it's actually not a ton. It's, for every dollar spent, you get 22 dollars back in direct health benefits.

Q. So you're relying upon a U.S. EPA report on economic benefits, with which you disagree, and can't explain the 22-dollar return on dollar investments. Is that correct?

MADAM HEARING OFFICER: We are getting way off field here. You asked him what he -- you asked

1 him economic reasonable. He gave you a definition that  
2 tracks a definition that is used by the U.S. EPA in  
3 adopting CAMR and now you want to question the U.S.  
4 EPA's conclusions with him. They are not a part of this  
5 record, and I think it's time to move on.

6 MADAM HEARING OFFICER: Mr. Zabel.

7 MR. ZABEL CONTINUES:

8 Q. Let me follow up on that, Mr. Forter. As  
9 I heard your testimony, I got two different definitions  
10 of "economically feasible." One is that the benefits  
11 exceed the costs. Is that correct?

12 A. That's one aspect of it, yes.

13 Q. That's one aspect of your definition?

14 A. One aspect of my definition.

15 Q. And the other one I got sounded like it's  
16 economically feasible if someone is compelled to do it.

17 A. If it's compelled -- I mean, the driver  
18 for the purchasing is usually -- it could be a  
19 compelling thing. It could also be through a voluntary  
20 type program. I would not make that part of my  
21 definition.

22 Q. I thought you had said if it's  
23 regulatorily required.

24 A. Regulatory requirement is one mechanism

1 for driving that purchase, but it's not the only  
2 mechanism for driving it.

3 Q. Is that part of your definition of  
4 "economically feasible"?

5 A. It would not be -- it would be having some  
6 driver. It would not necessarily be in the regulation,  
7 some market driver.

8 Q. What would that be?

9 A. It could be odor control in a local  
10 township. It could be someone -- a plant wanting to do  
11 something for general public good. It doesn't have to  
12 be a forced requirement on somebody to do that.

13 Q. So the fact that somebody does it for  
14 whatever reason makes it economically feasible?

15 A. It makes it feasible because they now are  
16 going to be in a purchasing agreement.

17 Q. On your table, Exhibit 46, do you know  
18 Mr. Forter, how many of these -- looks like -- 16  
19 projects are receiving government funding?

20 A. I don't know that. I don't know if anyone  
21 is receiving government funding, so I don't know.

22 Q. You don't know whether any of them are  
23 receiving government funding?

24 A. Sid is pointing out that the Press Guile

1 (phonetic) does receive government funding.

2 Q. Is that name -- which one is that?

3 A. Number 1, Unit No. 1.

4 Q. Any of the others?

5 A. No.

6 Q. No?

7 A. According to Sid Nelson, the answer is no.

8 Q. Well, we can ask Mr. Nelson that question.

9 Do you know Mr. Forter?

10 A. I do not know.

11 Q. That's what I thought your answer was,

12 Mr. Forter. Mr. Nelson can answer for himself.

13 MR. BONEBRAKE CONTINUES:

14 Q. Just a resulted question. Of the 16  
15 projects on Exhibit 46, do you know which, if any, of  
16 these are designed to test a particular technology?

17 A. To test a particular --

18 Q. Test the effectiveness of any particular  
19 technology?

20 A. This is a list that we have compiled based  
21 on vendor information, and a lot of the information for  
22 this is not available, not transparent. What you see is  
23 what we know. So the answer is I do not know if any of  
24 these are into testing.

1 Q. So they all may be or none of them may be?

2 A. From my experience, many facilities will  
3 do testing before they go into the full-scale operation.

4 MR. ZABEL CONTINUES:

5 Q. Do you mean pre-startup testing or do you  
6 mean testing of the technology?

7 A. Testing of different sorbents, different  
8 injection points, different ports, different flow rates.  
9 They can test their system. Again, none of these power  
10 plants were ever designed to do mercury control or any  
11 other air pollution control, in most cases.

12 Q. So these could be experimental projects?

13 A. These are purchases that are occurring, so  
14 I don't know that they are experimental. Some of these  
15 projects are state-regulatory requirements, some are  
16 from consent decrees, which are very publicly available  
17 information. In fact, you get more information than  
18 what I have on this sheet just from that, so I would  
19 have to say, just from those, these are not experimental  
20 at all.

21 Q. You don't think that a project done under  
22 a consent decree is experimental. I think that was a  
23 double negative. Could a project under a consent decree  
24 be experimental?

1           A.     I have seen a consent decree that talks  
2     about testing out different configurations of technology  
3     before they go into the full-scale project, so they  
4     could do some testing, but they are aiming at a  
5     long-term operation.

6           Q.     Of course the consent decrees you say are  
7     publicly available.  Is that correct?

8           A.     Via the Internet, I believe.

9           Q.     Yet, we can't identify them because you  
10    haven't given us the names of the projects here.

11          A.     The names of the projects are usually  
12    something that's only released by the customer or the  
13    vendor, but the vendor needs to get permission to do  
14    that.

15          Q.     Not of the names on a consent decree.  
16    That's a court-entered document, which is public.  If  
17    you know there's consent decree, you know publicly who  
18    the company is.

19          A.     I don't have that information here, but it  
20    is publicly available, if you were to search for that.

21                   MADAM HEARING OFFICER:  If I may, the  
22    purpose of this exhibit is to establish that these  
23    companies or these units have bought the sorbent,  
24    correct?

1 MR. FORTER: That's correct.

2 MADAM HEARING OFFICER: Not the  
3 purpose for which the sorbent was bought?

4 MR. FORTER: No.

5 MADAM HEARING OFFICER: Or why they  
6 bought the sorbent. Do you, personally, have knowledge  
7 of why any of these units purchased the sorbent or what  
8 they doing with the sorbent?

9 MR. FORTER: No.

10 MADAM HEARING OFFICER: Ms. Bassi.

11 MS. BASSI CONTINUES:

12 Q. Going back to your definition of  
13 "commercially available," and based on your responses to  
14 the various questions to No. 9 about what is  
15 economically feasible and the questions to Exhibit 46,  
16 do experimental projects -- do purchases for  
17 experimental projects fall into your definition of  
18 "commercially available"? In other words, if someone  
19 purchased a product because they were doing some  
20 experimentation or doing some testing to see what's  
21 going to work there, does that make the product  
22 commercially available?

23 A. That's a gray area. We have -- like, for  
24 mercury measurement, there is a research and



1 development. There's testing, and there's also being  
2 offered for sale some of that equipment. It gets into a  
3 little bit of a gray area. Those vendors will go out --  
4 so a lot of these technologies are continuously being  
5 upgraded to improve the technology. That's the nature  
6 of the engineering around air pollution control. I  
7 will -- when I talk to vendors sometimes, I will talk  
8 about whether or not they are selling for research only,  
9 and they tend to have very small sales and we're beyond  
10 research-only sales.

11 MR. HARRINGTON CONTINUES:

12 Q. Just so the record is clear, is it correct  
13 you don't know whether there were any performance  
14 guarantees included with any of these sales?

15 A. A performance guarantee would be  
16 information held between the customer and the vendor and  
17 not publicly available.

18 Q. So to your knowledge, there were no  
19 performance guarantees?

20 A. My understanding is that, when there is a  
21 permit in place, that the vendor is providing  
22 satisfaction to meet that permit condition. You can  
23 call that what you want, but that's what -- they will  
24 satisfy the permit conditions.

1 Q. Meaning you don't know, and you're not  
2 testifying today if someone guarantees this 50 percent  
3 removal or 90 percent or 10 percent. Is that correct?

4 A. Yeah. As an association, we do not talk  
5 about something that guarantees. That occurs between a  
6 customer and an individual vendor because vendors will  
7 use that as marketing their product.

8 MR. FORCADE CONTINUES:

9 Q. This is -- what exhibit is this, please?

10 MADAM HEARING OFFICER: 46.

11 MR. FORCADE CONTINUES:

12 Q. Looking at Exhibit 46 and directing your  
13 attention to Unit No. 1, can you tell me when the  
14 contract was signed?

15 A. No, I can't.

16 Q. Can you tell me when the equipment was  
17 installed?

18 A. No, I cannot.

19 Q. Can you tell me how long the equipment has  
20 been operated?

21 A. No, I cannot.

22 Q. Can you tell me whether the equipment has  
23 succeeded in achieving, at least, 90 percent reduction  
24 of mercury in all circumstances?

1           A.     In this case, if it's part of the  
2 demonstration, then that information will be available  
3 through demonstration, but otherwise, I do not.

4           Q.     So you have no information -- I'm going to  
5 collectively ask then for Units 2 through 16.  Would  
6 your answers be the same, if you have none of that  
7 information?

8           A.     I have not included to that information,  
9 and I do not have access to that information.

10          Q.     So in essence, this is just a list of sold  
11 technologies?

12                   MADAM HEARING OFFICER:  I believe he  
13 answered that question when I asked it earlier.

14                   MR. ZABEL CONTINUES:

15          Q.     Just for clarity, and I understand you  
16 said the gray areas, but you've used it seems to me four  
17 different terms, research and development, testing,  
18 sale, and now demonstration.  Can you define those for  
19 me, as gray as they may be?

20          A.     Well, it's a continuum.  In fact, you look  
21 at the programs like environmental technology,  
22 verification program with the EPA.  It will often take  
23 commercially available technologies and go through a  
24 whole testing to show how that technology actually

1 performs, so it can help get into the market. As the  
2 Department of Energy would call "The Valley of Death"  
3 when you have something commercially available and no  
4 buyers, so it is a continuum, and to try to put cut  
5 points on any one of these things, I think is just -- we  
6 would be here all day trying to define those cut points  
7 because we would all have different opinions.

8 Q. So it is possible that RND project there  
9 may be a demonstration that involves testing of a  
10 sorbent or technology?

11 A. In the RND project, that's true.

12 Q. And somebody in that RND project which  
13 involves testing for a demonstration of a technology  
14 could have paid somebody for the material?

15 A. They could have paid for that material.

16 Q. Thank you.

17 CROSS EXAMINATION BY DR. GIRARD:

18 Q. Mr. Forter, I have a question, in fact, a  
19 couple questions coming out of a sentence in your  
20 testimony. Do you have your testimony there in front of  
21 you?

22 A. I do.

23 Q. If you look at the first page I'm looking  
24 at the second paragraph, which comes under the

1 subheading "Commercially Available Technology." I'm at  
2 the first sentence, "Despite the lack of a strong  
3 national mercury requirement for coal-fired utilities, a  
4 number of mercury-controlled technology options are  
5 commercially available while other options are still in  
6 development and testing phases and their deployment can  
7 benefit from regulatory certainty." First, what would  
8 you consider a "strong national mercury requirement"?

9 A. A strong national mercury requirement  
10 would be something that pairs the required outcome,  
11 which is a health benefit issue, with the technology's  
12 capabilities, and in this case, for mercury, we have a  
13 wide range of different technologies everywhere, from  
14 something that is sort of do nothing co-benefit kind of  
15 approach all the way to very specific mercury control  
16 technologies. It's a pairing of those two together. We  
17 believe, as an association, that when EPA put out its  
18 rule it did not fully use the control technologies that  
19 are available. In fact, in many cases, it looks just at  
20 the co-benefit approach, which is, if you're going to be  
21 putting on an SCR, selective catalytic reduction,  
22 followed by an MGA (phonetic), you are going to get a  
23 certain level of control, and that's good enough because  
24 that comes out of the CAIR program. In CAMR, kind of

1 just follows along, at least, in the first phase of  
2 that, and it's not until later in the phase when you  
3 start getting into some more mercury-specific control  
4 technologies that are currently available that the  
5 federal program put in place, so the definition is to  
6 use the available control technologies well. I mean,  
7 that's my definition.

8 Q. So basically, what you're saying is the  
9 federal program, which has been proposed as a cap and  
10 trade, you say is not as strong as, say, a program where  
11 they come out and say everybody has to have a 90 percent  
12 reduction in mercury emissions?

13 A. Those would be probably two different ends  
14 of the spectrum on these kind of things. The 90 percent  
15 part of my testimony is using flexibility in there, too,  
16 to allow different configuration, different goals to  
17 achieve different levels of control. But the -- there's  
18 no mistake that we do not agree with EPA's program at  
19 all. We feel that it seriously does not use the  
20 technologies that are currently available.

21 Q. My second question goes to the last phrase  
22 there in that sentence where you say, "Their deployment  
23 can benefit from regulatory certainty," and so what do  
24 you mean by that?

1           A.     There are market drivers out there and  
2     regulatory certainty is, obviously, one of those.  It  
3     provides an opportunity for competition within the  
4     vendor community to improve upon the technologies that  
5     they currently have for sale and to introduce other  
6     technologies out there for sale, so the regulatory  
7     certainty is the driver, and it allows for a free market  
8     commercial innovation to occur within that market.  We  
9     were already seeing that as soon as even the federal  
10    rule came out even being despite it being weak, we see  
11    that as a driver, and it does provide lots of  
12    opportunities for different vendors to come in, and we  
13    have lots of different technologies that are being  
14    looked at, researched, and development within different  
15    companies going through demonstration along those lines.  
16    Does that answer your question?

17           Q.     Yes.

18                         MR. ZABEL CONTINUES:

19           Q.     I'm sorry.  Mr. Forter, in the answer to  
20    Dr. Girard's question, is it your view that there are no  
21    health benefits from the CAMR rule with respect to  
22    mercury?

23           A.     No.  The CAMR rule, as it tracks CAIR,  
24    there's a tremendous amount of benefits that occur

1           there.

2                   Q.     For mercury?

3                   A.     Well, because you are using co-benefits  
4           control, primarily, that produces mercury reductions in  
5           the first phase.

6                   Q.     And therefore, those dollars do yield  
7           public health benefits, do they not?

8                   A.     Those do.  In getting back to the cost  
9           issue, the question is does CAMR produce another cost on  
10          top of CAIR.  If you are already doing it for CAIR, then  
11          the costs associated to CAMR may be zero.

12                  Q.     But it still yields health benefits with  
13          respect to mercury?

14                  A.     In many of the pollutant control programs,  
15          we have -- you will see cross benefits from different  
16          pollutants out there.

17                  Q.     Is your answer yes?

18                  A.     The answer does CAIR produce health  
19          benefits?

20                  Q.     For mercury control.

21                  A.     Yes.

22                                 MADAM HEARING OFFICER:  Ready for  
23          question 10 I believe.

24                                 MR. FORTER:  "On page one of your



1 testimony, you state that there are a suite of options  
2 available to cost effectively control mercury emissions  
3 from power plants of different configurations and coal  
4 types. List all the different options and explain how  
5 each one works." I will just state right up front that  
6 we have a lots of options on our website. There are --  
7 EPA has documented lots of the different control  
8 options. It would be -- would not be possible to list  
9 all the different options there. There are a number of  
10 different things that are even being done that Sid  
11 probably knows about, but I don't, different  
12 configurations of sorbents that are being looked at,  
13 some amending coals that I don't know about, so there's  
14 a lot out there that's going on. The purpose of my  
15 statement was that there is a range anywhere from  
16 co-benefits, which is your SCRfD combination, all the  
17 way to your mercury-specific types of controls and  
18 everything in-between. I'm assuming that a purchaser  
19 will look at all the different options that are out  
20 there.

21 "What are the costs associated with  
22 each of those options?" Those costs vary. As I  
23 mentioned, with the co-benefits control, if you assign  
24 the cost back to CAIR, the costs are zero. When we get

1       into some of the mercury-specific controls, it depends  
2       on what level of effectiveness you are trying to achieve  
3       and someone like Sid Nelson, or any of the particular  
4       vendors, would know more about what that cost might be  
5       for any particular plant configuration and coal type.  
6       We, as an association, do not go out there and put a  
7       mark on what the cost would be for any particular  
8       control.

9                               MADAM HEARING OFFICER: C.

10                              MR. FORTER: "Which of these options  
11       have been demonstrated to obtain the level of control  
12       currently called for in the IEPA's proposed mercury  
13       control regulations 100 percent of the time under all  
14       operating conditions of the facility of the size and the  
15       type of the Kinkade facility?" I'm not familiar with  
16       the Kinkade facility, so I can't -- as an association, I  
17       do not go into that level in depth -- some individual  
18       companies may and maybe they can give you that kind of  
19       information. But some of the questions here about 100  
20       percent of the time availability, coal-fired power  
21       plants aren't available 100 percent of the time.  
22       Turbines are not available 100 percent of the time. Or  
23       power it doesn't come from any one particular source 100  
24       percent of the time, so absolutes like that just don't

1 work in the real world for almost anything. "All  
2 operating conditions" assumes that a lot. If I were to  
3 drive a car under all operating conditions, and then try  
4 to assign the responsibility back to the manufacturer is  
5 just not a feasible thing to do, so there's usually --  
6 when these contracts are developed, the operating  
7 conditions are discussed between the customer and the  
8 vendor to optimize power output and for control  
9 effectiveness, and again, with the Kinkade facility, I'm  
10 just not familiar with it.

11 MS. BASSI CONTINUES: May I ask a  
12 question on this one first, please. This is kind of a  
13 general gripe I guess. We are required to prefile  
14 questions, so that the Agency's witnesses, the Agency  
15 and its witnesses could be prepared to answer the  
16 questions that are presented. If Mr. Forter, as an  
17 example, is not familiar with the Kinkade facility, it  
18 seems to me that part of the responsibility of the  
19 Agency and the witness was to become familiar and to be  
20 able to answer the question. And I'm sorry, maybe this  
21 is my schoolteaching (sic), but I thought that was  
22 part of the purpose.

23 MR. KIM: The questions I believe were  
24 intended to follow up on the testimony provided by the

1 witnesses. I don't think anything in Mr. Forter's  
2 testimony or in his prefiled testimony or in his  
3 statements today indicates that he would have the  
4 background or the reason to delve into the specificity  
5 of the questions here, so in other words, just because a  
6 question is asked, regardless of whether or not it goes  
7 beyond what the witness has clearly provided us the  
8 scope of his knowledge doesn't mean that that witness  
9 also has to start honing up on information that he's  
10 never looked at before just to provide an answer. he's  
11 answered to the best of his ability, and if conclusions  
12 want to be drawn to that as to whether this witness  
13 should be taken to go to that extent as far as his  
14 reach, then that's fine, but I don't see that that's --  
15 I don't understand how "I don't know" or "That's not my  
16 expertise" is an invalid answer.

17 MADAM HEARING OFFICER: Because I  
18 agree with you. I disagree with you, Mr. Kim. He  
19 should have been given the information on Kinkade to  
20 answer this question. If the Agency had a problem with  
21 this question -- these questions were prefiled in enough  
22 advance of time that the Agency could easily -- heavens  
23 knows we have seen plenty of paper in this proceeding --  
24 could have filed objections in this case. I don't

1 disagree with what Ms. Bassi is saying, and I think part  
2 of this is some of the frustration we talked about the  
3 other day that we also you have the prefiled questions,  
4 and yet, we are still reading questions and saying,  
5 "Well, I can't answer that." Then you need to bring us  
6 who can. It is your job, as the proponent, to support  
7 your rule.

8 MR. KIM: Having said that, my  
9 follow-up to Ms. Bassi's response is, however, even if  
10 he had been provided with the specifics of the Kinkade  
11 facility, I believe, in his answer, he just stated,  
12 regardless of the facility type, it's impossible to make  
13 that statement that a 100 percent guarantee could be  
14 provided for anything. He gave an example of how it  
15 could be. He did answer the question that you can't  
16 make an absolute 100 percent guarantee for anything,  
17 regardless -- even if he had all of the Kinkade  
18 specifics in front of him.

19 MADAM HEARING OFFICER: But as an  
20 attorney, you, yourself, know and I suspect that what  
21 Mr. Forcade's follow-up is granted it doesn't operate  
22 100 percent of the time, but 100 percent of the time  
23 it's operating. Let's be realistic. He literally  
24 answered the question, but he was asked, specifically,

1 about Kinkade and now we are in the position where  
2 Kinkade has asked the question and it's my understanding  
3 and I have gleaned this from this proceeding that  
4 Kinkade is sort of a unique operation or has some unique  
5 operations as was talked about the TTBS yesterday.  
6 Kinkade's not even eligible for the TTBS because of the  
7 way it runs. Do I remember that correctly?

8 MR. FORCADE: Yes.

9 MADAM HEARING OFFICER: So they are  
10 trying to get at whether or not sorbents are  
11 commercially available and economically feasible for  
12 their facility and one of your witnesses about the  
13 availability of sorbents isn't familiar with Kinkade.  
14 All that being said and all that chastising going on,  
15 there's not much we can do about it right now so.

16 MR. KIM: I would say this, Mr. Nelson  
17 has indicated he will be able to answer that question.  
18 If you want, he can answer that now, but again, I would  
19 still say the question asks which of these options has  
20 been demonstrated to maintain a level of control  
21 currently called for in the regulations 100 percent of  
22 the time, under all operating conditions, at a facility  
23 of the size and type of the Kinkade facility, and I  
24 believe Mr. Forter's answer is, "I'm not specific with

1 Kinkade. However, regardless of that" -- so I think his  
2 answer -- I think his answer is -- and we can have it  
3 read back -- he doesn't think you can guarantee 100  
4 percent.

5 MADAM HEARING OFFICER: I understand  
6 his answer, but like I said, you understand what the  
7 next question probably is. Again, all that being said,  
8 and I can only say that now I wish you had them better  
9 prepared, but we can't do anything about that now. We  
10 need to continue on.

11 MR. AYERS: Mr. Nelson is prepared to  
12 answer the question.

13 MR. KIM: That's why he's here as a  
14 panel. We, specifically, have them here.

15 MADAM HEARING OFFICER: Now I'm now  
16 confused because it was my understanding that we were  
17 going to go to Mr. Nelson, and I, specifically, had  
18 Mr. Forcade hold the identical questions.

19 MR. KIM: That's fine. I'm just  
20 saying, if the question needs to be answered right now,  
21 we've always indicated that no one witness is going to  
22 be able to answer every single question, and that's just  
23 because of the breath of the subject matter.

24 MADAM HEARING OFFICER: We will let

1 Mr. Nelson answer this question now and we'll let Mr.  
2 Forcade follow up with Mr. Forter and Mr. Nelson on this  
3 question.

4 DR. GIRARD: We are going to be here a  
5 couple weeks if we keep going back and forth like this.  
6 If a witness doesn't know the answer, there's nothing  
7 wrong with saying, "I don't know." If we say that, we  
8 move on to the next question, and then we'll go to  
9 Mr. Nelson. If a witness takes an "I don't know" and  
10 turns it into two paragraphs, then we are going to have  
11 six follow-ups.

12 MR. KIM: Yes.

13 DR. GIRARD: Don't be afraid to say,  
14 "I don't know."

15 MR. KIM: I would agree with that  
16 wholeheartedly.

17 MR. FORTER: I don't know.

18 MADAM HEARING OFFICER: Mr. Nelson, if  
19 you would answer the question and Mr. Forcade, you can  
20 address the follow ups to Mr. Nelson.

21 MR. NELSON: Specifically, what is the  
22 question on Kinkade? "Which of these options has been  
23 demonstrated to obtain the level of control currently  
24 called for in the IEPA's proposed mercury control



1 regulations 100 percent of the time, under all operating  
2 conditions of the facility of the size and type of the  
3 Kinkade facility? Again, when we get to  
4 demonstration -- nothing has been demonstrated 100  
5 percent of the time, particularly because we don't have  
6 any regulations. There currently is not -- even though  
7 we have a lot of different mercury control technologies  
8 out there, there isn't a single power plant in the  
9 United States that is intentionally getting mercury out  
10 on a day-to-day basis, so nothing is going to be claimed  
11 to be 100 percent of the time. We haven't necessarily  
12 ran into 100 percent of the conditions. However,  
13 Kinkade is actually a configuration of type that is  
14 pretty easy for mercury control. It burns, essentially,  
15 100 percent PRB coal. It has SCR. Halogenated sorbents  
16 have been demonstrated at many plants with very similar  
17 configuration coal types to Kinkade and demonstrated  
18 over 90 percent of removal, but even then, it doesn't  
19 necessarily get it 100 percent of the time. It may get  
20 90 percent some hours. It may get 85 percent some  
21 hours, but overall you can reach a high level of  
22 control, particularly in the sense that you can always  
23 inject more sorbent and get more mercury out, so that  
24 one particular technology has been demonstrated to be

1 very good. Particularly if it's combined with some kind  
2 of flew gas scrubbing, which is a technology that's  
3 commercially available. It would certainly be more  
4 expensive, but certainly, the technologies are out  
5 there. It's technologically doable.

6 MR. FORCADE CONTINUES:

7 Q. Could you tell me which facility in the  
8 United States has had the sorbent technology utilized  
9 the longest period of time for power plant mercury  
10 removal?

11 A. Our particular products have been  
12 demonstrated at two plants very similar to this, and we  
13 can get into this in my testimony, St. Clair and Stanton  
14 one. There's a competitor's product that's very similar  
15 to ours that has been demonstrated at Meramec in  
16 Missouri and some others that, again, are very similar.

17 Q. The question is how long --

18 A. In each of those, the Department of Energy  
19 required a one-month trial.

20 Q. Are you aware of any trials or any  
21 operational activities with carbon absorption that has  
22 been demonstrated for a period longer than 30 days?

23 A. Yes. The Gaston plant, Gaston of Southern  
24 Company had, basically, a one-year continuous trial, but

1           that plant is different than Kinkade. It burns  
2 bituminous coal as a hot side ESP.

3           Q.     Sticking then with then the cold side ESP  
4 Kinkade type plants, would it be correct to say there  
5 were three that you identified?

6           A.     At least, three. There's some others I'm  
7 not aware of or some others that are slightly different  
8 than that plant.

9           Q.     Were there any documents prepared as a  
10 result of these -- I'm sorry, trial runs? Test runs?  
11 What would you call them?

12          A.     We call them trials, one-month trials.  
13 They are full scale. The plant is supposed to operate  
14 the way it usually does. It doesn't make any  
15 consideration for the tests. This is the structure of  
16 the Department of Energy program that each of those  
17 three trials was part of.

18          Q.     For each of those trials, was there any  
19 document prepared that would be a report that would show  
20 the configuration of the facility, the size of the  
21 various pieces of equipment?

22          A.     Yes.

23          Q.     The type of carbon absorption, the amount  
24 of removal from all the tests?

1           A.     Yes.  That's part of it.  There's one  
2     available on the Department of Energy website I know for  
3     St. Clair and Meramec.  Those final reports, or at  
4     least, topic or reports are available.  The one at  
5     Stanton One is not yet available because that was done  
6     last fall.

7           Q.     Would it be possible for you to produce  
8     those reports, so that we could review them?

9           A.     Certainly.

10          Q.     Am I correct now we have just the three  
11     for the cold side ESP plants with sub-bituminous that  
12     you know of?

13          A.     There are others that include that's the  
14     lowest cost of course.  If you include spray dryers or  
15     fabric filters, then there's few more plants.  There's  
16     the Holcum plant.  There's ADA that had an ESP, as  
17     opposed to a fabric filter, but had a spray dryer, which  
18     is actually a more difficult situation called Laramy  
19     River.  When we get into my testimony I can go over  
20     these 30 demonstrations.

21          Q.     Do it later?

22                   MADAM HEARING OFFICER:  Yeah.  Let's  
23     move on with Mr. Forter.

24                   MADAM HEARING OFFICER:  Question No.

1 11.

2 MR. FORTER: "Again, on page one, you  
3 list certain existing control insulation such as fabric  
4 filters and electrostatic precipitators as achieving  
5 high levels of mercury reductions. The question are  
6 those high levels of mercury reductions sufficient to  
7 meet the level of control currently called for in the  
8 IEPA's proposed mercury control regulations 100 percent  
9 of the time, under all operating conditions, at every  
10 one of Illinois facilities that would be subject to  
11 those regulations?" I don't know.

12 MR. HARRINGTON CONTINUES:

13 Q. In the second sentence on the last  
14 paragraph on page one you list the various control  
15 technologies and say, "They are currently achieving high  
16 levels of control." Do you know what levels of control  
17 fabric filters by themselves, without activated carbon  
18 injections, achieve?

19 A. EPA -- a lot of this information came from  
20 the 1999 ICCR data where EPA looked at configurations of  
21 plants and what they were achieving, and that document,  
22 that information that was part of the stakeholder  
23 process part of the rulemaking and everything else. I  
24 do not know -- I don't recall what the fabric filter was

1 getting without anything in front of it because you are  
2 talking about some sort of oxidation characteristics or  
3 some other things that might be effecting its capture.

4 Q. I would like to just have these questions  
5 answered for the record by Mr. Forter, if I could. Is  
6 the fabric filters -- you don't know. Is your answer  
7 the same as to electrostatic precipitators?

8 A. I'm sorry?

9 Q. Is your answer the same, that you do not  
10 know what removal of mercury would be achieved by  
11 electrostatic precipitators by themselves?

12 A. Again, that's part of the EPA record?

13 Q. You don't personally know?

14 A. No.

15 MADAM HEARING OFFICER: U.S. EPA  
16 record.

17 MR. HARRINGTON CONTINUES:

18 Q. For the two scrubbers is your answer the  
19 same?

20 A. SO2 scrubber depends on if it also has  
21 oxidation occurring in front of it, like an SCR, SO2.  
22 When that occurs, then you are at 90-plus percent  
23 reduction.

24 Q. Is that bituminous coal only?

1           A.     The different coals will have different  
2 characteristics, but that's one of the real workhorses  
3 in getting co-benefits.

4           Q.     But SO2 scrubbers with selected catalytic  
5 reduction do not achieve 90 percent removal on mercury  
6 for sub-bituminous coal, do they?

7           A.     I don't know that configuration. I don't  
8 know.

9           Q.     You say "and others." What others does  
10 that refer to? Third line of the last paragraph, last  
11 two words.

12          A.     Could you read the whole paragraph, the  
13 whole?

14          Q.     "Based on recent demonstrations, results  
15 significant amount of mercury and the sentence,  
16 "existing control installation, such as fabric filters,  
17 electrostatic precipitators, SO2 scrubbers, selective  
18 catalytic reduction, and others, are currently achieving  
19 high levels of mercury reductions." And the question  
20 I'm asking is -- gone through the first of those, and  
21 I'm asking what "and others" is for purposes of the  
22 record, so it's clear?

23          A.     There are other technologies that are  
24 being looked at with oxidizing catalysts put into the

1 stream. It depends on the coal and the coal  
2 configuration as to what else could be used. Amended  
3 silicants and so forth.

4 Q. Are those others and I assume, obviously,  
5 we have already talked about activated carbon injection,  
6 and I will assume that's not one of these, but is there  
7 something other than those that are listed here  
8 activated carbon injection that are currently achieving  
9 high levels of mercury reductions?

10 A. In some of the manufacturers' testing,  
11 there's been use of amended silicants. There's been  
12 amended coals. Those are others that do work in this.  
13 There's also a catalyst produced by a company with a  
14 guaranteed oxidation rate, so that would be one of the  
15 others.

16 Q. Now, they are currently achieving high  
17 levels?

18 A. Depends on the configuration that they are  
19 going to be in, but the answer would be, generally, yes.

20 MR. ZABEL CONTINUES:

21 Q. Just a very brief question. When you  
22 refer to S02 scrubbers, are you referring to, both, wet  
23 and dry?

24 A. To both. It's been the wet scrubber



1 that's been most commonly associated with the oxidizing  
2 catalyst before.

3 MADAM HEARING OFFICER: 11-B.

4 MR. FORTER: "Do you know if these  
5 high levels of mercury reductions are sufficient to meet  
6 the level of control called for in the federal CAMR 100  
7 percent of the time, under all operating conditions, at  
8 every one of the Illinois facilities that will be  
9 subject to these regulations?" I do not know, to meet  
10 all these things. Again, a lot of qualifications in  
11 there.

12 MADAM HEARING OFFICER: So C is then,  
13 since you can't answer A or B, C is -- because I assume  
14 that's 11-A-B-C. Then question 12.

15 MR. FORTER: "Please explain your  
16 statement on page one of your testimony with the  
17 implementation of mercury regulatory requirements beyond  
18 incidental co-benefits level of control and number of  
19 options for optimizing existing controls will be  
20 implemented to provide cost effective reductions." It's  
21 the basic thing we have talked about before, which is  
22 when you have a market driver out there, in this case,  
23 it being something a regulatory program that goes beyond  
24 a market driver already established in CAIR, then you

1 create a new market, new tunnels, new innovation, and  
2 obviously, vendors respond to that.

3 MR. FORCADE CONTINUES:

4 Q. Would I be correct then you are talking  
5 about changes in the vendors and in the marketplace, as  
6 opposed to changes that would be made at the facility,  
7 itself?

8 A. The change -- what they would do is they  
9 would respond to the different requirements of a  
10 facility, so different coal, different configuration  
11 different operating parameters. They will respond to  
12 those kinds of changes. But it's primarily dealing with  
13 the advancements in the technologies finding halogenated  
14 activated carbon when you didn't have it before because  
15 you're responding to a new opportunity, new driver.

16 MADAM HEARING OFFICER: As Dr. Girard  
17 has just pointed out to me, Questions 13, 14 both deals,  
18 specifically, with Kinkade generation.

19 MR. FORTER: I will make a point, just  
20 from an association, we would not go on a specific plant  
21 and make that kind of recommendation. You are -- it's  
22 requesting some sort of engineering level analysis that  
23 might occur. We would not be doing that as an  
24 association. I represent 90 different member companies

1 and to get a consensus on what a Kinkade-like facility  
2 might look like is probably a monumental task.

3 MADAM HEARING OFFICER: I guess my  
4 point being, if the answer is "I don't know," there's  
5 not much point in even reading the questions, if you  
6 don't know the answers.

7 MR. FORCADE: Just reflect that he's  
8 answering "I don't know" to the following questions.

9 MADAM HEARING OFFICER: 13 and 14.

10 MR. FORTER: 13 and 14 are both  
11 Kinkade, yeah.

12 MR. FORCADE CONTINUES:

13 Q. Are there facilities, other facilities in  
14 Illinois where you would be able to answer a question of  
15 this type or is it no to all facilities in Illinois?

16 A. As an association, again, because we would  
17 not go in because we -- basically, what you are looking  
18 at is saying the association knows this kind of level of  
19 control or everything that happens at this facility.  
20 That's not going to occur. That kind of discussion  
21 would occur between a customer and an individual vendor,  
22 not within the association making that kind of a  
23 requirement. What we can do is talk about the different  
24 things from an experience list what has actually

1 occurred, what kind of sales have actually occurred,  
2 what kind of demonstrations have actually occurred, but  
3 we can't go into that level of analysis, so the answer  
4 would be any other facility like that, same response.

5 MADAM HEARING OFFICER: Question 15.

6 MR. FORTER: What is the basis for  
7 your statement `Multicontrol approaches, as well as  
8 other mercury-specific technologies provide low cost,  
9 innovative approaches toward mercury control`"? That is  
10 based primarily on the fact that activated carbon  
11 injection was looked at and it was much more cost  
12 effective than some of the other co-benefits control.  
13 If you were -- did not have a requirement for NOx and  
14 SO2, beyond acid rain or something else, putting on a  
15 scrubber, that would cost you tens of millions of  
16 dollars, a very expensive proposition. Putting on an  
17 activated carbon injection system, which costs about a  
18 million dollars, is much more cost effective to do, so  
19 there are other approaches to deal with this, but it  
20 really depends on your regulatory frame work how, much a  
21 customer might be relying on taxes, credits, allowances,  
22 things like that, to make these kinds of decisions, but  
23 the other technologies are low cost because we know what  
24 the cost is of combining an SCR with an FGD.

1           Q.     I'm having some confusion here where we  
2           continue to use the phrase "low cost," but when asked  
3           about costs, we can't get answers to the question  
4           because you don't know. Can you define "low cost"?

5           A.     We're talking about ranges of costs here,  
6           so the ranges of cost for an SCR is something about 50  
7           million dollars to put in place. To put on an FGG  
8           (phonetic) it's somewhere around 100 million dollars, so  
9           that's usually my upper bound of that cost. Anything  
10          that's going to cost less than that would be a low cost.  
11          When we're down to the margins of one million dollars  
12          for capital costs, I would say that's very low cost.

13                   MADAM HEARING OFFICER: 15-A.

14                   MR. FORTER: "What, specifically, are  
15          the multipollution control approaches and other mercury  
16          specific technologies to which you refer to in this  
17          statement?" Again, this is a range of different  
18          technologies that are out there. It difficult to  
19          characterize because there are so many innovations that  
20          are occurring, and I mentioned a few of those, the  
21          amendments to coal that some companies are putting out  
22          there that help to get mercury reductions. I mentioned  
23          there's another company that actually has oxidation  
24          catalyst, which puts guarantees on the catalyst, so

1           there is a whole suite of different types of controls  
2           that are out there to be used.  There are also amended  
3           silicants, which are being used, and almost monthly you  
4           will see another press announcement of somebody else who  
5           has got another control for mercury.

6                               MADAM HEARING OFFICER:  I think we  
7           have answered B and C because I think you actually had  
8           the follow-up on asking him to define low cost, but go  
9           ahead.

10                              MR. FORCADE CONTINUES:

11                            Q.       The same question I posed somewhat  
12           earlier.  I'm not sure what page of Mr. Nelson's  
13           testimony.  Can you provide us any additional examples  
14           of situations where carbon injection has been utilized  
15           beyond those provided by Mr. Nelson, and if so, are  
16           there any reports identifying the nature of the unit,  
17           the types of controls, effectiveness of the controls and  
18           how long the test was run.

19                            A.       The DOE demonstration projects are  
20           probably the Bible of the controlled technologies that  
21           have been used that demonstrate.  At each of those  
22           demonstrations, there's a cost involved in that, and  
23           there's usually a report that comes out of that, so that  
24           is the best documented demonstration that occurs.  My

1 understanding is that some companies will also do RND,  
2 some companies set up RND research facilities, and I  
3 don't know what its intention is in developing documents  
4 that will be put out there. My guess is that RND is  
5 mostly -- the beneficiary of that is going to be  
6 southern companies, not other companies.

7 Q. Again, going to the idea that if you are  
8 identifying other active programs, research activities  
9 that demonstrate the effectiveness over time of  
10 activated carbon absorption, are there reports you can  
11 submit into the record that we can look at?

12 A. The reports would be the same as the ones  
13 Sid Nelson was talking about.

14 Q. So you have no reports, other than  
15 those --

16 A. No. Those are the only documentation that  
17 I'm aware of. Individual vendors that have been  
18 involved in those programs may put out information on  
19 that, but my understanding is that that's all been  
20 through an agreement set up like that.

21 Q. We are going to get the information from  
22 Mr. Nelson?

23 MR. KIM: Yes. We will work to get  
24 that.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MADAM HEARING OFFICER: Question No.

16.

MR. FORTER: "Do you believe that regulatory programs with flexibility have value for the regulators to regulate community and the public?" I have, in our comments, we actually talk about flexibility, and as an association, we agree that having flexibility allows for innovation within the market, other controls to be used in different places. I come from a background of public policy in using cap-and-trade programs for NOx control, so I, personally, believe, and our association believes, in flexibility. What I don't believe in is putting flexibility in front of caps because it's always called a cap-and-trade kind of program, so what you want to do is assign a certain level of reduction that you need to achieve and then provide the flexibility, so the companies that might need that to find innovative and low cost mechanisms to achieve those caps. I could go on about different types of trading things, but I'm not going to, but some level of flexibility, but it is not an absolute and definitely should not be in front of caps.

MR. HARRINGTON CONTINUES:



1           Q.     Do you think that some form of  
2     cap-and-trade program for mercury regulation would be  
3     appropriate?

4           A.     The cap and trade -- flexibility does not  
5     have to only be a cap-and-trade program. I believe that  
6     a cap-and-trade program could be one mechanism for  
7     flexibility. It's not necessarily my preferred  
8     mechanism in dealing with an air toxicant.

9           Q.     Have you reviewed the proposed Illinois  
10    regulation?

11          A.     I have.

12          Q.     Do they provide the level of flexibility  
13    you would normally look for?

14          A.     In its proposal, it has -- there's quite a  
15    bit of flexibility in the first phase, and it has a lot  
16    of components. We have seen a lot of different states  
17    and lots of types of flexibility. The level of use of  
18    those mechanisms varies quite a bit.

19                   MR. BONEBRAKE CONTINUES:

20          Q.     Has your association taken a public  
21    position with respect to whether it does or does not  
22    endorse CAMR?

23          A.     No, we have not.

24                   MR. ZABEL CONTINUES:

1 Q. Maybe I didn't hear you right. Did you  
2 use "level of abuse" in your answer to an earlier  
3 question?

4 A. I don't recall, if I did. Maybe I  
5 misspoke, "level of use" maybe.

6 Q. Use.

7 MADAM HEARING OFFICER: Question No.  
8 17.

9 MR. FORTER: "Do you agree that  
10 regulatory programs with flexibility are economically  
11 efficient?" This is asking for a comparison I would  
12 guess. We have found, from experience, that the  
13 economics work better when you have some level of  
14 flexibility involved. It allows the customer and the  
15 vendor to find technologies that can be done at a lower  
16 cost and are more effective. It's economically  
17 efficient. I would say, in general, we see some  
18 efficiencies that occur there. Caveating that with the  
19 cap is the driving mechanism of flexibility is there for  
20 those who need it to make some economic choices, and to  
21 find the technologies that fit their particular  
22 situation.

23 MADAM HEARING OFFICER: Question No.  
24 18.

1 MR. FORTER: "Do you agree that low  
2 cost, reliable electricity is essential in our economy?"  
3 We have made public statements about coal. We believe  
4 that coal is a mainstay in our society and will remain  
5 so for many years. It's reliable. It's abundant, low  
6 cost, and it can be made clean and probably our biggest  
7 issue with the CAMR rule would be that it doesn't make  
8 coal clean in respects to mercury reductions, so again,  
9 this is not an absolute -- low cost, reliable  
10 electricity should not be an absolute for our society,  
11 but is one of the mechanisms, one of the things we need  
12 in society.

13 MADAM HEARING OFFICER: Question No.  
14 19.

15 MR. FORTER: "Do you believe that the  
16 proposed mercury control regulations to be cost  
17 effective, and please explain?" And I'm assuming that  
18 the reference is to the IEPA rule and that -- I guess I  
19 don't really know, on a larger scope, of how this  
20 actually pans out. There is some flexibility in there.  
21 This is a proposed rule. It really -- it will determine  
22 -- when a final rule is in place, the vendors will then  
23 respond, and that's where you are going to find your  
24 most cost-effective solutions starting to really emerge

1 because then it will be looking at plant specific  
2 configurations, coal types and issues as you start to go  
3 through the engineering and architectural engineering  
4 analysis for those facilities. Historically, when we  
5 looked at selective catalytic reduction for NOx control,  
6 not every plant that was being looked at needed to --  
7 had to go through an architectural and engineering  
8 analysis, and as it turns out, it was extremely cost  
9 effective on NOx reductions, probably even more so on  
10 the reliance on allowances these days, but really, it's  
11 going to depend on what the final rule looks like, and  
12 how it's going to play out, but typically, you will find  
13 the cost is reduced after the rule is put in place  
14 because you have the competition between technologies  
15 and technology vendors.

16 CROSS EXAMINATION BY MS. BUGEL:

17 Q. I have one follow-up on some earlier  
18 questions about commercial availability. Mercury  
19 specific controls, not co-benefits, but mercury specific  
20 controls, are they passed the RND phase."

21 A. There are mercury specific controls that  
22 are out there that are passed the RND phase. I would  
23 say, with any technology, any air pollution control  
24 technology, there are's going to be continuing RND. We

1 have that occurring in every aspect of air pollution  
2 control I can possibly think of. For instance, for  
3 particulates, electrostatic precipitators, there's  
4 continuing RND on electrostatic precipitators, how to  
5 make them clean, how to apply them to new generation,  
6 but activated carbon injection, now that it's being sold  
7 -- and it's about a million dollars of capital cost for  
8 the activated carbon injection systems -- I would say  
9 that's passed the RND phase. Sid and others would be  
10 wise to continue down the RND path to find lower cost  
11 solutions.

12 Q. Do you believe some combination of  
13 co-benefit technology, mercury-specific controls,  
14 including ACI, is available to meet the goals of the  
15 Illinois proposed rule?

16 A. Yes.

17 MADAM HEARING OFFICER: Question No.  
18 20.

19 MR. HARRINGTON: Could I have that  
20 read back to me?

21 (At which point, the prior question  
22 was read by the court reporter.)

23 MR. HARRINGTON CONTINUES:

24 Q. For clarification, do you believe that

1 such technology is available to meet the limits in the  
2 Illinois rule by the dates stated in the Illinois rule  
3 or do you have an opinion on that subject?

4 A. I would say, because I'm not familiar with  
5 all the facilities and how they would be configured, I  
6 do not have an opinion on it.

7 MR. ZABEL CONTINUES:

8 Q. In the question that Ms. Bugel asked  
9 previously co-benefit technology with ACI, in your  
10 answer, what did you assume she meant by "co-benefit  
11 technology."

12 MS. BUGEL: I'm sorry. I don't think  
13 that was my question, if it could be read back.

14 MR. ZABEL: Surely.

15 (At which point, the prior question  
16 was read by the court reporter.)

17 MR. ZABEL CONTINUES:

18 Q. In answering the question, what did you  
19 assume she meant by "co-benefit technology"?

20 A. I was assuming it was some of the  
21 technologies that could be used to do oxidation in the  
22 systems where it's needed, that if there are an FDG  
23 system, wet or dry FDG system that would be operating  
24 the fabric filter and electrostatic precipitator is

1 acting, in some way, of a co-benefit approach. All  
2 these technologies are integrated to deal with a number  
3 of different pollutants, and obviously, mercury is a  
4 pollutant de jour for this hearing, but they are  
5 integrated to deal with the whole suite of different  
6 pollutants.

7 Q. Is it your view that ACA alone would be  
8 sufficient to do that?

9 A. To do what?

10 Q. I think her question was to meet the  
11 requirements of the proposed rule, but I can have it  
12 read back.

13 MR. HARRINGTON: Goals of the proposed  
14 rule.

15 MR. FORTER: Yeah. Not just because  
16 we do activated carbon injection is being used in  
17 different configurations itself. There are two  
18 different technologies here, the Toxicon I and Toxicon  
19 II, and apparently, there's a Toxicon 1.5 or 3 out there  
20 now, so they do not, in any case, rely just on activated  
21 carbon injection.

22 MR. ZABEL CONTINUES:

23 Q. But my question is just ACI. There are  
24 units in the state that have none of those other

1 technologies currently on. Is it your view that all of  
2 those units with just ACI could meet the goals of the  
3 proposed regulation?

4 A. The goal is 90 percent?

5 Q. Yes, sir, or .08.

6 A. I really don't know.

7 MADAM HEARING OFFICER: Question No.  
8 20.

9 MR. FORTER: "In your testimony, you  
10 list the creation of jobs as a benefit of the proposed  
11 mercury control regulations. Who would pay for these  
12 jobs?" In our industry, the payment of the jobs is --  
13 it's like building something on your house. I end up  
14 paying for it, but I think, in society, we end up --  
15 everybody pays for these kinds of jobs. It's,  
16 obviously, a benefit, and I don't look at it as a  
17 negative in who pays for the jobs. Job creation is a  
18 good thing in this country. These are technologies that  
19 require often times, depending on the different  
20 technologies, some other skilled laborers, including  
21 electricians and craftsmen and stuff like that, so who  
22 pays? I think if it's done through a rate-pay system.  
23 If not, then the power plant, who is in business of  
24 creating power costs, pays for it, but I think it's the



1 installation cost will actually pay for it.

2 MR. FORCADE CONTINUES:

3 Q. Would you anticipate any circumstance in  
4 which the expenditure for the control devices and  
5 operating expenses of ACI would result in a need by a  
6 company to reduce employment in other areas?

7 A. I cannot foresee that, but I don't know.

8 MADAM HEARING OFFICER: Anything else  
9 for Mr. Forter? Thank you very much, Mr. Forter.

10 MR. KIM: Thank you very much for  
11 allowing us to put him up first.

12 MR. HARRINGTON: This is not for the  
13 witness. This is a question of procedure, really two  
14 questions. Number one, is it my understanding that the  
15 goal is to get through the economic modeling today, and  
16 then get to the technology with Dr. Staudt tomorrow?

17 MR. KIM: Working backwards from our  
18 hoped end date of Friday and taking into account that  
19 everyone's appetizing up to the main course of  
20 Dr. Staudt, we are trying to leave as much time for him,  
21 so we would be able to have, at least, two full days for  
22 Dr. Staudt. That's why maybe we're being a little  
23 aggressive, is our way, but we're hoping to get through  
24 these three witnesses today.

1                   MR. HARRINGTON: In terms of trying to  
2 meet the schedule, if we can meet it -- and that's not  
3 my problem. The question I raised both with the Agency  
4 and with the Board is my understanding all economic  
5 modeling rests on the technology testimony and  
6 conclusions of Dr. Staudt. Reversing those two means  
7 that, if Dr. Staudt changes conclusions as we go through  
8 these plants as to what the economics are and what the  
9 technology is then, the modeling testimony is going to  
10 be left up in the air. If the Agency wants to proceed  
11 that way, I guess that's between them and the Board, but  
12 I think we should be aware of the fact that there is a  
13 real danger that things will be out of whack. I don't  
14 need an answer right now.

15                   MR. KIM: I understand what you're  
16 saying, and that certainly makes a lot of sense. To be  
17 honest with you, I think a big part of our suggestion is  
18 more, again, logistics. I, honestly, haven't asked  
19 Dr. Staudt about his availability for next week. I  
20 haven't wanted to think about it. I know Dr. Hausman is  
21 not available next week and I know Dr. Hausman has  
22 about, at least, on paper, about a seventh of the number  
23 of questions that Dr. Staudt has, so that was, again, I  
24 was just thinking more from a logistical standpoint that

1 somebody that has fewer questions and I know he's not  
2 available next week, and someone who has a lot more  
3 questions. That was a big part of it. What you're  
4 saying makes sense, and if I knew somehow that we were  
5 going to get through everybody by Friday, I would have  
6 no problem with --

7 MR. ZABEL: Just to add a fact to that  
8 analysis, yes, there are a great deal fewer questions  
9 filed for Dr. Hausman, but that was because he was  
10 relying on Dr. Staudt and it was changing so fast, and  
11 we simply didn't file the questions. I have a great  
12 many question for Dr. Hausman, but I didn't file them  
13 because I didn't know where that was going to land.

14 MR. KIM: I'm assuming that there's  
15 going to be a lot more than on paper for Dr. Hausman,  
16 but I'm assuming there's a lot more for Dr. Staudt, and  
17 I Dr. Staudt has some 150, 160 questions and Dr. Hausman  
18 I think has 20, so that was part of it. We will do  
19 what the Board asks, and we'll accommodate and roll with  
20 the punches as best we can.

21 MADAM HEARING OFFICER: We will take a  
22 break and we'll come back. Before we take the break  
23 though I just want to let everyone know for those of you  
24 who, like me, think mercury is the be all and end all of

1 our existence right now, the board has a special board  
2 meeting for 12:15 tomorrow, so the board members will  
3 have to be at a video conference, so we will take a  
4 break around noon tomorrow and it will be until like  
5 1:30. I felt that was probably the best way to work it  
6 in with these hearings, but the board does need to hold  
7 a special meeting tomorrow. With that, let's take a  
8 10-minute break.

9 (A 10-minute break was taken.)

10 MADAM HEARING OFFICER: Before break,  
11 we were discussing and Mr. Harrington and Mr. Zabel both  
12 brought up the point about the Agency's participated  
13 order, and the Agency indicated would do what the board  
14 preferred. As I indicated to Mr. Kim off the record  
15 yesterday, I, personally, would have liked to see  
16 Dr. Staudt way earlier. That was just my personal  
17 preference, but in talking, we feel that Dr. Staudt will  
18 have some impact on the economics, and I agree with the  
19 points made by Mr. Zabel and Mr. Harrington that  
20 Dr. Hausman's testimony is, if it's not technically  
21 feasible, it's not economically reasonable and vice  
22 versa, so I think we need to hear the technical  
23 testimony next, so it would be my goal to finish with  
24 Mr. Nelson before we finish for lunch and zoom through

1       these questions and get there, but I do want to take  
2       this opportunity -- I do appreciate that we are all  
3       working towards the goal of leaving Springfield on  
4       Friday, and I appreciate that, so that would be our  
5       choice. We will go with Mr. Nelson and Dr. Staudt.

6                       MR. ZABEL: Just so the record is  
7       clear because this has been hinted at a number of times  
8       and this may help for Dr. Hausman, in a way, we have  
9       always read your order of May 4 as saying that, if we  
10      don't conclude Friday the proponents' case, that they  
11      will continue on August 14, not next week. The order  
12      specifically, said, in the unlikely event that any  
13      person -- that includes the Agency -- to prefile  
14      testimony for the June 12 hearing cannot testify because  
15      time does not allow, that person will testify at the  
16      beginning of the August 14 hearing. We have prepared,  
17      both, availability of our lawyers and our experts who  
18      are observing these hearings for that eventuality, but  
19      not for one that goes next week.

20                      MADAM HEARING OFFICER: I understand  
21      that that would be an interpretation of my Hearing  
22      Officer Order. However, the intent behind that when I  
23      drafted it was that, if someone other than the Agency  
24      prefiled testimony, I do not see any benefit, if I may,

1 of holding off, until two weeks in August, to continue  
2 with the Agency when the two weeks in August is,  
3 specifically, set aside for the people who don't agree  
4 with the Agency's proposal, and that was the intent of  
5 that hearing, and I think that was emphasized in the  
6 prehearing conferences we held. Because how can you  
7 possible be ready to respond to Agency testimony that  
8 has not had a chance to cross-examine on in that August  
9 hearing?

10 MR. ZABEL: That's exactly the issue  
11 we raised in our motion to be ruled on by the Board. We  
12 have forewarned the Board of that risk, and we have to  
13 take it because you continue the Agency's presentation  
14 into August, and have ours follow immediately after it,  
15 that would be a basis we'll raise on the record as an  
16 objection, and we'll continue and we will go forward  
17 with that objection on the record.

18 MADAM HEARING OFFICER: I understand  
19 that. As I indicated after the Board ruled that they  
20 were not going to give direction at the hearing officer  
21 at this time. We will discuss that as we reach Friday  
22 if. Let me just tell you that my -- if we don't start  
23 again on Monday, if the Agency is not done, I am  
24 disinclined to wait until August to continue with the

1 Agency. That's for a variety of reasons. I do think  
2 that you all deserve your day, and as far as prefilings,  
3 and things like that, if, for some reason, we don't  
4 finish tomorrow -- Friday, if we do not finish on  
5 Friday, obviously, one of the things that we would  
6 certainly discuss is even the requirement of having you  
7 prefile testimony. That may be something that we do not  
8 do. That you are required to prefile testimony because  
9 you won't be able to get that to either the Agency or  
10 the Board in any realistic fashion.

11 MR. ZABEL: Let me say, I didn't want  
12 to wait until five o'clock on Friday to raise this  
13 issue. I wanted to make clear what my client's position  
14 is on this. We have tried to accommodate timing, and if  
15 Dr. Hausman is unavailable next week and that's the  
16 sequence we go in, and you believed another hearing  
17 sometime between now and August were appropriate, we are  
18 certainly open to that consideration. I just wanted to  
19 today, Wednesday afternoon, not Friday evening, to make  
20 our position clear, so you could have it under  
21 consideration.

22 MR. KIM: Obviously, you just stated  
23 that if we do go past Friday, one of the options you  
24 would look into would be relieving them of the

1 responsibility of submitting prefiled testimony,  
2 obviously, if that was going to happen, we would want to  
3 take that up with some discussion, as well, because that  
4 would put us at a disadvantage, and we don't control, at  
5 this point, the pace of the questions.

6 MADAM HEARING OFFICER: I would  
7 disagree with that. I would disagree, to some extent,  
8 you do control the pace of answering the questions.

9 MR. KIM: Answering, yes, but the  
10 number of questions, no.

11 MADAM HEARING OFFICER: We could  
12 debate that, but we won't at this point. I think this  
13 is premature. I still believe that there's a very real  
14 possibility that we could be done by Friday. So with  
15 that, Mr. Harrington.

16 MR. HARRINGTON: Second matter.  
17 Earlier we identified Exhibit 31, the response to  
18 significant public comments received in the response to  
19 the revision of the December, 2001, regulatory finding  
20 of emission hazards, air pollutants, basically, responds  
21 to the comment document and said we would provide copies  
22 for the parties and the Board, and we are doing that at  
23 this time.

24 MADAM HEARING OFFICER: I believe we



1 entered as Exhibit 31 the actual Federal Register  
2 Reconsideration Decision, and we will admit this as a  
3 separate exhibit.

4 MADAM HEARING OFFICER: We will mark  
5 this as Exhibit 47, if there's no objection. Seeing  
6 none, it's marked as Exhibit 47.

7 (Exhibit No. 47 was admitted.)

8 MADAM HEARING OFFICER: I believe we  
9 are ready then to continue with Mr. Nelson. Question No.  
10 7 from Kinkade.

11 MR. NELSON: Question No. 7: "What is  
12 your definition of `commercially available?'" I think  
13 that's very simple, common sense. If you are able to  
14 purchase it, it's commercially available. Are Cadillacs  
15 commercially available? Yes. You are able to purchase  
16 them. Does the supply of Cadillacs -- could General  
17 Motors supply every person in the United States today  
18 with a Cadillac? No. They could not. They don't have  
19 the capacity. If there was a law that they had to, that  
20 everybody could only drive Cadillacs, I'm sure, in short  
21 order, they would have a production capacity for that.  
22 To be commercially available, it simply has to be able  
23 to be purchased, doesn't have to supply a demand that  
24 doesn't currently exist. That would be --

1 MR. FORCADE CONTINUES: Would I be  
2 correct, then, that commercially available does not  
3 imply any statement relating to the technology of  
4 achieving a 90 percent reduction?

5 A. No. Is it commercially -- is technology  
6 available that has been demonstrated at many sites to be  
7 able to achieve 90 percent? Is that technology  
8 commercially available? Yes. At every plant, when you  
9 say "commercially available" is there a standard that  
10 automatically is attached to the term "commercially  
11 available"? No.

12 MS. BASSI CONTINUES:

13 Q. Does "commercially available" mean that it  
14 will meet the demand for, in terms of supply and demand  
15 that it will meet the demand?

16 A. If the demand is there, I guarantee that  
17 the supply will be there. There will be an economic  
18 incentive to do so. For example, right now we can  
19 supply a number of plants on a day-to-day basis from my  
20 existing production facility. That's just my company.  
21 There's other companies that has a larger capacity than  
22 we do, but as I mentioned before, there isn't a single  
23 plant in the country that, on its own volition, is  
24 getting mercury out any more than it is accidentally

1           today, so my plant 90 percent of the time is not  
2           operating.

3           Q.     I'm sorry.  I don't understand.  Does your  
4           plant supply the hardware or just --

5           A.     This is just the sorbents.

6           Q.     Just the sorbents.  What about the  
7           hardware?  And when I refer to "hardware" here I mean  
8           the whole gamut of what's necessary to comply with this  
9           rule.  Is that hardware going to meet the demand?  Is  
10          the production of that hardware sufficient to meet the  
11          demand?

12          A.     Yes.  In my testimony, I asked the  
13          question that's been asked here, "Is activated carbon  
14          injection technology commercially available today?"  Of  
15          course, it is.  We have incinerators all around the  
16          country for the last five to 10 years.  We have these  
17          exact same systems, silos, the feeders, the blowers, the  
18          transporters, the injection lances.  They have been  
19          provided and are operating today at incinerators in this  
20          country, and even longer in Europe.  The carbons, the  
21          activated carbon is supplied for mercury control and in  
22          incinerators today.  There's trucks going out, and it's  
23          being used for that today.  Is it commercially  
24          available?  Yes.  Can we, if there's increased demand,

1 can we expand it? Yes. What we need is a little bit of  
2 regulatory certainty. I'm not going to build --  
3 already, as I mentioned, I have a plant I have invested  
4 in, and it's sitting idle 90 percent of time. I'm not  
5 going to expand production three years ahead of time.  
6 That's just throwing money away. The delays caused by  
7 regulatory uncertainty and the lawsuits against the  
8 regulations that make it uncertain, and that's why we  
9 delay the production capacity buildup, but if the demand  
10 is there, there's an economic incentive for the supply.

11 MR. ZABEL CONTINUES: Using your  
12 Cadillac analogy, Mr. Nelson, if the regulatory  
13 requirement that they supply everyone in the country  
14 with a Cadillac, everyone driving stayed within the law,  
15 if we can, they couldn't do it tomorrow, could they?

16 A. No, they couldn't.

17 Q. There would be some time lag, would there  
18 not?

19 A. Exactly, to build up the capacity to  
20 create all those Cadillacs.

21 Q. I realize your plant is idle, but do you  
22 know how long it would take to build up the capacity,  
23 not just the sorbent, as Mr. Bassi asked, but for the  
24 entire pathway it would take to comply with this rule?

1           A.     The issue would be the various halogenated  
2           sorbents, themselves. Right now there is tremendous  
3           excess capacity in the world in activated carbon. Even  
4           in this country, Calgon has production lines that they  
5           have mothballed because of there isn't enough demand.  
6           There's excess capacity in Germany and China, for  
7           example, for base carbons. All we do, that my company  
8           does, for example, is -- we don't actually produce the  
9           carbons. We simply bromate them. We halogenate them,  
10          which is a very simple process kind of a one-step  
11          process to treat the existing product. Particularly, if  
12          Illinois is going to have, instead of the whole country,  
13          it might be -- I would say there would be some issues  
14          with respect to timing, if the whole country was going  
15          to 90 percent control within two years. If just  
16          Illinois, or Illinois and a few other large states do it  
17          within three years, I don't think it's an issue at all.

18          Q.     Is that true, not just for halogenated  
19          activated carbon, but for the hardware and the craft  
20          unions and other things in Illinois that would go with  
21          complying?

22          A.     I'm going to speak, specifically, to  
23          sorbent injection. There are competing technologies.  
24          If you are talking about putting in scrubbers, you do

1        need specialized trades labor in that case. With  
2        respect to -- I mean, all we are talking about is a  
3        silo, as you drive around Illinois here, and you pass  
4        the grain silos and things that's that. We're talking  
5        about a feeder and simply a blower. This is  
6        100-year-old technology, just blowing a powder through a  
7        pipe. It's not real high-tech, so with respect to  
8        activated carbon injection technology, there's no trade  
9        labor involved. You can even install these systems  
10       while the plant is currently operating. There's not  
11       long lead times, necessarily. Now, if you are talking  
12       about some of the other mercury control technologies,  
13       like if you have to install a new fabric filter, or if  
14       you have to install a scrubber or something of that  
15       nature, then you can be talking a couple years lead time  
16       in trade labor, and that's a more involved procedure,  
17       but for sorbent injection, it really isn't an issue.

18                Q.     You do need penetrations of the duct, do  
19        you not?

20                A.     Yeah. You can hot tap while the plant is  
21        going. All you do is drill a hole in it. That's not  
22        hard. It would be preferable to have a scheduled  
23        outage, but it's not required.

24                Q.     What kind of trade labor is needed for

1 that?

2 A. Just need -- usually, you don't have to  
3 bring anybody in. When we do our installations, which  
4 are temporary, because these are month-long trials, the  
5 plant personnel will drill the hole, and put in a  
6 fixture there for us. Then all we do is insert the  
7 lance. These are under negative pressure, typically,  
8 the vast majority of plants, so you poke a hole in there  
9 and gas gets sucked in, air gets sucked in and not  
10 coming out, so you can do it while the plant is  
11 operating if you have to.

12 Q. Have all your installations been  
13 temporary. Is that correct?

14 A. Our installations, yes. As I mentioned,  
15 there isn't a plant currently doing it. Plants will not  
16 do it of their own volition, unfortunately. They are  
17 not in it to -- as long as they can spew stuff out the  
18 stack, they will. At least, that's the history of  
19 mercury.

20 MS. BASSI CONTINUES:

21 Q. Forgive me if I'm jumping ahead, but would  
22 the installation for a permanent -- would a permanent  
23 installation be different from a temporary installation?

24 A. 90 percent of it would not be. There are

1 a couple plants where you have to do a little bit more  
2 than simply sorbent injection. You may want to modify  
3 various pieces of equipment to improve the performance  
4 or lower the costs, but in a temporary month-long test,  
5 it doesn't usually justify the cost to do that.

6 MR. BONEBRAKE CONTINUES:

7 Q. I think you mentioned that there's an  
8 excessive supply of carbon. Is that true?

9 A. Yes.

10 Q. Would your expectation be that, if there  
11 is increased demand for carbon due to regulatory  
12 developments that that excess will disappear?

13 A. There's so much that I would not, unless  
14 you see in national 80 or 90 percent cap in the near  
15 future, I would not expect to see it disappear quickly,  
16 nor, for example, at one of the three large carbon  
17 producers in this country. They have plans to increase  
18 their own capacity, but again, they want to make sure  
19 that there's demand out for it. It's a financial  
20 decision. They don't want to have excess capacity and  
21 make those investments and not have any demand to  
22 support them.

23 Q. Will CAMR require, approximately, 70  
24 percent reduction nationwide by 2018?



1           A.     No.  It says that on the books, but you  
2     have to understand where CAMR came from.  According to  
3     the Government Accountability Office, the GAO study, and  
4     this inspector general for the EPA, the origin cap the  
5     2010 cap of only about a 20 percent reduction, and then  
6     2018 of 69 percent, those were not bottom-up  
7     regulations, but according to those internal reports,  
8     government investigations, those were top-down, that the  
9     EPA workers were told that -- to come up with a  
10    standard, for example, of 34 tons nationwide for 2010,  
11    and that number came from, again, top-down.  What's been  
12    call co-benefits here is kind of a misnomer.  It's  
13    really what is accidentally.  I call it accidental mercury  
14    reduction.  It's what mercury are we getting out with  
15    zero cost without even trying in a scrubber, and  
16    basically, those numbers came from, and the CAMR numbers  
17    came from an analysis.  It was a guess by the EPA, if we  
18    install CAIR, if we install NOx control and scrubbers  
19    for SO2 and NOx, how much additional mercury  
20    accidentally are we going to be getting out nationwide,  
21    and that's where those numbers come from, according to  
22    the General Accountability Office and inspector general  
23    reports, so I don't anticipate.  They kind of had a  
24    baseline, if we do not require a power plant to go out

1 of its way and spend one dollar intentionally trying to  
2 reduce mercury, what would the timetable be? So under  
3 CAMR, we don't anticipate much activated carbon  
4 injection because that's another reason why they went to  
5 a cap and trade. There's nothing wrong with cap and  
6 trade, if the cap is high, but if the cap is very low,  
7 like 20 percent, you are going to put some scrubbers in.  
8 They are going to be getting 90-plus percent control.  
9 Then you are going to have a bunch of plants in Illinois  
10 that don't have scrubbers, for example. How do we make  
11 sure that they comply, and get a 20 percent reduction?  
12 Well, we have to allow them to purchase the allocations,  
13 the mercury reductions that are made in the east with  
14 these scrubbers that are being installed, so you won't  
15 necessarily have any mercury reductions within Illinois,  
16 but you will have a lot in Pennsylvania where all these  
17 scrubbers are going in or other places, so you needed a  
18 way to transfer those mercury reductions, so that every  
19 plant would meet the reductions.

20 Q. I didn't ask you about phase one reduction  
21 and I didn't ask about CAIR co-benefits and I didn't ask  
22 about reductions in Illinois. My question was, as of  
23 2018, does U.S. EPA say in its CAMR cap will result in  
24 reductions of, approximately, 70 percent nationwide?

1           A.     Yes.  My answer -- I thought when we read  
2     the question, do you anticipate carbon sales in 2018.  
3     You were talking about capacity and that sort of thing.  
4     Under CAMR, we don't anticipate much mercury control,  
5     specifically, for mercury, which would be carbon  
6     injection.

7                         MADAM HEARING OFFICER:  Could we take  
8     a break.

9                         (Discussion was held off the record.)

10                        MR. NELSON:  "Will CAMR require 69  
11     percent from where we are today?"  I think that's the  
12     way it's designed.

13                        MR. BONEBRAKE CONTINUES:

14                        Q.     Is it true, Mr. Nelson, that, in light of  
15     CAMR and various state efforts, that you expect an  
16     increase in the use of carbon for mercury control in the  
17     next decade or so?

18                        A.     I think I have already answered that.  No  
19     I do not, under CAMR, do not expect much sales of carbon  
20     for mercury control.

21                        Q.     You had also mentioned I believe that, if  
22     ACI is installed, that trade labor is, typically, not  
23     involved, but that's not true if ACI is installed in  
24     connection, either with a change to an ESP, or an

1 addition of a bag house. Is that correct?

2 A. If you had an ESP -- I think I answered  
3 that -- yes. There was quite a bit of trade labor  
4 involved, if you do hardware installations in  
5 conjunction with ACI.

6 Q. Is it also true that, if it's necessary to  
7 install ACI, to also install duct work, that the duct  
8 work is, typically, done by trade labor?

9 A. I'm not aware of any demonstrations where  
10 they installed duct work in a simple retrofit, but if  
11 you did construct duct work, then you would need a trade  
12 labor, yes.

13 MADAM HEARING OFFICER: Can we move on  
14 to Question No. 8.

15 MR. NELSON: What is your definition  
16 of "cost effectiveness"? I think that's a relative  
17 term. It simply denotes benefits, either total benefits  
18 or one type of benefits, divided by cost. Benefits  
19 divided by cost would be cost effectiveness.

20 MR. FORCADE CONTINUES:

21 Q. Do you have a particular value? Eight  
22 dollars per benefit, or whatever it is, that would  
23 constitute something being cost effective. Describe  
24 something as being cost effective.

1           A.     For example, where the cap-and-trade  
2           program, an allocation is going to be per ounce of  
3           mercury emitted, so you have dollars per ounce of  
4           mercury emitted. We frequently use dollar per pound of  
5           mercury removed and the same thing divided -- times 16.  
6           That varies from site to site, and it varies with the  
7           degree of removal, how much mercury is in the coal, but  
8           if you assume a market in allocations, the market will  
9           be in cost effectiveness units, or dollars per ounce of  
10          mercury removed.

11          Q.     I'm saying do you have a specific value  
12          where you say, "At this value or below, the technology  
13          is cost effective"?

14          A.     "Cost effective" again, is a relative  
15          term. You have to go to what is your next -- you can  
16          compare two alternatives and say which is the more cost  
17          effective. You can't say one thing is cost effective  
18          and another thing is not because it's all relative to  
19          what the alternative is. You mentioned that this comes  
20          from my testimony. If you can point that out, I can be  
21          more specific as to where I used that term and what I  
22          meant in that particular use.

23                                   MADAM HEARING OFFICER: Question No.  
24          9: "What is your definition of "economically feasible"?

1 I think that depends on context. Again, it matters what  
2 your next best alternative is. I would, just generally,  
3 consider something economically feasible if it doesn't  
4 put the entire operation at risk financially.

5 MADAM HEARING OFFICER: Question No.  
6 10.

7 MR. NELSON: "Please explain your  
8 statement on page two of your testimony that the cost  
9 and results for sorbent injection technologies vary,  
10 depending on the type of coal burned, and the existing  
11 equipment at the plant. This is where you would imagine  
12 that each utility is going to try and minimize the costs  
13 of meeting the regulation at each individual plant, so  
14 you have to do a very plant- or boiler-specific  
15 analysis. That will vary, for example, between plants  
16 primarily based on the coal burned and the pollution  
17 equipment. For example, the coal is burned. At least,  
18 with sorbent injection -- well, any technology that we  
19 add to a plant to control mercury for sub-bituminous  
20 coals and northern lignites, sorbent injection of  
21 halogenated injection, so far, has proven to be very,  
22 very cost effective, and is probably the low cost  
23 technology currently at most of these plants. The  
24 bituminous plants, because the flue gas, contains a lot

1 more chemicals. Bituminous coal is a more complex  
2 garbage that's being burned. We tend to have to inject  
3 more sorbent to get a similar removal rate. Illinois is  
4 very fortunate in that the vast majority of your  
5 existing fleet is burning these sub-bituminous coals.  
6 With respect to the existing pollution equipment control  
7 equipment at the plant, for example, if you're one of  
8 the lucky plants that have fabric filters existing  
9 today, you can get by with very, very little sorbent  
10 because that helps the mass transfer. You don't have to  
11 purchase and use as much sorbent. If you have a wet  
12 scrubber, for example, you're already, or can, with a  
13 little bit of modification, get very high mercury  
14 removal if you have bituminous coal. If you have a  
15 spray dryer, fabric filter, as on some sub-bituminous  
16 coals, again, adding a very, very little bit amount of  
17 halogenated sorbent can give you high removal rates, so  
18 it is going to vary somewhat plant to plant as to what  
19 we call native removal, or accidental removal at the  
20 plant already is, and then how much sorbent if you're  
21 using sorbent injection, you would have to purchase and  
22 use to get a particular degree of control.

23 MR. FORCADE CONTINUES:

24 Q. I believe earlier you had mentioned that

1       it could be measured in terms of dollars spent per  
2       either ounce or pound of mercury. Can you give us  
3       dollar ranges that would apply to sub-bituminous plants  
4       so we can put upper and lower bounds on that?

5             A.     For sub-bituminous plants with just cold  
6       side ESP's, which is the dominant configuration in the  
7       state of Illinois, based on those 30-day, full-scale  
8       runs that we and others have done in the DOE programs,  
9       for 90 percent mercury removal, you're probably talking  
10      in the order of \$5,000 to \$10,000 per pound of mercury  
11      removed. If you go to 75 percent, the lower bound, you  
12      could be talking anywhere from \$3,000 to \$5,000 per  
13      pound of mercury removed and you would divide that by 16  
14      to get per ounce removed. Now, at some other plants, it  
15      might be significantly higher. For example, bituminous  
16      plants that have high SO<sub>3</sub>, which I think we will get  
17      into, you would have more sorbent requirements, and you  
18      might be on the order of \$20,000 to \$25,000 per pound of  
19      mercury removed. If you have lower mercury in the coal,  
20      then, for a given amount of sorbent, you are going to  
21      get less mercury out, so you would have relatively  
22      higher costs, but you would have less mercury to get  
23      out, so it varies from plant to plant.

24                   MR. BONEBRAKE CONTINUES:



1           Q.     I think you confined that answer to cold  
2 side ESP units. For hot side ESP units, what's the  
3 corresponding dollar amount, Mr. Nelson?

4           A.     You have I believe three hot side units  
5 here in Illinois, one of which is going to switch, for  
6 other reasons, to a fabric filter, so we are talking  
7 particularly about Will County No. 3 and Waukegan Unit  
8 No. 7. We are going to do one of these DOE 30-day  
9 demonstrations at Will County early next year. So far,  
10 we have only demonstrated -- my company has demonstrated  
11 on two hot side units, Cliff Side Unit, and the Buck  
12 Station of Duke Energy. The Buck demonstration was a  
13 30-day demonstration. Cliff Side was a shorter-term  
14 testing. Now, those two were done with bituminous coal,  
15 which I said requires more sorbent. Now, the technical  
16 analysis that Dr. Staudt did assumed the Toxicon  
17 arrangement for those two units where you actually build  
18 a fabric filter and you can inject less sorbent, but you  
19 have higher capital costs, and that's with the  
20 assumption is in his cost calculations in his analysis.  
21 My company believes that we're going to be able to have  
22 significantly lower costs than that because we are  
23 dealing with sub-bituminous coals in our demonstrations  
24 here. We haven't actually shown that, yet. That still

1 remains to be seen. We will know a lot more in about  
2 nine months, but I would expect -- my expectation is,  
3 based on all the other demonstrations, is that we will  
4 probably be, for 75 percent control at those units, for  
5 example, at Buck, we got -- 70 percent control at  
6 injection rate of 10 pounds per unit ACF. This was one  
7 of those situations where we could have done even better  
8 if we had invested a little bit in some hardware  
9 modifications, but because it was only a temporary test,  
10 we didn't do that, but I would estimate that we will be  
11 probably in the 10 to -- say 8,000 to 10,000 per pound  
12 of mercury removed. Some of it is going to depend on  
13 how much mercury is in the coal on those particular  
14 units, on those two units, and also, whether they are  
15 going to continue to sell their fly ash. They sell fly  
16 ash, a significant amount of fly ash, out of the  
17 Waukegan Unit.

18 DR. GIRARD CONTINUES:

19 Q. What were the costs observed at the  
20 studies that were run?

21 A. On the coal sides with bituminous coal?

22 Q. I think we are talking about the hot  
23 sides.

24 A. The hot sides with bituminous coal. At 70

1       percent, 10 pounds per million ACF, the particular  
2       mercury on their coal -- I am going to have to get back  
3       to you on a particular calculation, but my guess is  
4       \$25,000 or \$30,000 per pound mercury removed. But  
5       again, that was bituminous hot side, which is going to  
6       be more expensive than sub-bituminous.

7                               MR. BONEBRAKE CONTINUES:

8               Q.       The \$8,000 to \$15,000 per pound number  
9       that you gave us, does that assume no requirement to add  
10      a bag filter.

11              A.       That's correct. This is just simple  
12      injection of sorbents. Dr. Staudt did the costs if you  
13      put in a fabric filter. You consume much, much less  
14      sorbent if you have a fabric filter, but you do have the  
15      capital cost of the fabric filter.

16              Q.       I think you said, Mr. Nelson, that the  
17      only tests studies on the hot side ESP's that your  
18      company has performed, both have involved units that are  
19      burning bituminous, as opposed to sub-bituminous coal?

20              A.       Right.

21                           MADAM HEARING OFFICER: I think we  
22      have answered 10-A, as well, have we not? I think we  
23      are ready for Question No. 11.

24                           MR. ZABEL CONTINUES:

1           Q.     I had a follow-up. I'm not sure I could  
2 follow all your numbers, Mr. Nelson. Is it, on a per  
3 pound or per ounce of mercury removed, less expensive at  
4 a given percentage removal, I guess, the higher the  
5 mercury content in the coal?

6           A.     Yes, because let me explain the way  
7 sorbent injection works. If you inject -- it's a  
8 constant removal rate kind of technology. If we have 10  
9 molecules of mercury, say it's a high mercury coal, and  
10 we get 90 percent out, we get nine of them out, and  
11 that's the denominator, cost for a certain amount of  
12 carbon divided by how much you get out, mercury removed.  
13 If you have a low mercury coal to start with, and you  
14 only have five there, and you get 90 percent, you are  
15 getting four and a half, so the denominator -- you get  
16 less removed for a given cost. Now, if you -- let's say  
17 we inject one pound or X pounds per million per cubic  
18 feet of gas, and let's say we get 50 percent of the  
19 mercury out. If we inject 2X, we get that 50 percent  
20 with the first X and get 50 percent of the 50 percent we  
21 didn't get out the first time, so you get 75 percent, 50  
22 plus 25. If you inject 3X, you get 50, plus 25, plus 12  
23 and a half with that third X, so there's a bit of  
24 declining returns to increased sorbent, so it,

1 generally, costs a little more to get to higher removal  
2 rate levels.

3 Q. So all things being equal -- and I  
4 understand that all things are never equal -- I would be  
5 better off burning a high mercury content coal than a  
6 low mercury content coal?

7 A. In terms of cost effectiveness, yes. In  
8 terms of -- however, in terms of getting 90 percent out,  
9 to be honest, it's not going to matter. We will get 90  
10 percent out with so many X pounds if you have high  
11 mercury or low mercury, but frankly, I believe that most  
12 power plants in Illinois are going to end up meeting the  
13 .008 pounds of mercury per gigawatt hour standard  
14 because since most are sub-bituminous, if you look at  
15 what the actual mercury levels are, typically, in  
16 sub-bituminous coal, that will be a slightly easier  
17 standard.

18 Q. Looking at your example of the 10 and five  
19 molecules, actually get 90 percent and have an entire  
20 molecule of mercury left on the 10. I would have only  
21 half left on the five. So I would have higher mercury  
22 emissions with a higher mercury input to the control  
23 device, even though I'm meeting 90 percent. Is that  
24 correct?

1           A.     That's true.  If you are meeting 90  
2     percent on both, so you have to be careful about how the  
3     standard is written, and actually what the standard is,  
4     definitely.

5                           MADAM HEARING OFFICER:  Question No.  
6     11.

7           MR. NELSON:  "Is the St. Clair Power  
8     Plant you discussed on page three of your testimony  
9     similar in operations to the coal-fired electric  
10    generating utilities currently operating in Illinois?" I  
11    would say yes.  It's very similar to many of those  
12    because it burns sub-bituminous coal primarily.  They  
13    mixed in, as many Illinois plants do, or at least, some  
14    Illinois plants do, they mixed, on average, about 15  
15    percent bituminous and 85 percent sub-bituminous burning  
16    concurrently, so the coal is very similar.  The  
17    configuration with just a cold side ESP and no scrubber  
18    is similar to the majority of plants in Illinois.

19                           MR. HARRINGTON CONTINUES:

20           Q.     Let me start.  We touched on some of the  
21    same questions, but maybe this is the appropriate place  
22    to explore this a little bit.

23                           MADAM HEARING OFFICER:  As long as you  
24    help me remember which one of these questions are.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MR. HARRINGTON CONTINUES:

Q. We will deal with the other tests, too, but since this was brought up at this point, you know the term "SCA"?

A. Certainly.

Q. Can you explain it?

A. "Specific Collection Area" is a measurement, a relative measurement, of the square feet of plate collection area in an electrostatic precipitator to the quantity of gas flow through the ESP, so it's a relative measure of the size of an ESP physically.

Q. So the more SCA, specific collecting area, the larger the ESP as a more removal you would expect it to achieve. Is that correct?

A. In general, yes. We might want to talk about this -- you have a number of questions on this later.

Q. I can postpone these questions, until then, but maybe just for the record, what's the size of the SCA in the Detroit study?

A. St. Clair had a large electrostatic precipitator. It had I believe six fields in it. Two of them were not energized, were not used, so as

1 designed, if it was operating as designed, it would have  
2 a selective collection area of I believe 700 square feet  
3 per thousand actual cubic feet of gas flow, so the  
4 number of 700 is kind of the number to remember. As I  
5 mentioned, only two-thirds of it was operating during  
6 the month of testing, and so it had an effective SCA of  
7 about 470. Now, 470 is still relatively high. It would  
8 probably be about 70th percentile is my guesstimate, if  
9 you look nationwide, so it was still larger than  
10 average, in terms of the physical size of the ESP.

11 Q. I will reserve my questions on the rest of  
12 these and asked if that's appropriate.

13 MADAM HEARING OFFICER: That's fine.

14 DR. GIRARD CONTINUES:

15 Q. Can I just follow up real quickly. In  
16 your answer to Question No. 11, when you say that the  
17 St. Clair power plant is similar in operations to plants  
18 in Illinois, you are just making a general statement,  
19 aren't you?

20 A. Yes. There are plants that are totally  
21 different.

22 Q. So you have not prepared a checklist, a  
23 spreadsheet, and gone down it, and compared this plant  
24 to plants in Illinois on very specific architect or



1 engineering or other features?

2 A. Actually, I have done that now. When I  
3 got those configuration data, that's what I did, so I  
4 can say -- like I said, this pertains to the mode or  
5 there are more plants that are very similar to St. Clair  
6 than any other plant. It is very similar, but there are  
7 some that are totally different.

8 Q. So it's still a general statement?

9 A. Yes. It's a general statement.

10 MR. FORCADE CONTINUES:

11 Q. When you say it's similar, are you talking  
12 about being configurationally similar? It has cold side  
13 ESP or are you talking similar, in terms of the size of  
14 the output of the facility, the square foot of the bag  
15 house, or electrostatic precipitator? How are you --

16 A. From a mercury control standpoint, as I  
17 mentioned, the important things are the coal that's  
18 burned and the configuration of existing equipment, and  
19 in those two categories, it is similar to many plants in  
20 Illinois.

21 Q. I'm sorry. Perhaps my question wasn't  
22 framed correctly. Do you mean it was similar in that it  
23 had a cold side ESP or do you mean it was similar in  
24 that the size of the cold side ESP was similar to the

1 one you were evaluating? Configurationally, they might  
2 have been the same plant, but if one had a very large  
3 ESP and the other a very small, would that have made a  
4 difference?

5 A. Not in terms of mercury removal. I mean,  
6 it makes a difference of potentially in particulate  
7 control, but in terms of mercury removal, it's similar  
8 in the type of coal that's burned to many plants, and  
9 it's similar, in terms of existing air pollution control  
10 configurations that are important for mercury.

11 Q. Would I be correct that the mercury is  
12 actually removed in the particulate matter of the ESP  
13 after it adheres to an activated carbon?

14 A. The sorbent is removed. The mercury is  
15 actually captured, predominantly, in the duct work on  
16 the way, but then you have to get the sorbent out of the  
17 gas stream, and that's taken out in the particulate  
18 control device.

19 Q. So if the particulate control device were  
20 less effective, would you not have higher mercury  
21 emissions?

22 A. No. 99.X percent of the particulate is  
23 taken out in whatever device you get, so the degree --  
24 there's side issue that we will get to in some of the

1 other questions with respect to the SCA of -- are there  
2 balance of plan issues? But with respect to mercury  
3 control, the performance of the ESP, with respect to  
4 mercury control, really has no effect.

5 MADAM HEARING OFFICER: Question No.  
6 12.

7 MR. NELSON: "How much do your  
8 companies various control systems as described in your  
9 testimony cost? Would factors weigh into the cost of  
10 the systems?" There's two costs, as the testimony  
11 points out. One is in the capital cost of the equipment  
12 and as Mr. Forter mentioned, the cost of a sorbent  
13 injection system for particulate boiler, assuming a 100  
14 percent redundancy, so you, basically, have two feeders,  
15 in case there's problems with one. You switch over to  
16 the second one. Really, all it is is a silo with some  
17 feeders, a blower, a pipe going to the duct work and  
18 then some lances, which are just, basically, pipes  
19 sticking into the duct blowing into the duct work.  
20 That's the capital usually involved. That will vary --  
21 the cost of the units that we have bid on is \$350,000 to  
22 half a million dollars, and then there are costs with  
23 installing them and according to the plant, that might  
24 be another couple hundred thousand dollars, so your cost

1 is half a million, to three quarters of a million  
2 dollars per plant. And it can be a little less now on  
3 smaller units, but that's pretty basic. It's also  
4 depending on the plant, two to four dollars in capital  
5 cost per kilowatt of power capacity, so you are talking  
6 two, to four. The larger units would have the two and  
7 the smaller units would have the four. Again, you are  
8 just dividing by a larger or smaller denominator. Now,  
9 in relative terms, a wet scrubber would maybe be \$200  
10 per kilowatt, so you are talking 50 to 100 times more  
11 than the capital cost of activated carbon injection.  
12 For, basically, the cost of one medium-sized wet  
13 scrubber in Illinois, you could outfit 50 plants, 50  
14 boilers. For the majority of the boilers, could be  
15 supplied with activated carbon injection. Then you have  
16 operating costs. Operating costs in activated carbon  
17 injection if it's simple activated carbon injection into  
18 an ESP, it's really just the cost of the carbon. For a  
19 halogenated activated carbon today, delivered price cost  
20 would be roughly a dollar a pound, so the question asks  
21 for those costs.

22 MADAM HEARING OFFICER: Question No.  
23 13.

24 MR. NELSON: "In your testimony on

1 page three, you state the quantity of the sorbent you  
2 need to inject into a sub-bituminous plant is directly  
3 proportional to the mercury removal to be achieved.  
4 What factors go into determining the amount of sorbent  
5 necessary?" I would like to elaborate on my "directly  
6 proportional." What I meant there is, the more sorbent  
7 you inject, the more mercury you remove. It's very  
8 simple. Scientifically, actually the relationship is  
9 inversely proportional to the amount of mercury  
10 remaining in the gas. In other words, in my  
11 explanation, if you double the mercury --let me restate  
12 this and state it another way. If you plot the amount  
13 of mercury remaining logarithmically on the Y axis  
14 versus sorbent on the X axis, you get a straight line,  
15 and we see this time and time again, plant and plant  
16 again, particularly for ESP's. You have a second  
17 phenomenon with a fabric filter where you have time on  
18 the fabric filter, so that's a little more complicated,  
19 but to answer the question, "Explicitly, what factors go  
20 in to determining the quantity necessary?" As I  
21 mentioned, it's primarily the coal that you're burning  
22 and consequently, the chemistry of the flue gas that's  
23 generated and the existing pollution control equipment.  
24 Do you have a fabric filter? Do you have a hot side

1 ESP? Cold side ESP? Do you have SO3 injection? Do you  
2 have -- what temperature is the gas? Those kind of  
3 considerations.

4 MADAM HEARING OFFICER: Question 14.

5 MR. NELSON: "Is it important to have  
6 accurate data as to the mercury content of the coal  
7 being fired?" Well, that depends on how you're choosing  
8 to comply. For example, if you're choosing the absolute  
9 standard of .008 pounds per gigawatt hour, the mercury  
10 content of the coal you don't need to measure. All you  
11 need to measure is how much is going out with a stack,  
12 and how much gigawatts of power you generate, so you  
13 don't have to meet that. If you're meeting the 90  
14 percent standard and your 90 percent reduction standard,  
15 and the denominator is the mercury in the coal, then,  
16 yes, you have to measure the mercury in the coal. In  
17 fact, to give a good handle on this, let me consider  
18 Question No. 15, as well, because I do have -- I brought  
19 an exhibit that I think helps understand the answers to  
20 14 and 15.

21 MADAM HEARING OFFICER: Go ahead and  
22 read question.

23 MR. NELSON: "If identical systems of  
24 coal were submitted to five different laboratories for

1 mercury analysis, what is the largest variation of  
2 analytical results that you would expect? Do you have  
3 any data to support that conclusion?" My answer to that  
4 is yes. There is measurement, or measurements jump  
5 around with respect to mercury, or any coal analysis,  
6 sulfur or anything in a coal. Usually, you have  
7 variation because the issue is how do you get a  
8 representative sample. How much does it jump around?  
9 When the laboratories measure these, they are measuring  
10 just milligrams of the sample, and you want to make sure  
11 that that is the same as the bulk sample, so usually you  
12 have to make a number of different measurements in order  
13 to get a representative sample. I would like to enter  
14 this as an exhibit. It would be easiest if they had  
15 these when I explained it. I think that what the  
16 questions are getting into here are kind of the accuracy  
17 of mercury measurements and how does a power plant feel  
18 confident that they are actually meeting a 90 percent  
19 reduction requirement. What I'm passing out is for the  
20 St. Clair demonstration. Over a period of 30 days,  
21 every day we were -- we took coal samples and measured  
22 the mercury in the coal. We also measured -- actually  
23 that's not what's on here. What is on here is the  
24 mercury in the fly ash, but it's a similar kind of

1       variability. You take a fly ash sample, and now you are  
2       measuring how much mercury is in the fly ash. Now, the  
3       fly ash contains the sorbent, which contains the mercury  
4       that we capture, so it's an independent measurement of  
5       how much mercury did we remove from the gas stream.

6                   MADAM HEARING OFFICER: Excuse me, Mr.  
7       Nelson. Before you continue, Mr. Nelson, we have "Fly  
8       Ash Mercury Track CMM Mercury Closely." We will mark  
9       this as Exhibit 47 if there's no objection. Seeing  
10      none --

11                   MR. BONEBRAKE: I think it's 48.

12                   MADAM HEARING OFFICER: I did, indeed.  
13      Thank you for keeping me on track. Exhibit 48. Seeing  
14      none, it's marked as Exhibit 48. Go ahead.

15                   (Exhibit No. 48 was admitted.)

16                   MR. NELSON: The CMM in the title is  
17      an abbreviation for "Continuous Mercury Monitor." This  
18      is a gas phase mercury analysis. There are a number of  
19      things to kind of look at here. One is, on the X axis,  
20      you have 30 different days. That's what's on the X  
21      axis, and on the left Y axis, is the daily average gas  
22      phase mercury . Now, this is time weighted. What we  
23      are measuring is, before injection, how much mercury is  
24      in the flue gas. This is in nanograms and mercury per



1 normal cubic meter. The important curves are the two  
2 dark blue curves near in the middle and top of the  
3 graph. The ones with the diamonds is this time weighted  
4 gas phase mercury, and this is an average over the  
5 course of the day, so it reflects how much mercury is  
6 coming in with the coal and the variation in the mercury  
7 of the coal, and you can see, for example, in the first  
8 couple of days it was around 9,000 nanograms per cubic  
9 meter, and then about a week later it was down to six,  
10 so you can see there's a lot of variation of the mercury  
11 coming into the plant, and the coal, as much as about 40  
12 percent lower than it was between the top and bottom.  
13 You can see kind of how that varies with the coal coming  
14 in daily.

15                   The other kind of important one is the  
16 solid the other solid blue line that has the little  
17 crosses on it, and that refers to the X axis. That's  
18 the mercury in the fly ash that was collected. Now,  
19 there are six hoppers. We weighted them, according to  
20 the relative fly ash in the hopper, so it's a daily  
21 average hopper-weighted mercury that we're getting out  
22 of the gas line, basically, and the amount of mercury.  
23 I'm kind of proud of this particular graph. I did not  
24 anticipate a measurement to be quite as consistent as it

1 turned out to be, but you can see there's a second graph  
2 that we should enter into the exhibit, and this shows,  
3 over the 30 days, what the average mercury removal was  
4 on each of those.

5 MADAM HEARING OFFICER: We will mark  
6 this as Exhibit 49, if there's no objection, and I will  
7 give you all a chance to look at it first.

8 MR. NELSON: What we did in the other  
9 demonstrations that DOE, for the most part, is required  
10 is we injected a constant amount of sorbent, three  
11 pounds of sorbent per million cubic feet of gas  
12 continuously for the first 30 days, never varying. Now  
13 the plant operation varied. The coal varied, and you  
14 can see that the mercury removal varies. It varied here  
15 between the high 80's to the high 90's at any particular  
16 given time, but it averaged pretty consistently about 94  
17 percent, so we are getting pretty much a constant amount  
18 of removal of the level of mercury that was ending up in  
19 that fly ash.

20 MADAM HEARING OFFICER: If there's no  
21 objection we will mark this as Exhibit 49. Seeing none,  
22 it is marked as Exhibit 49.

23 (Exhibit No. 49 was admitted.)

24 MR. NELSON: The point I was trying to

1 make in answering Questions 14 and 15 is it turned out  
2 that the mercury coming back from the lab in the samples  
3 of fly ash, the solid samples tracked extremely well the  
4 amount of -- because we were getting a consistent  
5 fraction of the mercury out, the mercury that was in the  
6 flew gas. That when there was a lot of mercury in the  
7 coal, there would be a lot of mercury in the flue gas.  
8 There would be a lot of mercury we were capturing in the  
9 fly ash. When there was a low amount of mercury in the  
10 coal, there was lower mercury levels in the flue gas,  
11 and consequently, there was a lower quantity of mercury  
12 in the fly ash. So it looks like, at least, at this  
13 plant, the numbers were extremely consistent, and we  
14 were getting very good measurement of mercury, both, in  
15 the gas phase and also in the solid phases. I was very  
16 gratified to see that those two top blue curves tracked  
17 each other very well.

18 MR. FORCADE CONTINUES:

19 Q. Would it be safe to say that the test  
20 protocol for mercury content in the exhaust gas was a  
21 different test protocol than the test protocol for  
22 mercury in the fly ash?

23 A. Oh, yes. They are completely different  
24 instruments.

1           Q.     For mercury content in the coal, would it  
2     be identical to mercury content in the fly ash or is it  
3     a different test protocol?

4           A.     We use the same equipment.  There's a  
5     little bit of variation because the concentrations are  
6     very different, but we use, basically, the same  
7     equipment, basically, the same method, but there are  
8     some differences.

9           Q.     This could be one of the facilities that  
10    you identified as being part of tests for which we will  
11    receive subsequent report data?

12          A.     Yes.

13          Q.     And is there information on inlet or coal  
14    mercury content in those reports?

15          A.     Yes.  It similarly gives how the mercury  
16    varied in the coal.  I'm not sure all 30 days, but  
17    there's 15 or 20 days, at least, in there.

18                 DR. GIRARD:  Let me just clarify, so  
19    we are going to get either copies or citations to the  
20    DOE reports where these graphs came from.

21                 MR. NELSON:  Yes.  I will supply them  
22    to Illinois, and they can supply them.

23                 MADAM HEARING OFFICER:  Are we ready  
24    to move on and do you want to go to Ameren or Dynegy?

1 MR. NELSON: Ameren would be fine.

2 MADAM HEARING OFFICER: That would be  
3 my preference, too, since there's more discussion about  
4 these tests with Ameren, so let get some of these before  
5 we break for lunch.

6 MR. NELSON: "Please describe your  
7 personal involvement in the development of mercury  
8 control technologies, particularly the sorbents  
9 discussed in your paper and your testimony." I've been  
10 working on mercury for 10 years now, started with the  
11 incinerator mercury. I have a patent on brominated  
12 carbons for utility mercury control and have played a  
13 big part in the development of the hot side version and  
14 the concrete version. "What is your personal  
15 involvement in the development of engineering,  
16 construction and installation of pollution control  
17 equipment?" I've been the project manager at many of  
18 these demonstrations and have been involved in the  
19 design and bidding on the equipment used to inject the  
20 equipment. "Have you reviewed the Technical Support" --

21 MR. HARRINGTON CONTINUES:

22 Q. Did I understand you to say you had a  
23 patent on the brominated mercury?

24 A. On one particular -- yeah, there is a

1 patent or -- our particular product is patented. The  
2 particular, what we call B-PAC is patented.

3 Q. Is that different than the other products?

4 A. Yes, it is. Our competitors do not  
5 violate our patent, at least I hope they don't.

6 Q. Is your product more effective than  
7 others?

8 A. I think that remains to be seen. There  
9 have only been a couple large scale tests where they  
10 have kind of gone head to head, and a couple that we're  
11 aware of we do a little bit better. Let me put an  
12 asterisk. There's an All Stone technology that appears  
13 to show better performance than ours on a per pound  
14 basis.

15 Q. All Stone?

16 A. All Stone. It's largest utility company  
17 in the world, utility equipment company.

18 Q. Is this patent owned by your company or by  
19 you, personally?

20 A. The company.

21 Q. Do you own the company?

22 A. No. It's owned by shareholders. It's  
23 publicly owned. There's -- each company has their own  
24 technology, so there's -- it's not like there's one or

1 two patents that are particularly important, but you  
2 can't do precisely what we do.

3 MR. ZABEL: I couldn't hear that  
4 answer.

5 MR. NELSON: I'm saying that each  
6 company has their own proprietary way of doing things.

7 MR. HARRINGTON CONTINUES:

8 Q. So for example, if a rule lists several  
9 companies having technology, that's referring to  
10 proprietary technology of each of these companies?

11 A. Could you repeat the question?

12 Q. Well, the proposed rule before the Board  
13 that's based on injecting halogenated activated carbon  
14 produced by several named companies, yours being one of  
15 them. I assume you're familiar with that?

16 A. Yes.

17 Q. Now, are each of those technologies --  
18 would you expect those to be patented?

19 A. Each -- I know All Stone has their patent,  
20 and we have one that's been issued. Others we're  
21 working on. Noret has patents. Every one tries to  
22 protect their particular technology to the extent that  
23 they can.

24 Q. Is the patent on the product or on the

1 process for producing the product?

2 A. The patents vary.

3 Q. In your case?

4 A. In our case, it covers the production and  
5 use of our particular -- of the B-PAC product, but there  
6 are many ways to skin a cat. Ours, for example, just  
7 covers bromine. Halogens, there's also iodine and  
8 chlorine, phlorene. There's other halogens that can be  
9 used.

10 Q. Would some of the other companies listed  
11 in the Illinois proposed rule be using these  
12 other halogens?

13 A. I don't know about All Stone. Noret uses  
14 bromine, but my understanding is they don't infringe our  
15 patent.

16 MR. FORCADE CONTINUES:

17 Q. If I correctly understood you, you said  
18 that you had a patent on the manufacture and use. Would  
19 a facility needing to utilize your product have to get a  
20 license from you?

21 A. To use our particular product, yes.

22 Q. Is that license covered in the cost that  
23 you were providing to us?

24 A. As long as they buy the product from us,



1           our current business strategy does not call for  
2           licensing fees.

3                               MS. BASSI CONTINUES:

4           Q.       I'm sorry. I believe you said that you  
5           are -- you have a patent on your product, as well as the  
6           use. In taking a look at the hardware, is the hardware  
7           universal?

8           A.       Yeah. The hardware is extremely generic.

9           Q.       So regardless of which company makes the  
10          halogenated ACI, it doesn't make any difference where  
11          the hardware came from. Is that correct?

12          A.       Correct.

13                               MR. BONEBRAKE CONTINUES:

14          Q.       You mentioned that currently you do not  
15          charge a licensing fee. If more utilities start using  
16          your product in response to regulations, would you  
17          anticipate, Mr. Nelson, that your company would start  
18          charging?

19          A.       No. If you buy the product from us, I  
20          don't need a licensing fee.

21          Q.       On Question No. 3, I believe your  
22          statement in response to the similar question for  
23          Mr. Forcade's company was that you did not review the  
24          Technical Support Document prior to your testimony, but

1           you have done so since then?

2                   A.       Correct.

3                               MADAM HEARING OFFICER:   So the  
4           Question 4.

5                               MR. NELSON:   "Do you agree with  
6           conclusions of Chapter 8 of the Technical Support  
7           Document therein, particularly as to what technology is  
8           required in various facilities?"   Yes.  I, generally,  
9           agree.  I do disagree.  It's my belief that it will be  
10          less expensive to inject hot side sorbents in those two  
11          particular boilers, and that they will not require a  
12          fabric filter, but that's really the only substantive  
13          technical disagreement I have.  There is, in fact, a  
14          cheaper way.  "Page three of your testimony refers to  
15          the St. Clair Power Plant of Detroit Edison.  Were you  
16          personally involved?"

17                              MADAM HEARING OFFICER:   Before you  
18          answer these questions, Mr. Nelson, it's my  
19          understanding that this is one of the studies that --  
20          papers that you plan to provide a report with.

21                              MR. NELSON:   Yes.

22                              MADAM HEARING OFFICER:   Is it going to  
23          be possible for us to get that report today, like, this  
24          afternoon?

1 MR. NELSON: If I had my office E-mail  
2 it to you, yes.

3 MADAM HEARING OFFICER: I'm just  
4 wondering if we had the report in hand how many of the  
5 questions would be answered by the report, itself  
6 versus -- I mean --

7 MR. NELSON: I don't think that would  
8 help very much.

9 MADAM HEARING OFFICER: Let's proceed  
10 with the questions, then.

11 MR. HARRINGTON: May I drop back?

12 MADAM HEARING OFFICER: You can drop  
13 back to yesterday, if you want.

14 MR. HARRINGTON: Are you familiar with  
15 Table 8.8 on page 161 of the Technical Support Document,  
16 which I believe sets forth the conclusions as to the  
17 latest technologies?

18 MR. KIM: What page was it again?

19 MR. HARRINGTON CONTINUES:

20 Q. 161.

21 A. Dealing with the fly ash?

22 Q. Sorry. I was referring to 8.9 on 162.

23 A. Yes. I have looked at that.

24 Q. When you said you agree with Dr. Staudt's

1 conclusions, do you agree with the technology set forth  
2 on that page with the exception of the hot side ESP's  
3 for each of the facilities in Illinois?

4 A. You could certainly use sorbent injection  
5 on all those and co-benefits for those that have  
6 scrubbers. I don't disagree with it. I think it's  
7 reasonable.

8 Q. Do you agree that those would achieve  
9 either 90 percent removal or the .008 per million  
10 gigawatt hours?

11 A. Based on what I know, I would say that the  
12 vast bulk of them certainly should. Individual plants  
13 we would have to look at, but again, I, generally,  
14 agree, yes.

15 Q. Do you know which individual plants we  
16 would have to look at?

17 A. The ones that burn sub-bituminous coal I  
18 think should have no problems. Some of the ones burning  
19 bituminous coals you can, again, you can -- it's not  
20 that will they get 90 percent or won't. It's more a  
21 question of what would be the optimum technology for  
22 that plant. You really have to look at the individual  
23 specifics of the plant.

24 Q. So it's your testimony that all of the

1 facilities burning sub-bituminous coal in Illinois could  
2 achieve 90 percent reduction of the .008 pounds per  
3 million gigawatt standard solely with sorbent injection?

4 A. I believe that to be the case.

5 Q. That, in addition to the installation of  
6 the sorbent injection system, there would be no  
7 additional capital costs for control?

8 A. Not necessarily. There may be at  
9 individual plants, which we can get into. For example,  
10 when you talk about the SO3 injection systems, and there  
11 may be some modifications that have to be done, but  
12 again, it's a matter of degree. You can always, for  
13 example, add a fabric filter. I don't know anticipate  
14 that necessarily for those plants, but that's I think  
15 partially addressed with the temporary technology, the  
16 TTBS, that, if, in fact -- my understanding of the  
17 purpose of that is, if, in fact, the utilities make a  
18 good faith effort to achieve high removal and install  
19 these sorbent injection systems, and if, for some reason  
20 despite their best efforts, there are particular issues  
21 at a plant, that's what that kind of safety valve is  
22 for, so I think it's certainly with that. I'm much more  
23 confident that there won't be significant costs at more  
24 than maybe one or two of these plants.

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

MS. BASSI CONTINUES:

Q. Does the TTBS proposal, however, in any way, modify -- I believe the earlier statement was that you believe the bulk of the plants listed here, with the exception of the hot side ESP plants, will achieve the 90 percent or the 0.008 limitations with only the ACI and the halogenated carbon?

A. Well, actually, I think the hot side may be able to emit it, too, but some of the plants have scrubbers, too, or having scrubbers planned for them that will go in, so those I would not anticipate having to install sorbent injection. For example, the Baldwin plants, those, in order to meet the timetable I believe their scrubbers planned for those plants, those timetables I'm assuming would be moved up, so that those scrubbers would be installed, and you would have the accidental removal with the wet scrubber without the sorbent injection, but you could also install sorbent injection, until the scrubber is built, as well. Did I answer your question?

Q. Yes, sir.

MR. HARRINGTON CONTINUES:

Q. Referring to the same table, do you agree with the cost numbers that are here?

1           A.     Again, generally, I do. I think that the  
2           sorbent costs -- I think that Dr. Staudt used 85 cents  
3           or something like that, per pound where the cost would  
4           probably be a little higher in the sorbent. It would  
5           probably be -- I assumed a dollar a pound, but I mean,  
6           we are cutting shades of grass here. These costs are  
7           very low compared to NOx control or SO2 control or  
8           particulate control, so I think these numbers are pretty  
9           respectable. They are not far from what I would have  
10          come up, if I had done a similar exercise.

11          Q.     We'll come back to some of the details of  
12          is facilities later.

13                         MR. ZABEL CONTINUES:

14          Q.     I did want to follow up since Mr. Nelson  
15          mentioned the Baldwin plant. Would it matter whether  
16          the scrubber you referred to was a dry or wet scrubber?

17          A.     Baldwin I believe is burning -- I assume  
18          they are going to burn the same coal, instead of  
19          switching, once they have a scrubber. Some plants  
20          switch once they get a scrubber, so if you are talking  
21          about I believe Baldwin is talking about a spray dryer  
22          fabric filter combination. Is that --

23          Q.     Assume that for a moment. Was that part  
24          of your answer?

1           A.     In that case, by itself, a spray dryer  
2     fabric filter, even with SCR, which I believe is also  
3     going in there, you won't get accidentally 90 percent with  
4     a sub-bituminous coal. You would have to inject a very  
5     small amount of sorbent, perhaps one pound per million  
6     ACF, so you may have to add a small sorbent injection  
7     system, but you would be injecting very, very little  
8     sorbent in that case.

9           Q.     And that would not be your answer if it  
10    was a wet scrubber, would it?

11          A.     If it was a wet scrubber, you shouldn't  
12    even need sorbent injection.

13                   MR. BONEBRAKE CONTINUES:

14          Q.     Mr. Nelson, you mentioned now a couple of  
15    times that you think the hot side units at Will County  
16    and Waukegan can achieve 90 percent with ACI, as I  
17    understand it, without any other hardware being  
18    installed. Is that correct?

19          A.     No. I think there may be some slight  
20    hardware modifications that I can't talk to, for  
21    proprietary reasons, on those hot sides. There might be  
22    a little more hardware than simply the injections  
23    system. I would also like to modify my previous comment  
24    on the wet scrubber. If you are burning sub-bituminous



1 coal, simply having a wet scrubber still isn't going to  
2 get it for you. I was assuming sub-bituminous coal with  
3 the scrubber case.

4 Q. Let me follow up on that. The dry  
5 scrubber would be used on sub-bituminous. Is that  
6 correct?

7 A. Typically, that's the way it works.

8 Q. And the average cost of a dry scrubber?

9 A. Is cheaper than the average cost of a wet  
10 scrubber.

11 Q. Stipulated, Mr. Nelson.

12 A. I mentioned \$200, on average. \$200 per  
13 kilowatt for a wet scrubber. It might be \$150 for a  
14 spray dry fabric filter combination.

15 Q. And use a wet scrubber on sub-bituminous  
16 coal?

17 A. That's, typically, what's done.

18 Q. Once the dry scrubber is installed, and  
19 you switch to high sulfur coal, it would be improbably,  
20 would it not?

21 A. No. Actually, not. You can do it. You  
22 can certainly do it. In fact, you get very good mercury  
23 removal if you have --

24 Q. Go ahead.

1           A.     But the issue is your S02 removal is  
2 typically higher with a combination of wet scrubber on a  
3 bituminous coal.

4           Q.     And a dry scrubber on bituminous coal,  
5 would that be sufficient for sulfur standards, to your  
6 knowledge?

7           A.     You are getting into an area that I'm not  
8 an expert in, but they have done a good job in  
9 increasing the performance of those, but it's still not  
10 quite up to the standards of a wet scrubber.

11          Q.     Would it meet the CAIR requirements?

12          A.     It would meet the CAIR requirement.

13          Q.     Go ahead.  Would it meet BACT?

14          A.     That, I do not know.

15                   BONEBRAKE CONTINUES:

16          Q.     Mr. Nelson, in your response to a question  
17 I raised, I think you said you believe some additional  
18 hardware would be required at the hot side units, but  
19 you couldn't talk about it.

20          A.     Hardware modifications.  The hot side is a  
21 little more difficult situation, so there's more to  
22 consider.

23          Q.     What hardware modifications do you have in  
24 mind?

1           A.     Again, for proprietary reasons, I can't  
2 answer that.

3           Q.     What proprietary considerations?

4           A.     There are things that for use of our H-PAC  
5 product, which is the variation of B-PAC for hot sides,  
6 at some plants, you may have to make some additional  
7 modifications to either equipment or procedures, but  
8 again, I can't, for proprietary reasons, I can't get  
9 into precisely what those are and it depends on the  
10 plant. There's just a little more going on.

11          Q.     Can you tell us what the range of costs  
12 would be expected associated with the hardware  
13 provisions that you have in mind?

14          A.     That's a fair question. It would  
15 certainly be less than a million dollars per plant, or  
16 per boiler.

17          Q.     When you talk about proprietary  
18 considerations, are you referring to trade secrets,  
19 Mr. Nelson?

20          A.     Well, hopefully, they will be patented in  
21 the future, but we're going through that and that's a  
22 lengthy process. Currently, they are trade secrets.

23          Q.     Are you in a patenting process right now?

24          A.     Yes.

1 Q. And you had mentioned in connection with  
2 some earlier discussion of the hot side ESP units, a  
3 couple of studies, one at Cliff Side and another at Buck  
4 that your company had done. Aside from those two  
5 studies, are there other studies, Mr. Nelson, upon which  
6 you rely to support your view that hot side ESP units  
7 could attain the Illinois-proposed standards with the  
8 installation of only ACI, and then perhaps these  
9 additional hardware revisions that you just referred to?

10 A. With just ACI, those are the only two  
11 plants that I'm aware of that have shown that.

12 Q. Again, those plants burn a different type  
13 of coal than Will County and Waukegan, right?

14 A. They do, generally a more difficult coal.

15 MADAM HEARING OFFICER: Ready to --  
16 Question No. 5 asks about the St. Clair plant of Detroit  
17 Edison and No. 6 wants to know if you were, personally,  
18 involved in that study.

19 MR. NELSON: Yes, I was. I was  
20 project manager for that project.

21 MADAM HEARING OFFICER: And question  
22 No. 7 asks about the size and I believe you've  
23 previously answered that.

24 MR. NELSON: I believe I did.

1                                   MADAM HEARING OFFICER: With that, we  
2                                   are ready to get into the nuts and bolts of that study,  
3                                   and it is now -- I have 12:30, so why don't we take an  
4                                   hour for lunch, and we will come back after lunch and  
5                                   get into the nuts and bolts on the St. Clair study.

6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

1 STATE OF ILLINOIS)  
2 COUNTY OF ST. CLAIR)SS  
3

4 I, Holly A. Schmid, a Notary Public in  
5 and for the County of Williamson, DO HEREBY CERTIFY that  
6 pursuant to agreement between counsel there appeared  
7 before me on June 21, 2006, at the office of the  
8 Illinois Pollution Control Board, Springfield, Illinois,  
9 Sid Nelson and David Forter, who were first duly sworn  
10 by me to testify the whole truth of their knowledge  
11 touching upon the matter in controversy aforesaid so far  
12 as they should be examined and their examination was  
13 taken by me in shorthand and afterwards transcribed upon  
14 the typewriter and said testimony is herewith returned.

15 IN WITNESS WHEREOF I have hereunto set  
16 my hand and affixed my Notarial Seal this 3rd day of  
17 July, 2006.

18 \_\_\_\_\_  
19 HOLLY A. SCHMID  
20 Notary Public -- CSR  
21 084-98-254587  
22  
23  
24