

THE ILLINOIS POLLUTION CONTROL BOARD

IN THE MATTER OF:)

RECEIVED
CLERK'S OFFICE

JUN 01 2011

WATER QUALITY STANDARDS AND)

STATE OF ILLINOIS
Pollution Control Board

EFFLUENT LIMITATIONS FOR THE)

R08-09 Subdocket C

CHICAGO AREA WATERWAYS SYSTEM)

(Rulemaking-Water)

AND THE LOWER DES PLAINES RIVER:)

PROPOSED AMENDMENTS TO 35 Ill.)

Adm. Code Parts 301, 302, 303,)

and 304.)

TRANSCRIPT FROM THE PROCEEDINGS

taken before HEARING OFFICER MARIE TIPSORD

by LORI ANN ASAUSKAS, CSR, RPR, a notary public

within and for the County of Cook and State of

Illinois, in Room 2-025 at the James Thompson

Center, Chicago, Illinois, on the 18th day of

May, 2011, A.D., at 9:00 o'clock a.m.

1 A P P E A R A N C E S:

2

3 ILLINOIS POLLUTION CONTROL BOARD,

4 100 West Randolph Street

5 Suite 11-500

6 Chicago, Illinois 60601

7 (312) 814-6983

8 BY: MS. MARIE TIPSORD, HEARING OFFICER,

9

10

11 ILLINOIS POLLUTION CONTROL BOARD MEMBERS PRESENT:

12

13 Mr. Thomas E. Johnson, Board Member

14 Mr. G. Tanner Girard, Board Member

15 Ms. Andrea S. Moore, Board Member

16 Mr. Gary L. Blankenship, Board Member

17 Ms. Carrie Zalewski, Board Member

18 Mr. Anad Rao, Technical Unit

19 Ms. Alisa Liu, Technical Unit

20

21 ILLINOIS ENVIRONMENT PROTECTION AGENCY,

1021 North Grand Avenue East

22 P.O. Box 19276

Springfield, Illinois 62794-9276

23 (217) 782-5544

BY: MS. DEBORAH J. WILLIAMS,

24

1 A P P E A R A N C E S: (Continued)

2 ALSO PRESENT:

3 Ms. Stacy Meyer-Glen

 Mr. Albert Ettinger

4 Mr. Fredric P. Andes

5

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

I N D E X

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

PAGES

Introduction by Hearing Officer Tipsord....	5 - 7
Testimony questions of Dr. David Zenz.....	7 - 103
Conclusion by Hearing Officer Tipsord.....	103 - 105

E X H I B I T S

Marked Admitted

Hearing Exhibit No. 463.....	7	7
Hearing Exhibit No. 464.....	89	89

1 HEARING OFFICER TIPSORD: Good
2 morning everyone. My name is Marie Tipsord
3 and I've been appointed by the Board to serve
4 as the hearing officer in this proceeding entitled,
5 "Water Quality Standards and Effluent Limitations
6 for the Chicago Area Waterways System and the Lower
7 Des Plaines River, Proposed Amendments to 35 Ill.
8 Adm. Code Parts 301, 302, 303, and 304." This is
9 Docket No. R08-9, Subdocket C.

10 With me today to my immediate
11 left is Acting Chairman G. Tanner Girard. To his
12 left, Board Member Carrie Zalewski and to my far
13 right is Board Member Thomas Johnson. To my
14 immediate right is Alisa Liu from our technical
15 unit. Board Member Gary Blankenship and Board
16 Member Andrea Moore are attending a different
17 hearing upstairs and will be joining us as will
18 Anad Rao at the conclusion of that hearing.

19 Today's hearing is the seventh
20 day of hearings in Subdocket C and, yes, another
21 landmark, the 50th overall in these proceedings.

22 Today, we're going to hear
23 the testimony of David Zenz. He will be questioned
24 by the IEPA and then Prairie Rivers and the Sierra

1 Club.

2 The testimony will be marked
3 as an exhibit and entered as if read. Anyone may
4 ask follow-up questions. You need not wait until
5 your turn to ask questions. I do ask that you
6 raise your hand and wait for me to acknowledge
7 you. After I have acknowledged you, please state
8 your name and whom you represent before you begin
9 your questions.

10 Please speak one at a time.
11 if you are speaking over each other, the court
12 reporter will not be able to get your questions
13 on the record.

14 Please note that any questions
15 asked by a Board member or staff are intended to
16 help build a complete record for the Board's
17 decision and not to express any preconceived
18 notions or bias. Dr. Girard?

19 BOARD MEMBER GIRARD: Good morning.
20 Welcome to historic day 50. I can't think of any
21 other Board proceeding that have had 50 days of
22 hearings. So certainly, this is historic and
23 I'm sure you all share the same joy I do at this
24 moment. Let's get on with it.

1 HEARING OFFICER TIPSORD: With
2 that, could we have Mr. Zenz sworn in, please?

3 (Dr. David Zenz
4 sworn.)

5 HEARING OFFICER TIPSORD: And do
6 we have a copy of his testimony?

7 MR. ANDES: I do.

8 HEARING OFFICER TIPSORD: If there
9 is no objection, we will mark the pre-filed
10 testimony filed February 2, 2001, of David Zenz
11 as Exhibit 263. Seeing none, it's Exhibit 263.
12 I'm sorry. Exhibit 463.

13 (Document marked as
14 Hearing Exhibit No. 463
15 for identification,
16 5/18/11.)

17 (Hearing Exhibit No. 463
18 admitted as evidence.)

19 MS. WILLIAMS: Whoops. That was with
20 attachments?

21 HEARING OFFICER TIPSORD: Yes.

22 MS. WILLIAMS: Okay. Thank you.

23 HEARING OFFICER TIPSORD: Based on
24 the size.

1 MR. ANDES: Yes. That would be true.

2 MS. WILLIAMS: Good morning, Mr. Zenz.

3 DR. ZENZ: Good morning.

4 MS. WILLIAMS: Is it Dr. Zenz?

5 DR. ZENZ: It is Dr. Zenz.

6 HEARING OFFICER TIPSORD: Oh, I
7 apologize.

8 MS. WILLIAMS: It's hard to keep
9 track. We have had so many doctors here.

10 DR. ZENZ: It's not important.

11 MS. WILLIAMS: Let's start with
12 my pre-filed question number one today. In
13 Paragraph 1 on Page 1 of your pre-filed testimony,
14 you state, "I was employed by the Metropolitan
15 Water Reclamation District of Greater Chicago in
16 the now Environmental Monitoring and Research
17 Division. I worked on a variety of projects at
18 the District and helped develop the design criteria
19 for the existing District supplemental aeration
20 stations on the Chicago Area Waterway System."

21 In Paragraph 1 on Page 2 of
22 your pre-filed testimony, you state, "The District
23 asked AECOM to perform these cost estimates in
24 response to dissolved oxygen water quality

1 standards currently proposed for the CAWS by
2 the Illinois Environmental Protection Agency."

3 A, what existing District supplemental aeration
4 stations did you help development?

5 DR. ZENZ: I developed the design
6 criteria for the existing side stream elevated
7 pool SEPA aeration stations.

8 MS. WILLIAMS: All of them?

9 DR. ZENZ: Yes.

10 MS. WILLIAMS: And how many of them
11 are there now?

12 DR. ZENZ: There are five.

13 MS. WILLIAMS: Can you describe in
14 more detail your involvement --

15 DR. ZENZ: I can't --

16 MS. WILLIAMS: -- in the five -- in
17 the SEPA stations on the Calumet River? Sorry.

18 DR. ZENZ: In 1986 and 1987, the
19 then research and development department conducted
20 a full scale pilot study of the SEPA station
21 technology, which is free fall weirs. From
22 that --

23 MS. WILLIAMS: For all the stations?

24 DR. ZENZ: Yes. This was one pilot

1 study used in developing the design criteria
2 for all five stations.

3 MS. WILLIAMS: That was your
4 extent of your involvement in the pilot study?

5 DR. ZENZ: That's correct.

6 MS. WILLIAMS: Why did the District
7 install the existing supplemental aeration stations?
8 This is Question B.

9 DR. ZENZ: Yes. It is my
10 understanding -- you have to understand that
11 these stations were completed in the early 90s,
12 many years ago. My recollection is, and I
13 couldn't find any written documents to support
14 this, but this was approved by U.S. EPA as an
15 alternative to installing tertiary treatment
16 at the Calumet plant. That is my understanding.

17 MS. WILLIAMS: Do you know why they
18 were -- would have been installed in the Chicago
19 river system?

20 DR. ZENZ: Why they weren't?

21 MS. WILLIAMS: Why they were.

22 DR. ZENZ: They are in the Cal Sag.

23 MS. WILLIAMS: Well, strike that.

24 DR. ZENZ: Okay.

1 MS. WILLIAMS: How would you rate
2 the success of the SEPA system's performance in
3 maintaining the existing water quality standards
4 on the Calumet River system?

5 DR. ZENZ: I can't answer that
6 question.

7 MS. WILLIAMS: Question C?

8 MR. ANDES: Question 1-C?

9 MS. WILLIAMS: You can't comment
10 whether they are performing as intended or with
11 regard to --

12 DR. ZENZ: I just don't know what --
13 I'm not familiar with the water quality data.

14 MS. WILLIAMS: Okay. So you -- do
15 you believe from an operational standpoint they
16 are performing as designed and intended?

17 DR. ZENZ: Yes.

18 MS. WILLIAMS: You just don't
19 have an opinion on whether they're successful in
20 improving water quality?

21 DR. ZENZ: I have no basis for that.

22 MS. WILLIAMS: Okay.

23 MR. ETTINGER: I believe Ms. Williams
24 might have been thinking in her earlier questions

1 about the plants that are at the canal and
2 I think we heard about that. Just to complete
3 things here, when were those put in?

4 DR. ZENZ: Those were installed in
5 1979 and 1980.

6 MR. ETTINGER: And what kinds of
7 plants were those as opposed to the SEPA stations?

8 DR. ZENZ: They have porous ceramic
9 diffusers in the bottom of the canal, a blower
10 onshore, a blower that delivers compressed air
11 underneath these giant -- the diffusers are placed
12 in these concrete boxes where the air pressure
13 bubbles up and you can see bubbles on the
14 surface. So it's a diffused air system. It's
15 completely different from the SEPA station.

16 MR. ETTINGER: And do you know why
17 the diffused air systems were put in as opposed to
18 the SEPA stations?

19 DR. ZENZ: I just don't know.

20 MS. WILLIAMS: Let's go to E.

21 MS. LIU: Mr. Zenz, may I ask a
22 follow-up question?

23 DR. ZENZ: Certainly.

24 MS. LIU: You mentioned that based

1 on your recollection that the SEPA stations were
2 installed in lieu of tertiary treatment at Calumet.

3 DR. ZENZ: Sand filters, yes.

4 MS. LIU: Was that because the
5 tertiary treatment would have removed BOD?

6 DR. ZENZ: That's correct.

7 MS. LIU: Okay.

8 DR. ZENZ: It would have removed
9 BOD and solids from the effluent.

10 MS. LIU: Okay.

11 DR. ZENZ: So it's another level of
12 treatment and at that time in the '80s, and I'm
13 just giving you my recollection because I have
14 no written document, and hopefully my recollection
15 is correct, but my recollection is that discussions
16 between U.S. EPA and the District regarding the
17 need for tertiary treatment at the Calumet plant
18 and District proposed installing extreme aeration
19 systems on the Little Cal and Cal Sag Channel as
20 an alternative.

21 I did find that in 1972, the
22 District presented this plan to the Pollution
23 Control Board and the Pollution Control Board
24 actually said that this was a good idea. That's

1 all I can tell you.

2 HEARING OFFICER TIPSORD: Mr. Harley?

3 MR. HARLEY: Keith Harley, Southeast
4 Environmental Task Force. Do you know if tertiary
5 filters were ever installed at the Calumet facility?

6 DR. ZENZ: No, they were not.

7 MR. HARLEY: Thank you.

8 HEARING OFFICER TIPSORD: Okay.

9 Ms. Williams?

10 MS. WILLIAMS: For the record, I will
11 go ahead and ask my Question D.

12 DR. ZENZ: Okay.

13 MS. WILLIAMS: Is the existing
14 SEPA system capable of maintaining DO levels above
15 existing DO water quality standards 100 percent
16 of the time; and if not, do you know what percent
17 of the time the existing SEPA stations are unable
18 to maintain DO levels above existing DO water
19 quality standards?

20 DR. ZENZ: I can't answer that
21 question.

22 MS. WILLIAMS: How would you rate
23 the successfulness of the in-stream aeration
24 station system's performance in maintaining

1 existing water quality standards in the Chicago
2 River systems?

3 DR. ZENZ: I just can't answer
4 that question. Again, I might just refer you
5 to -- I know -- I think I just mentioned yesterday
6 that the District produces an annual report,
7 which is sent to the EPA with all the water
8 quality monitoring information that they have,
9 but I've never looked at those reports.

10 So that would require me to
11 look at 10 years of data, analyze it and maybe
12 do statistics. I haven't done any of that. I
13 can't answer the question.

14 MS. WILLIAMS: From an operational
15 standpoint, have you found that the in-stream
16 aeration stations have been effective and maintain
17 their operational efficiency over time?

18 DR. ZENZ: That is my understanding.
19 We have had discussions with the District about
20 those stations. From what I can recall from what
21 they have told me, they are operating from a
22 performance and engineering point of view and
23 they are working nicely.

24 I don't want to say there's

1 not problems in operating; there is. As in any
2 mechanical system, there will be. But as I
3 understand it, basically, they're working well.

4 MS. WILLIAMS: Can you give us an
5 idea from both in-stream and SEPA stations of
6 how much they are operated?

7 DR. ZENZ: I have no idea.

8 MS. WILLIAMS: Okay.

9 HEARING OFFICER TIPSORD: I'm sorry.
10 Mr. Harley?

11 MR. HARLEY: Do the SEPA stations,
12 in addition to providing oxygen, filter out solids?

13 DR. ZENZ: No. They are simply --
14 while there may be some, and there is, some
15 settling of solids in the pools -- in the SEPA
16 stations, I understand there is a free fall weir
17 and it's a five-foot drop and it plunges down
18 into a pool and solids do accumulate in these
19 pools.

20 That's a maintenance problem
21 that they have. So there is some removal, but
22 it is probably insignificant. I know of no
23 studies to determine what the removal would be.

24 MR. HARLEY: Thank you.

1 MS. LIU: Mr. Zenz, I have another
2 question for you.

3 DR. ZENZ: Sure.

4 MS. LIU: One of the topics the
5 District has raised as impacting this rulemaking
6 is the possibility of nutrient removal standards
7 in the future. The District had provided some
8 information on the impact of nutrient removal
9 and bacteria removal. I was wondering whether
10 or not you could comment on the impact of nutrient
11 removal -- on BOD removal.

12 DR. ZENZ: I think I'm going to say
13 I can't answer that question. I'm familiar with
14 the technology to remove phosphorous. We spend
15 a lot of time and effort with clients providing
16 alternatives and designing and constructing
17 facilities to remove phosphorous, but I think
18 that would be a question better answered by an
19 aquatic biologist than myself.

20 MR. ANDES: If that's information
21 that the Board is looking for, we can certainly
22 provide that.

23 MS. LIU: That might be helpful.

24 BOARD MEMBER JOHNSON: If Alisa

1 asks for it, we will want it.

2 MR. ANDES: We will get it.

3 HEARING OFFICER TIPSORD: Mr. Harley?

4 MR. HARLEY: Do you know if solvents
5 of the type discharged by wastewater treatment
6 plants contribute to turbidity in receiving waters?

7 DR. ZENZ: In a general sense, the
8 answer is yes.

9 MR. HARLEY: Thank you.

10 MR. ETTINGER: You were just asked
11 about phosphorous, would there be some affect on
12 denitrifying from the SEPA stations basically
13 running an aeration tank?

14 DR. ZENZ: Yes. Well,
15 denitrification actually takes place under anaerobic
16 conditions. It's a different microbial population.
17 Nitrification is an aerobic process converting
18 ammonia into nitrates. When a nitrate is converted
19 into basically nitrogen gas, it's under anaerobic
20 conditions. So no, it wouldn't have any affect.

21 MR. ETTINGER: I'm sorry.
22 Denitrification, breaking the ammonia down, would
23 not have some --

24 HEARING OFFICER TIPSORD: Gentlemen,

1 don't forget you're talking to us.

2 MR. ETTINGER: Yes. I'm sorry.

3 HEARING OFFICER TIPSORD: When you
4 face each other, your voices start dropping and I
5 can't -- we can't hear you.

6 MR. ETTINGER: I apologize.

7 MR. ANDES: I lost track of the
8 question.

9 MR. ETTINGER: I lost track of the
10 chemistry. So as I understand the basic process,
11 and please correct me, you start out with ammonia,
12 which is NH, and then we -- what's the term --
13 denitrify that?

14 DR. ZENZ: Okay. We actually oxidize
15 it.

16 MR. ETTINGER: Oxidize that.

17 DR. ZENZ: Then nitrify it.

18 MR. ETTINGER: Nitrify. I'm sorry.
19 Denitrification is the next step where we go from
20 nitrate to hopefully into -- back into the air?

21 DR. ZENZ: That's correct.

22 MR. ETTINGER: All right. Would
23 this aeration help provide the first step of
24 breaking some of the ammonia down into nitrate?

1 DR. ZENZ: In a general -- in a
2 general sense, because I know of no studies where
3 anybody has looked at that specifically with the
4 SEPA stations and the Chicago area water system.
5 So I don't know of that, but in a general sense,
6 the answer is it could have.

7 MS. LIU: Would the following steps
8 necessary to complete the process be able to happen
9 in-stream after that stage?

10 DR. ZENZ: Yes. They are -- I mean,
11 in a general sense, there is nitrification taking
12 place in Illinois streams. Ammonia being discharged
13 by various point and non-point sources, because the
14 streams are generally aerobic absorb oxygen, the
15 ammonia that's being discharged will be nitrified
16 to nitrate.

17 Going even further, depending
18 on the situation, bottom sediments in the stream
19 and the anaerobic conditions usually denitrify
20 and bacteria will be present. So there will be
21 some denitrification perhaps happening in the
22 bottom of the stream.

23 But I'll be very honest and say
24 I am not familiar with what studies have been done

1 specifically for the Chicago Area Waterway System
2 or the Illinois Waterway System to say how much
3 that affects.

4 So I'm giving you a general
5 answer for a theoretical stream, shall we say,
6 where this could happen.

7 MS. LIU: Is that something the
8 District might want to supplement?

9 DR. ZENZ: Well, that's a very --
10 that's an interesting theoretical question. I
11 don't think I'm qualified to answer it. I
12 certainly can't speak for the District.

13 MR. ETTINGER: Just to kind of
14 summarize it, it's logical to think that the
15 SEPA stations are doing some nitrification
16 because that involves adding oxygen to ammonia,
17 but it's not likely that the SEPA stations are
18 helping us at all on denitrification because
19 that's an anaerobic process?

20 DR. ZENZ: I think that's a fair
21 statement and again, in a general sense.

22 MR. ETTINGER: I try to do one
23 fair statement a day.

24 MR. ANDES: So we done with that

1 one.

2 MR. ETTINGER: Yeah.

3 HEARING OFFICER TIPSORD: It's
4 awfully early in the day for that.

5 MR. ETTINGER: Now I'm free the
6 rest of the day.

7 HEARING OFFICER TIPSORD: Okay.
8 I think we're ready -- oh, Mr. Harley? Sorry.

9 MR. HARLEY: Could you describe
10 the relationship between the SEPA stations and
11 the main discharge at the Calumet facility?

12 DR. ZENZ: I'm sorry. I don't --
13 I don't understand your question.

14 MR. HARLEY: All right. Is the
15 water coming from the Calumet wastewater treatment
16 plant, which is diverted to the SEPA stations,
17 or is it simply water taken from the Calumet River
18 aerated and replaced?

19 DR. ZENZ: It's simply water taken
20 from the Calumet River, which, of course, would
21 contain some effluent from the Calumet Plant,
22 but other discharges, of course, of the water
23 from other tributary streams and so forth, but the
24 SEPA stations themselves are actually onshore, on

1 the Calumet River system, various parts of that
2 Calumet River system. You take the water out,
3 pump it up to usually 15 feet, it goes over three
4 waterfalls five feet in height, and then back to
5 the stream again.

6 MR. HARLEY: Thank you.

7 HEARING OFFICER TIPSORD: Okay.

8 Ms. Williams?

9 MS. WILLIAMS: I'm going to go a
10 little bit out of order to try and keep us on
11 the same topics.

12 DR. ZENZ: That's fine.

13 MS. WILLIAMS: I'm going to ask
14 Question 4 now.

15 DR. ZENZ: All right.

16 MS. WILLIAMS: Paragraph 1 on Page 4
17 of your pre-filed testimony, you state, "Based upon
18 the results provided by Marquette University, the
19 operation of supplemental aeration stations is
20 expected to be relatively infrequent." What does
21 relatively infrequent mean?

22 DR. ZENZ: Well, if you look at
23 Tables 1 and 7 of my testimony, it lifts the
24 actual hours of operation that's required for

1 each aeration station to meet the proposed standard.
2 That would be the IEPA standard in one case and the
3 District's standard in the other.

4 So to meet the IEPA proposed
5 standards, annual operation hours range from a
6 low of 21 hours to a high of 946 hours. Of the
7 28 aeration stations, these are new aeration
8 stations that would have to be constructed.
9 Eleven will operate 100 hours or less. Eleven
10 will operate 100 hours or less over an entire
11 year. That's only four days out of 365. So in
12 my opinion, that's fairly infrequent.

13 MS. WILLIAMS: So I would like
14 to go back a little bit to my earlier question,
15 then, when I asked about how often the current
16 stations operate. You don't know the answer to
17 that?

18 DR. ZENZ: No, I don't. I can tell
19 you that Marquette University took the data for
20 the existing operation of the SEPA stations and
21 put that into their computer model so that whatever
22 existing operation of the SEPA stations is in the
23 model, but I don't have --

24 MS. WILLIAMS: So you're saying in

1 the model, they did not assume that existing
2 stations would operate all the time, just that
3 they would operate as they do now?

4 DR. ZENZ: They assumed that they
5 would operate as they exist now and then they
6 calculated what additional hours would be required
7 to --

8 MS. WILLIAMS: But you, sitting here
9 today, can't tell us the current number hours they
10 are operating? I just -- I'm missing something.
11 If you're the wrong witness, I can understand that,
12 but I don't understand how you can't know that.

13 DR. ZENZ: Well, I just -- I couldn't
14 find it.

15 MR. ANDES: Are you saying that
16 information is --

17 DR. ZENZ: It's in -- it's perhaps --
18 I just couldn't find it. I'm sorry.

19 MR. ANDES: Is that part of the
20 analysis Dr. Melching did?

21 DR. ZENZ: Yes. You have to
22 understand that Dr. Melching did all these
23 analyses and we did not have that information.
24 It didn't pass through us and I just couldn't

1 find it.

2 MS. WILLIAMS: Do you understand
3 why Dr. Melching didn't come to present testimony
4 on this issue?

5 DR. ZENZ: I don't know.

6 HEARING OFFICER TIPSORD: Excuse me.
7 Dr. Zenz, I'm looking at Table 1.

8 DR. ZENZ: Yes.

9 HEARING OFFICER TIPSORD: And I have
10 a couple questions of Table 1.

11 DR. ZENZ: Sure.

12 HEARING OFFICER TIPSORD: But one
13 of them is more -- it has operation hours for
14 2001. Would that be the current operating hours
15 as of 2001 for the stations?

16 DR. ZENZ: No, no, it's not.

17 HEARING OFFICER TIPSORD: Okay.

18 DR. ZENZ: Let me explain.

19 HEARING OFFICER TIPSORD: Okay.

20 DR. ZENZ: Dr. Melching, as all
21 modelers do, has to use the input information,
22 some information from some water year. Okay.
23 All the inputs into the system, the discharges
24 from the water reclamation plants, discharges

1 from the various pump stations, rainfall
2 events that influence CSO events, he has to
3 predict what the CSOs will be in the system
4 and so forth.

5 So what he does is he picks
6 particular years. So in this case, Dr. Melching
7 looked at about 11 years of data that the District
8 had, various years, and he picked two years
9 which he thought were representative. Okay. The
10 two years he picked were 2001 and 2003.

11 MR. ANDES: One of those was a dry
12 year and one was a wet year?

13 DR. ZENZ: One is a wet year.

14 MR. ANDES: And are the operating
15 hours during those years of each stage as set
16 forth in the table?

17 DR. ZENZ: That's correct. This
18 is a computer result from a modeling run that
19 he ran. So in the year 2001, he is saying that
20 that particular -- this happens to be the first
21 station, which is .2 miles downstream of the
22 Wilmette pumping station.

23 That station -- aeration
24 station will operate for 134 hours for the year

1 2001 as his model tell me. That's what his model
2 tells me.

3 And then in 2003, which is a
4 different year, it has different inputs, the water
5 reclamation plant outputs are different for the
6 different year, rainfall events are different,
7 et cetera, et cetera, and his model tells him
8 that it will operate for 233 years.

9 HEARING OFFICER TIPSORD: Okay.
10 That --

11 MR. ETTINGER: Just to clarify
12 our language a little here --

13 DR. ZENZ: Can I just --

14 MR. ETTINGER: I just want to
15 clarify this. Sometimes we say SEPA and sometimes
16 we say in-stream aeration. I just want to make
17 sure we're talking about all types of aeration on
18 this model.

19 DR. ZENZ: Well, there's always a
20 nomenclature problem with regard to -- the general
21 term for all types of aeration systems on a waterway
22 will be supplemental. Okay?

23 MR. ETTINGER: Okay.

24 DR. ZENZ: That's a general term.

1 So in-stream would be something such as Devon
2 and Webster Avenue stations because the diffusers
3 are actually in the water so they're in-stream.
4 SEPA is not an in-stream station. It's a
5 supplemental aeration. Why? Because it's not
6 in the water. It takes the water out and processes
7 it on land, it has to dissolve oxygen and puts it
8 back in the stream.

9 MR. ETTINGER: I was just trying
10 to make clear that when we were talking about
11 these percentages of operation, we were talking
12 about all types of aeration systems without
13 saying that we were taking about one type or
14 another?

15 DR. ZENZ: Yes. Can I just go
16 back to her question? She was asking me questions
17 about what is the existing hours of operation in
18 SEPA stations. I'll go back to what I said before,
19 which is that Melching did include that. But if
20 you look at Page 7 of my testimony, Table 3, you
21 will see that Dr. Melching indicated what are the
22 additional operating hours needed for existing
23 SEPA stations to meet the dissolved oxygen water
24 quality standards proposed by IEPA. So he did --

1 he did.

2 In this model, in this theoretical
3 exercise, understand, he says, for station number
4 two, in order to meet the standards -- now, don't
5 forget, that's in conjunction with the 28 new
6 aeration stations in the three new flow augmentation
7 stations, I have to operate that station for 4,464
8 hours. So he did determine what additional hours
9 of operation are.

10 What I could not find easily
11 is what is the existing -- this is the additional.
12 So there would be operating existing plus this
13 addition. That's the best I can do for you.

14 MS. WILLIAMS: Okay. So you're
15 an engineer, right? I mean, you have your
16 calculator in your pocket? Can you -- I'm
17 going to ask you to try to convert these hours
18 for me.

19 DR. ZENZ: Well, I don't have my
20 calculator.

21 MS. WILLIAMS: It would appear
22 to be around -- between 184 and over 200 extra
23 days of operation, is that what it looks like,
24 these hours to convert to?

1 DR. ZENZ: That sounds right. I
2 mean, I didn't check your numbers. They are
3 operated a lot, yeah.

4 MS. WILLIAMS: No, they will be
5 operated.

6 DR. ZENZ: They will be, that's
7 correct. They will be.

8 MS. WILLIAMS: Does that mean
9 currently -- the current stations are operated
10 relatively infrequently, as you use that term
11 in your testimony?

12 DR. ZENZ: Well, you reached
13 that conclusion, I think. I don't know what
14 the existing hours of operation is of the
15 stations.

16 MR. ETTINGER: Do you know if
17 some of the SEPA stations now are operating for
18 astatic purposes or other purposes as opposed
19 to strictly necessary for DO?

20 DR. ZENZ: This is my understanding
21 of the way that the SEPA stations are operated
22 and the way that the in-stream aeration stations
23 on Webster Avenue are operating. They have a
24 dissolved oxygen probe, and I think it's only one,

1 upstream each of those stations.

2 If the probe shows that the
3 standard for its particular stream is below
4 that for SEPA, they actually have to send a
5 man out to the station and put pumps in operation.
6 Depending on what the DO level was, they put one,
7 two, three -- whatever number of pumps are available
8 and each station is different, the number of pumps,
9 they will put those pumps into operation. Then
10 if they feel that the DO is good, they will either
11 take pumps out of operation or stop the station all
12 together.

13 At Webster Avenue, it's a
14 little -- and Devon Avenue, it's a little different.
15 They also have a DO probe upstream of each aeration
16 station, but they can control the operation of the
17 blower directly at the north side plant so they
18 will just turn one blower on or two blowers on,
19 whatever they think is necessary, to meet the
20 standard. That's how they operate.

21 MR. ETTINGER: Actually, you can
22 even pass the upstream aeration stations. You
23 don't want to turn on those unnecessarily because
24 they don't serve any fun purpose at all, but the

1 SEPA stations -- my question was, do you know
2 whether the SEPA stations are now run sometimes
3 for astatic purposes?

4 DR. ZENZ: I have -- I guess my
5 direct answer is I don't know the answer to that
6 question.

7 HEARING OFFICER TIPSORD: Mr. Harley?

8 MR. HARLEY: You testified you
9 participated in the design of the SEPA stations?
10 From a design point of view, is there a maximum
11 of hours that a SEPA station is designed to operate
12 in any given year?

13 DR. ZENZ: Well, as any facility
14 is designed to operate 24 hours a day, seven days
15 a week, you know, every -- all of the time. There
16 are standby -- there is a standby blower at each
17 of the stations in case a blower should come out
18 of service. With proper maintenance, these
19 facilities can operate at a full capacity all the
20 time.

21 MR. HARLEY: Thank you.

22 HEARING OFFICER TIPSORD: Okay.

23 MS. WILLIAMS: Question 5, in
24 Paragraph 1 on Page 4 of your pre-filed testimony,

1 you state, "Achieving compliance with the
2 standards will require a complex waterway DO
3 monitoring network and facilities operation
4 plan. Cost for a monitoring network and
5 operations plan have not been included in
6 this cost estimate." A, What do you mean by
7 complex DO monitoring network?

8 DR. ZENZ: Well, we did not
9 determine the specifics. We did not perform a
10 cost estimate for such a system nor did we
11 determine what the specifics are, but since you
12 asked the question, I would think it would
13 consist of, first, some kind of DO monitoring
14 probe throughout the whole system.

15 Don't forget we're talking
16 about seven existing aeration stations and 28
17 more. So we're talking about 35 aeration
18 stations that have to be operated. So it
19 would be a fairly extensive DO monitoring system.
20 Just like they have now except --

21 MS. WILLIAMS: I was going to say
22 don't they have a pretty extensive system now?
23 Do you think it will require that this would
24 require them expand it?

1 DR. ZENZ: I don't know.

2 MS. WILLIAMS: All right.

3 MR. ANDES: One of the questions
4 that I would ask you to explain is as you go
5 through the rest of this, when this system is
6 constructed to monitor DO, explain how it differs
7 from how things are being done now. Is "now" a
8 simpler system?

9 What issues are you going to
10 have to look at for the whole system that you're
11 not looking at right now, just on the Calumet?

12 DR. ZENZ: Well, the existing system
13 operates with basically seven dissolved oxygen
14 probes. That's the controlled one. These other
15 monitoring --

16 MR. ANDES: Where are those probes?

17 DR. ZENZ: They are directly up-stream
18 of the aeration systems.

19 MR. ANDES: So each one deals only
20 with the DO level at that station?

21 DR. ZENZ: That's correct, and
22 these other probes are used for monitoring
23 purposes by the R and D department. They are
24 not used for operational purposes by the M and O

1 department. It's a different system.

2 MR. ANDES: What's the purpose of
3 the new DO monitoring system?

4 DR. ZENZ: We think -- AECOM
5 thinks, and the District tends to agree, that
6 you want some kind of a system that would
7 operate automatically. They don't want to
8 behave as they have now for the SEPA stations
9 where they get a probe reading and then they
10 send a man out to go turn on the station, you
11 know, one, two or three pumps. They want to
12 have a centralized control system. That's
13 what we talked about.

14 Again, I did not estimate the
15 cost for such a system, but you can see where
16 you would have, you know, a centralized system
17 where all the DO probes would be coming in, but
18 I don't think any human being would try to figure
19 out during a rainstorm event, for example, how
20 the heck these folks are going to turn stations
21 on or not turn stations on in various parts
22 of the system.

23 So I think the other part that
24 you want is you want wireless telemetering to the

1 central location, which they do not have now.
2 Then you want some kind of central computer
3 system that would analyze the data and that
4 requires some kind of software package that
5 somebody would have to develop. I have no
6 idea how much that would cost. It's not
7 included.

8 This system, of course, would
9 have manual overrides of some kind, but the
10 system would help the operator or operators
11 to figure out what to turn on and what stuff
12 not to turn off. I think everybody recognizes
13 there are local storms that come through.

14 I should say clearly here
15 that Dr. Melching found that many of the stations
16 that operate only need to be operated during wet
17 weather conditions. That is, some stations will
18 be completely turned off in dry weather conditions.
19 They will not be needed.

20 So you will be turning it on
21 maybe on the north side or not turning it on on
22 the south side. That could happen. So we see
23 a centralized system of monitoring, telemetering,
24 to a central steam and some kind of software

1 package and we did not include that cost.

2 MR. ANDES: Is it your understanding
3 the aim of that system would be to make sure that
4 you are actually complying the DO throughout the
5 system?

6 DR. ZENZ: That's correct.

7 MS. WILLIAMS: You have answered
8 the rest of my Question 5 and so I'm going to
9 skip onto Question 8.

10 On Pages 3 and 4 of your
11 testimony, you state, "Any additional hours
12 of operation of the existing Devon and Webster
13 Avenue aeration stations or the existing
14 SEPA stations required beyond their operation
15 during water years 2001 and 203 were provided
16 by Marquette University for use in estimating
17 the additional costs of operating these existing
18 stations."

19 Then, on Page 5, you state,
20 "Marquette University determined that additional
21 operation of the existing Devon and Webster Avenue
22 aeration stations was not needed to comply with
23 the IEPA standards." A, why was the analysis
24 restricted to the years 2001 and 2003?

1 DR. ZENZ: I will repeat what I
2 said before. You can find in Dr. Melching's
3 report, which is attached to my testimony, by
4 the way, somewhere in this pile of stuff --
5 oh, here it is. If you look at Pages 7 to 13
6 of his report, he describes why he selected the
7 years 2001 to 2003.

8 I'm repeating myself
9 again, but he looked at ten or 11 years of data.
10 He looked at the rainfall and he looked at, you
11 know, quite frankly how robust each of the model
12 years data was. Do I have good dissolved oxygen
13 data? Okay. He has to calibrate his model
14 according to existing dissolved oxygen conditions
15 in the Chicago area water system and make sure that
16 that model is calibrated properly so when he makes
17 his leap to putting in stations and predicting what
18 the DO would be with these new stations, he wanted
19 to make sure this model is giving him good results.

20 Anyway, to make a long story
21 short, he decided that 2001 and 2003 were good
22 representative years of a wet and dry year. The
23 dry year was 2003 and the wet year was 2001. So
24 he felt -- it's his modeling choice.

1 Again, I will state he was not
2 a subcontractor to AECOM. He was a contractor
3 for the District. That was his responsibility
4 and he made that choice. I have no reason to
5 doubt that that was a good choice.

6 MS. WILLIAMS: Can you clarify
7 whether the Devon and Webster stations will need
8 to operate for additional hours?

9 DR. ZENZ: Well, according to
10 Dr. Melching's model, as stated in my report,
11 no, they don't.

12 MS. WILLIAMS: Okay.

13 DR. ZENZ: So whatever existing
14 operation, unlike the SEPA stations, which I've
15 already pointed out, Dr. Melching said they would
16 have to be -- again, for the system he came up
17 with, the 28 stations, the three floor augmentation
18 stations, he is saying that additional operation
19 hours of SEPA would be required and these hours
20 can be provided by the SEPA stations.

21 The District can do that, but
22 for Devon Avenue and Webster Avenue, given the
23 waterway conditions in 2001 and 2003, they do not
24 have to be operated any additional hours. They

1 still will be operating, but not for additional
2 hours.

3 MS. WILLIAMS: Again, we don't
4 know how many hours they will be operated for?

5 DR. ZENZ: I could not locate
6 the information either in Dr. Melching's report
7 or anything in front of me that said what the
8 existing hours of the stations are. I'm trying
9 to be helpful to the Board. I know they are not
10 operated in the wintertime. They are not because
11 there is no significant oxygen demand at low
12 waterway temperatures. We understand bacteria
13 is not really active then.

14 They are basically rarely
15 operated in the wintertime. I won't say never,
16 but they are mainly operated in the spring,
17 summer and fall and probably mainly during the
18 summer when the temperatures are high and the
19 oxygen demand is high. That's all I can tell
20 you. I don't have any specific information other
21 than the general statements now.

22 MS. WILLIAMS: Do you know whether
23 they have to be operated in the wintertime under
24 the Dr. Melching model?

1 DR. ZENZ: Whatever is the existing
2 database that he used, and I'm assuming the
3 existing database, as I made my general statement
4 before, there is little need to operate the
5 stations in the winter. So I'm assuming that
6 the database -- he is using the actual data
7 from 2001 and the actual data from 2003 from
8 the operation of the SEPA stations and so I
9 would think since he doesn't require any
10 additional hours that there would be very
11 infrequent use of the Devon Avenue aeration
12 station during the winter or even the spring.
13 Long answer, but that's the answer.

14 MR. ETTINGER: Since you mentioned
15 that, do you know of a reason there would be DO
16 crashes in January or November?

17 DR. ZENZ: I'm the wrong guy to
18 ask questions about the existing water quality
19 data for the Chicago Area Waterway System. There
20 are many more qualified people at the District
21 than I would be. I just don't have an answer to
22 that.

23 MR. ETTINGER: You wouldn't happen
24 to know who those people are, would you? Go on.

1 HEARING OFFICER TIPSORD: Mr. Harley?

2 MR. HARLEY: In a general sense,
3 CSO overflows would contribute to DO crashes as
4 you are describing it?

5 DR. ZENZ: Absolutely.

6 MR. HARLEY: Thank you.

7 MS. WILLIAMS: So your testimony
8 today addresses the cost to the District of
9 complying with the District's proposal?

10 DR. ZENZ: And the IEPA, both. I
11 have costs for both.

12 MS. WILLIAMS: Have you determined
13 the cost of complying with the current water quality
14 standards?

15 DR. ZENZ: No.

16 MS. WILLIAMS: Is the cost of
17 complying with the current water quality standards
18 factored into your final cost for complying with
19 what was --

20 DR. ZENZ: I can only tell you what
21 we did. We determined what additional equipment --
22 28 aeration stations, four flow augmentation
23 stations -- the cost of that additional equipment
24 that would be required to meet the District's

1 proposed standards for additional equipment, to
2 meet the just the IEPA proposed standards. That's
3 all I can tell you.

4 MS. WILLIAMS: I understand. Would
5 you agree from the Board's point of view that the
6 cost of complying with the current standards should
7 be subtracted from the total cost in determining
8 the actual cost of complying with the proposed
9 standards?

10 DR. ZENZ: Well, I'm trying to
11 think of a diplomatic way to say this, but as
12 I understand it -- well, there is no way to
13 know from my study what the cost would be -- that's
14 included, you know, in the cost to meet the current
15 standard. It would be a fairly complicated
16 analysis.

17 Let's say you said to me, okay,
18 AECOM, go figure out what it costs to meet the
19 existing standard. Well, I'd go back to
20 Dr. Melching. He would, in his model, figure out
21 what additional equipment was needed to meet the
22 existing standard. Of course, plugged into that
23 would be whatever is happening now in the system in
24 terms of meeting the water quality standards.

1 So, for example, if they are
2 98 percent compliant, I don't know -- I don't
3 know what compliance they are. It may not be
4 very much at all. So you have to kind of figure
5 that out.

6 But on just another, shall we
7 say a general sense, we are all here because you
8 guys didn't like the existing standard, so why
9 would you want to bother figuring out -- I mean,
10 I don't understand why you would want to figure
11 out what the cost is to meet the existing standard.
12 What use would that be? Well, I don't know.

13 MS. WILLIAMS: The reason -- I mean,
14 I don't know that I should have to explain, but
15 I'm happy to explain the reason for the question
16 is that it's over-estimating the cost to the
17 District and include the fact that they are not
18 meeting the current standard and to throw all of
19 that in as the cost complying with a slightly
20 improved future standard, it's very slight, what's
21 being proposed here comparatively.

22 MR. ANDES: I would object to that
23 characterization, but I think we've answered
24 question.

1 MS. WILLIAMS: Thank you.

2 MR. ETTINGER: Well, the bottom
3 line is you -- at no time have you moved to
4 calculate the costs to comply with the existing
5 standard?

6 DR. ZENZ: No.

7 MR. ETTINGER: And if -- if
8 somehow IEPA's proposal was defeated and somehow
9 the District's proposal was rejected by the
10 Board or the U.S. EPA, then, you probably have
11 to do that -- that study and that would be done
12 by Dr. Melching probably in the same way that
13 he's done this study for the other standards?

14 DR. ZENZ: (Nodding.)

15 MR. ETTINGER: You have to speak.

16 MR. ANDES: Are you asking him what
17 the District would plan to do in terms of hiring
18 him?

19 MR. ETTINGER: No. I'm just asking
20 him how --

21 MR. ANDES: He, of course, would
22 support the District hiring him.

23 MR. ETTINGER: And I would support
24 that, too, but I would like him to state something

1 on the record rather than nod because the court
2 reporter can't take down nods.

3 My question was actually not
4 directed towards what the District would hire,
5 but rather how he would calculate the numbers
6 if he were hired.

7 DR. ZENZ: I'll try to give a
8 direct answer to your question. It would be
9 the same type of procedure. Since Dr. Melching
10 has been continuously improving his model, he
11 has actually had two improvements over the original
12 model work he did for the District, he would
13 probably try to improve it and find better ways
14 to handle the CSOs, et cetera, et cetera, et cetera.

15 But yes, the only way you can
16 conduct such an exercise, in my opinion, would
17 be the same procedures we used to determine the
18 cost to meet the IEPA standards, additional
19 equipment required to meet the IEPA standards,
20 or the additional equipment the District requires.
21 You're really trying to predict a condition which
22 doesn't necessarily exist now.

23 So then -- and then after he
24 had determined what that equipment was, we would

1 perform some kind of a cost estimate. That would --
2 the detail of that cost estimate would have to
3 be worked out with the District so they could
4 determine whether they want a level five cost
5 estimate, which I am presenting here today or
6 a level four cost estimate or all three cost
7 estimates and how detailed and how much effort
8 is going to go into the cost estimate. The
9 procedure we used here is going to be the same.

10 BOARD MEMBER GIRARD: So it seems
11 to me we've got a fairly simple question and we
12 keep getting very long answers and then even
13 longer questions.

14 MS. WILLIAMS: Sorry.

15 MR. ETTINGER: That's why the lawyers
16 are here.

17 BOARD MEMBER GIRARD: The task
18 here was to simply come up with the cost of
19 complying with either the Illinois EPA proposed
20 DO standards or the District's proposed standards
21 and so you had two tasks.

22 Did you simply assume that
23 the District was currently complying and then
24 base your cost estimates on what additional

1 equipment and operations would be necessary
2 to meet either the IEPA's proposed standard
3 for DO or the District's proposed standard
4 for DO?

5 DR. ZENZ: I will repeat what I
6 already said, which is that if the modeling
7 was the basis for the cost estimate and in the
8 modeling, Dr. Melching took in whatever the
9 existing operation of these stations were in
10 2001 and 2003. That's all I can tell you,
11 whatever the existing was.

12 There is no attempt to -- I
13 mean, there was no attempt to figure out what
14 was the required operation of those stations
15 to meet the existing standard. No attempt.

16 MR. ANDES: So it was based on
17 existing data concerning hours that those stations
18 were currently operating?

19 DR. ZENZ: That's it.

20 BOARD MEMBER GIRARD: Thank you.

21 DR. ZENZ: Whether they were meeting
22 standards or not meeting this under the standards,
23 for those existing operational hours for those
24 years, I don't know.

1 MR. ANDES: Is it your understanding
2 that that was done because the standards were being
3 changed anyway?

4 DR. ZENZ: That's correct. Was
5 it simply an attempt to get some kind of baseline?
6 Here's what they are spending now. Here's what
7 they have already spent. Let me make it perfectly
8 clear, in our cost estimate, there are no capital
9 costs included for Devon/Webster Avenue stations,
10 no capital costs included for any of the five SEPA
11 stations, no costs included in my cost estimate
12 for any existing personnel to operate those stations
13 or equipment to maintain them. The electricity to
14 run the stations, it's not included in this cost
15 estimate. It's only the additional equipment
16 that's required. None of that cost is here.
17 Whatever the District spends now, it's not in this
18 cost estimate.

19 BOARD MEMBER GIRARD: Thank you. That
20 helps.

21 HEARING OFFICER TIPSORD: Okay.
22 Ms. Williams?

23 MS. WILLIAMS: I'll move on to
24 question nine.

1 DR. ZENZ: Okay.

2 MS. WILLIAMS: In Bullet No. 1
3 and 2 on Page 3 of your pre-filed testimony,
4 you state, "Supplemental aeration technology
5 considered was ceramic disk diffusers installed
6 in the waterway with an onshore blower facility.
7 Aerated flow augmentation technology considered
8 was forced main aeration of pump flow using
9 a U-Tube aerator and high purity oxygen. A, what
10 other aeration technologies did you consider?

11 DR. ZENZ: For this level five cost
12 estimate that we did, we looked at -- now, we did
13 the standard things an engineer does where we
14 looked at a long list of alternatives and we looked
15 at a short list of alternatives.

16 The long list of alternatives
17 included porous ceramic diffusers, membrane
18 diffusers, we looked at jet aerators, which
19 is a pump system where you pump water out of the
20 canal and run it through a Venturi, put oxygen
21 into the low side of the Venturi, and then water
22 comes back into the system.

23 Of course, we looked at head
24 loss structures, free fall weirs, which is really

1 just what the SEPA station, a free fall weir. If
2 you've ever looked at a SEPA station, it comes
3 off the weir, plunges down into a pool and it's
4 really the plunge into the pool where all that
5 turbulence takes place and that's where the
6 dissolved oxygen is added to the water.

7 We looked at cascades. That's
8 a different thing. If you've ever seen a typical
9 cascade, it kind of flows almost on a laminar flow
10 over a cascade and then transfer is from the air
11 through that thin film of water that flows
12 over the cascade.

13 We looked at mechanical aerators,
14 which is just a device sitting on the surface of
15 the waterway, which would literally beat the
16 surface up and cause a lot of turbulence.

17 We looked at U-Tubes. A U-Tube
18 is typically a 100-foot tube that's drilled down
19 below the surface and brings the water out, shoves
20 to down to the bottom of the U-Tube. You have
21 100 feet of hydrostatic head at the bottom of the
22 U-Tube. You inject your oxygen there under that
23 pressure, under the physics of the situation.
24 You can get very supersaturated conditions of the

1 water. You can get dissolved oxygen concentrations
2 of 30, 40, 50 milligrams per liter and then you
3 eject the water back out again.

4 We looked at barge mounted
5 aeration and we looked at screw pump aeration
6 because the District felt that the screw pumps
7 at SEPA were also causing some additional
8 aeration in addition to the waterfalls themselves.

9 But our short list only
10 included four technologies and the one with the
11 highest score was ceramic diffusers with a total
12 score of 252.

13 Also included on that short
14 list were compressed air U-Tubes, jet aerators
15 and, of course, SEPA stations. So only four
16 made the short list.

17 MS. WILLIAMS: That's based on
18 performance?

19 DR. ZENZ: It's based on a matrix.
20 We used a matrix where we produced an evaluation
21 matrix like this. By the way, this is contained
22 in the report, which IEPA submitted to the Board.
23 You can find it in what we call Technical Memorandum
24 4WQ, and it's -- the title of it is -- give me a

1 second here.

2 MR. ANDES: This is part of the
3 Agency's initial filing with the Board?

4 DR. ZENZ: That's correct.

5 MS. WILLIAMS: So would you agree
6 with the Agency that these technologies would be
7 at the upper end of the cost?

8 DR. ZENZ: No.

9 MS. WILLIAMS: Or ranking?

10 DR. ZENZ: No. Let me go further.

11 After we determined that these four technologies
12 would be on the short list through the matrix
13 system, we did a cost estimate -- a level five
14 cost estimate. This was done -- I want to caution
15 everybody that these were for stations only on the
16 north branch and the south branch, only four
17 aeration stations. They were pretty small and
18 they were to meet a District standard at the time,
19 which was 90 percent compliance with five milligrams
20 per liter. We didn't know what the heck you guys
21 were going to come up with. I'm giving you these
22 costs so you have some idea of the relative costs
23 of these four systems.

24 MR. ANDES: So this analysis was done

1 before the Agency issued the proposed rule?

2 DR. ZENZ: Correct.

3 MR. ANDES: But it explains how
4 various aeration technologies were considered?

5 DR. ZENZ: Correct.

6 MR. ANDES: Okay.

7 DR. ZENZ: Of the four technologies,
8 ceramic diffusers had the lowest capital cost. It
9 had the second lowest operation of maintenance cost
10 and to give you some idea of the present worth here
11 for these systems, which combines -- and I think
12 everybody knows now what present worth is or I hope
13 so -- capital and operation maintenance costs and
14 the ceramic diffuser had a \$56 million present
15 worth. This is all in the report. U-Tubes had
16 \$47 million.

17 Now, that's within our range
18 and ability to estimate costs at a level five.
19 So I consider them to be the same, but since you've
20 got -- since ceramic diffusers are something the
21 District uses, it had the highest total score, we
22 decided to do a cost estimate. I feel justified in
23 doing this. So it's not the highest cost. It's
24 lowest capital cost.

1 MS. WILLIAMS: In your initial
2 analysis, you said that's based on a 90 percent
3 compliance with five milligrams per liter?

4 DR. ZENZ: That's correct.

5 MS. WILLIAMS: Do you have any --

6 DR. ZENZ: I'm just giving you --
7 I'm giving you these costs so you understand the
8 relative costs of the various technologies so you
9 have some idea of why -- why did we choose ceramic
10 diffusers for the cost estimate in my testimony.

11 MR. ANDES: And that particular
12 document, which is done at the request of IEPA,
13 was done for the Agency proposed the rule?

14 MS. WILLIAMS: And before the District
15 proposed their DO standard, correct?

16 MR. ANDES: Yes.

17 DR. ZENZ: And understand the costs
18 going into these here, the basic costs, we took
19 all of those spreadsheets at the UAA study, all
20 the costs for ceramic diffusers, come out of this
21 short and then comes into my testimony. That
22 level five cost estimating, all the costs that we
23 had in there came out of that cost estimate and
24 made it into my testimony, that's where the costs

1 come from. They come from these numbers.

2 HEARING OFFICER TIPSORD: Do you have
3 a follow-up?

4 MR. QUAIL: I'm John Quail, Friends
5 of Chicago River. As part of your cost estimates,
6 did you look at installing a cascade or a free
7 weir -- the pre-drop weir system at the north branch
8 dam and using natural elevation change as a lower
9 cost alternative to a SEPA station to meet any sort
10 of DO?

11 DR. ZENZ: We didn't look at anything
12 specific like that. We looked at SEPA stations as
13 a technology. We didn't look at a particular
14 technology at a particular location anywhere in
15 the system. We just looked at that technology.
16 We were trying to determine a cost estimate.
17 That's what we were trying to do. What technology
18 would be the most likely -- we wanted a cost
19 estimate for a practical technology that could
20 be implemented.

21 MR. ANDES: Let me just clarify.
22 Is it fair to say your cost analysis was based
23 on the modeling that Dr. Melching did, which
24 his report indicates is needed to bring the

1 waterways into compliance with the water quality
2 standards?

3 DR. ZENZ: Correct.

4 MR. ANDES: You took his analysis
5 in terms of what was needed and cost it out?

6 DR. ZENZ: Correct.

7 MR. QUAIL: In your expertise
8 for the SEPA stations, is much of the cost in
9 the pumps and blowers and is that something
10 you could accomplish using natural elevation
11 changes with tributaries as the weight increased
12 the OM system?

13 DR. ZENZ: You're asking a fairly
14 complex engineering question. I will give you
15 a general answer, which is that because of the
16 elevation in the river -- water elevation, the
17 need for a SEPA station to be onshore, it's already
18 up above. Then you have another 15 feet ahead
19 that has to be pumped up to the top. The chances
20 of using natural elevation in the Chicago area
21 would be pretty slim. I'm not saying it's
22 impossible, but I'm saying it's pretty slim.

23 HEARING OFFICER TIPSORD: Okay.

24 Ms. Williams?

1 MS. WILLIAMS: I would like to
2 avoid repetitiveness so I believe based on your
3 prior answers, would you just agree that in
4 response to Question 10, the aeration requirements
5 and cost figures do not take into account the
6 completion of TARP reservoirs, correct?

7 DR. ZENZ: They do not.

8 HEARING OFFICER TIPSORD: Mr. Harley?

9 MR. HARLEY: Hypothetically, if
10 TARP completion eliminates CSO overflows, is it
11 possible that the aeration stations that you
12 anticipate would not be necessary at all?

13 DR. ZENZ: Well, one thing I've
14 learned through this process is that trying to
15 predict what the future conditions are is extremely
16 difficult.

17 Let me just give you an example.
18 If you're going to be predicting TARP under
19 construction, then, you also have to say what
20 other situations will occur in that same point
21 of time? So for example, what would be the
22 effluence -- what would be the effluence from
23 the treatment plants? What would they be?

24 Well, the issue is well, what

1 would be the standard then? It gets to be
2 somewhat -- then even, like, Lake Michigan
3 diversions, while there is a schedule, as I
4 understand it, that lake diversions will decrease
5 in the future, but that could change. So you are
6 in a situation where you are trying to predict
7 some future event, which includes all of these
8 somewhat unknowns and then to say that TARP would
9 eliminate all CSO, I think, is a stretch.

10 Then for me to sit down and
11 say that I would know just sitting here without
12 any modeling, I would say that could be a very
13 interesting study, but a very complex one to
14 figure out what it is. We did not do that for
15 that simple reason. We decided that we weren't
16 going to try to start talking about, you know,
17 what the cost would be in the year 2025. I don't
18 think that would be useful to anybody because
19 everybody would be picking apart every assumption
20 that we made for the year 2025.

21 So what we decided to do is
22 predict what the cost would be for basically the
23 existing situation. So we have some idea what
24 the cost would be. I guess I would just say I

1 decline to answer your question.

2 MR. HARLEY: That was the longest
3 declination ever.

4 MR. ETTINGER: Actually, though,
5 hypothetically if we had schedule for TARP
6 completion, maybe a consent decree or something,
7 and we set that down, would you then be able to
8 do your modeling and come up with numbers that
9 would meet the dissolved oxygen levels based on
10 assumed completion dates for TARP?

11 DR. ZENZ: It would be a very
12 difficult to say, very difficult to say.

13 MR. ETTINGER: Would you like the
14 challenge?

15 DR. ZENZ: Sure.

16 MR. ANDES: Would you have to predict
17 first exactly how TARP would operate 18 years from
18 now?

19 DR. ZENZ: That's correct. I can
20 tell you from talking to Dr. Melching, the modeling
21 required to figure out what -- you know, it's going
22 to have an affect on CSO, no question. That's what
23 the TARP reservoir system is designed to do, but
24 figuring out what that is is a very difficult

1 assignment, very difficult. It would be a huge
2 challenge. Probably, quite honestly, the one
3 dimensional model -- he is using a DUFLOW model,
4 you know, to put together specifically for the
5 Chicago Area Waterway System and to modify it
6 also to an extent. I'm not sure that model would
7 actually be the right one for the job. So you
8 would have to get a model to figure out what would
9 be the best model. Then the challenge would be to
10 really figure out what the inputs would be, what are
11 the discharges from the -- not only figure out what
12 the discharges from the CSOs are in this future
13 event, but then try to figure to out what the
14 discharges from the treatment plants are.

15 MR. ANDES: Wouldn't there also
16 be other wet weather sources?

17 DR. ZENZ: Yes. The model also
18 takes into account the runoff directly from
19 surrounding areas of the stream, storm water
20 discharges from storm water sewers and so forth.
21 I mean, it would be a very complex exercise. It
22 would be extremely difficult. It could it be
23 done, yes.

24 MR. ETTINGER: Just to break that

1 down a little bit, then we will go on here, does
2 the District have estimates as to what degree the
3 CSOs will be shut down given various levels of
4 completion of TARP?

5 DR. ZENZ: I'm not privy to that.
6 I don't know.

7 MR. ETTINGER: Thank you.

8 MS. WILLIAMS: Dr. Zenz, given all
9 the uncertainty that you just described, can you
10 at least tell us in the future at the completion
11 of TARP, is it possible that the SEPA stations
12 would have to run more frequently than they do
13 now or would they have to run less frequently than
14 they do now?

15 DR. ZENZ: Believe it or not, that's
16 a fairly complex question. Just to give you an
17 example, Dr. Melching he made a decision. He could
18 have -- he could have decided to not increase the
19 operational hours of the SEPA stations, but as he
20 did his modeling, he placed -- it's a very complex
21 process. I was at Marquette University. The
22 model -- to make a run, the model runs for, like,
23 two to three hours -- two to three hours. So if he
24 puts a station here and it's 80 grams per second,

1 let's see what happens with that. Then he runs it.
2 Well, that's not good enough. Then he tries this
3 other -- so he was trying to work with the existing
4 system and he would change the hours of the SEPA
5 stations. So it's quite possible that he might
6 decide to change the operation of the SEPA stations
7 to less hours. I don't know.

8 MR. ANDES: But at that point,
9 Dr. Zenz, you would have already built all 28
10 additional aeration stations?

11 DR. ZENZ: Oh, I see what you mean.

12 MR. ANDES: Right. So that cost would
13 be sunk.

14 DR. ZENZ: Correct.

15 MR. ANDES: So you might have to
16 operate the stations less hours, but you are capital
17 costs would already have been incurred.

18 DR. ZENZ: Correct.

19 MS. WILLIAMS: Are you willing to
20 say today, yes or no, that the stations would
21 operate less hours?

22 DR. ZENZ: I think from a -- you
23 know, I'm going to try to be as responsive as
24 possible. Since Dr. Melching has said repeatedly

1 that many of the aeration stations are operated
2 simply because of CSO events -- because of CSOs --
3 and since TARP should reduce CSOs, yes, you are
4 right, from a theoretical standpoint. The extent
5 of it, how much it would be, is pure speculation.
6 It would just be pure speculation.

7 MS. WILLIAMS: No one asked him or
8 you to look into that?

9 DR. ZENZ: Absolutely not.

10 MS. WILLIAMS: Okay. Thank you.
11 Can you tell us how long it's going to take to
12 construct the stations as they are designed in
13 your study?

14 DR. ZENZ: I can. In my previous
15 testimony, I did present testimony before the
16 Board, which indicated a construction schedule
17 and at that time, I said that full scale studies
18 would take about two years. Design of required
19 facilities, I would think, would take about three
20 and a half years, and construction about three
21 years. I think total time of about eight and a
22 half years would be the time I would think to get
23 it done and I would stick to that.

24 MS. WILLIAMS: So today, I do recall

1 maybe in Joliet, we had this discussion, but as we
2 sit here today, we're talking about 2020?

3 DR. ZENZ: Yes, give or take.

4 MS. WILLIAMS: Thank you.

5 MR. ETTINGER: Can you generalize
6 that basically eight years from whenever or eight
7 and a half years from whenever we decide we're
8 going to put in supplemental aeration is when we
9 can expect it to go in?

10 DR. ZENZ: Yes. Maybe it's helpful
11 to -- you know, history is sometimes useful and
12 I went back and looked at the schedule of what
13 happened with SEPA. It turns out that in 1984,
14 the District did a planning study determining
15 that SEPA was the way to go.

16 Again, I'll repeat what I
17 said before. I think this was done because the
18 EPA was willing to forego a requirement for
19 tertiary treatment in Calumet or in lieu of
20 these five stations.

21 In '84, the planning document
22 was prepared. Then in '86 and '87, the pilot
23 studies were put together. In '88, which is
24 pretty good for the industry, they hired a

1 consulting engineer to design it. They began
2 construction in 1989, which proceeded forward
3 and SEPA stations three and four were completed
4 in 1992 and then SEPA stations one and two were
5 completed in 1994. This was 10 years from the
6 beginning. So I don't think I'm too far
7 away from when I said eight and a half years.

8 MR. ETTINGER: So hypothetically,
9 if we were to come up with a schedule for the
10 completion of the TARP, that would be the time
11 to start looking at what stations -- supplemental
12 aeration stations would be necessary so that we
13 wouldn't have to wait 10 years after the completion
14 of TARP after that to get the job done?

15 MR. ANDES: Are you saying that
16 they could start all of this process immediately
17 after setting forth a TARP schedule?

18 MR. ETTINGER: Yes.

19 MR. ANDES: And have the modeling done
20 at that point in terms of --

21 MR. ETTINGER: Oh, I didn't say
22 that the modeling would be done, but the modeling
23 should be started. Once you know what the TARP
24 schedule is going to be, at that point you could

1 then begin modeling what supplemental dissolved
2 oxygen would be needed based on TARP.

3 DR. ZENZ: You could do that and
4 again, I'm going to repeat what I said before,
5 that is a very difficult and complex assignment.

6 HEARING OFFICER TIPSORD: Mr. Harley?

7 MR. HARLEY: I actually want to go
8 back to one of the questions that Ms. Williams had.
9 Do you know when TARP will be finalized for Thornton
10 reservoir?

11 DR. ZENZ: I have no idea. I'm not
12 involved in the project, I haven't been involved
13 in the project, and I have no information.

14 MR. HARLEY: And you were not given
15 that information as part of developing your cost
16 estimates?

17 DR. ZENZ: No. Again, we assumed
18 whatever was in place in 2001 and 2003 and so we
19 just didn't even discuss TARP reservoir. There
20 was no discussion whatsoever. I have no information
21 to help you.

22 MR. HARLEY: And I know you
23 participated in previous Board proceedings.
24 Were you present general September 8, 2008,

1 when general superintendent Dick Langdon testified
2 that the Thornton reservoir was to be completed in
3 2014?

4 DR. ZENZ: I wasn't there.

5 MR. HARLEY: If, in fact, the
6 Thornton reservoir is completed in 2014 and
7 virtually eliminating CSO events in the Calumet
8 area, would that change the figures that you put
9 forward here?

10 DR. ZENZ: Well, you know, you said
11 virtually eliminate CSOs, I don't know if that's
12 a fact or not. I will give the same answer that I
13 gave to the EPA representative, which is yes,
14 obviously some CSOs would be reduced if --

15 HEARING OFFICER TIPSORD: Dr. Zenz,
16 we're losing you. Please keep your voice up.

17 DR. ZENZ: Some CSOs would be reduced
18 if the Thornton reservoir was put in place and,
19 therefore, since the Dr. Melching has indicated
20 in his workshops with us as he presented his results
21 that of the aeration stations were there simply for
22 CSO events and some big ones. Yes, I think it would
23 probably reduce the number of stations if they
24 weren't built yet or possibly if they were built,

1 they wouldn't have to be operated at all.

2 MR. ETTINGER: That would be as to
3 aeration stations on, say, the Calumet River?

4 DR. ZENZ: Of course, on the Calumet
5 River system only.

6 MR. ETTINGER: It wouldn't change
7 anything on any other parts of the system?

8 DR. ZENZ: No.

9 MR. ETTINGER: Thanks.

10 MR. ANDES: Is it true that most of
11 the 28 aeration systems are on the other parts of
12 the system?

13 DR. ZENZ: That's true because the
14 SEPA stations are already there.

15 MR. ANDES: So there's less
16 improvement that needs to be made to Calumet system
17 and more to other parts of the system?

18 DR. ZENZ: Yes.

19 HEARING OFFICER TIPSORD: Mr. Harley?

20 MR. HARLEY: But as to the Calumet,
21 if the Thornton reservoir is completed by 2014/2015
22 and CSO events are reduced as a result and we have
23 existing SEPA stations, the cost of achieving the
24 DO standard would be zero?

1 DR. ZENZ: I wouldn't go that far.
2 I don't know how -- all I can tell you is that
3 if the stations were not constructed, it's possible
4 that less stations would be constructed or if they
5 were already in place, that they would be operated
6 less. What the affects on cost would be, that would
7 be pure speculation on my part.

8 MR. HARLEY: And just to follow-up
9 and just so the record is absolutely clear on this
10 point, you don't know how often the SEPA stations
11 that are already existing in the Calumets are
12 operated?

13 DR. ZENZ: I don't have any specific
14 information unfortunately to give you.

15 MR. ANDES: To follow-up on that,
16 Dr. Zenz, if you refer to Table 1, which listed
17 28 additional aeration stations, how many of those
18 are located in the Cal Sag?

19 DR. ZENZ: Two.

20 MR. ANDES: How many are located in
21 the Little Cal?

22 DR. ZENZ: Three.

23 MR. ANDES: The other 23 are on other
24 parts of the system?

1 DR. ZENZ: That's correct.

2 MR. HARLEY: Thank you.

3 DR. ZENZ: Again, this is based on the
4 fact that we already have the existing SEPA stations
5 in place and also operating additional hours over
6 and above what they are now.

7 MR. HARLEY: Thank you.

8 MS. LIU: Dr. Zenz, would your
9 schedule for pilot and full scale study and design
10 and construction be any different for under the
11 District's proposal?

12 DR. ZENZ: Yes, it would. I have
13 that somewhere. It's a question of finding it.
14 What did I do with that? You know what, I don't
15 think I brought that with me. Darn it.

16 MR. ANDES: But, Dr. Zenz, perhaps
17 we can talk that through. If you are talking
18 about constructing two new aeration stations
19 simply increasing -- and the inflow augmentation
20 at one site, is it your sense that can be done a
21 lot faster than eight and a half years?

22 DR. ZENZ: Absolutely. I'm not
23 going to try to refresh my recollection here
24 without anything in front of me. I meant to

1 bring that with me and I apologize. We can
2 certainly furnish that to the Board later.

3 MS. LIU: That would be nice. Thank
4 you.

5 DR. ZENZ: I'm not going to -- it's
6 less. It's less than what you would expect it would
7 be.

8 MS. LIU: If you could submit that
9 later, then that would be terrific. Thank you.

10 MS. WILLIAMS: I'm going to ask my
11 Question 11 now if we are ready.

12 DR. ZENZ: Okay.

13 MS. WILLIAMS: On Page 9 of your
14 pre-filed testimony, you state, "The time period
15 during which the wet weather provision would apply,
16 during and after each event, measured in hours,
17 would depend on specific rainfall amounts." In
18 Table 6, the maximum duration is listed in days.
19 Can you explain this discrepancy?

20 DR. ZENZ: Well, I apologize for
21 any misunderstanding there, but the first sentence
22 was meant as a general statement and the Table 6
23 actually contains the District's proposal and the
24 hours are -- not the hours -- the time period is

1 measured in days and that's correct. Table 6 is
2 correct. The other sentence is just a general
3 statement talking about what the attributes of
4 the District's proposal is. That's all.

5 MS. WILLIAMS: So the District's
6 proposal will full days and it will be based on full
7 days, not on portions of days?

8 DR. ZENZ: Just as Table 6 days.
9 That's the correct proposal from the District and
10 as far as I know, it matches everything that came
11 out of the District.

12 MS. WILLIAMS: Is flow augmentation
13 used in the cost estimate for the District's
14 proposal?

15 DR. ZENZ: Yes.

16 MS. WILLIAMS: Okay. Can you go
17 back to Question 12 and can you show us where in
18 Table 4 we can find the approximate cost?

19 DR. ZENZ: Yes. It's in Table 4,
20 Stations A, B and C.

21 MR. ANDES: So that's for the IEPA
22 proposed standards, correct?

23 DR. ZENZ: That's correct. And then
24 for the District's standards, which is in Table 9,

1 it's flow augmentation shown in Station A.

2 MS. WILLIAMS: So under the District's
3 proposal, flow augmentation would be necessary in
4 the north shore channel only?

5 DR. ZENZ: That's correct.

6 MS. WILLIAMS: Is that what I'm seeing
7 here?

8 DR. ZENZ: That's correct.

9 MS. WILLIAMS: Whereas under the
10 Agency's proposal, you are looking at flow
11 augmentation where?

12 DR. ZENZ: On Bubbly Creek and on the
13 Little Cal.

14 MS. WILLIAMS: And can you explain for
15 us why the District's proposal caused elimination of
16 flow augmentation of Bubbly Creek? What about the
17 District's proposal changed that?

18 DR. ZENZ: Well, I guess the short
19 answer is that's what the model showed. I don't
20 meant to be flip, but...

21 MS. WILLIAMS: Okay. Let's try a
22 long answer. What information was put into the
23 model to come to that conclusion with regard to the
24 District's proposal?

1 DR. ZENZ: Many different things.

2 MS. WILLIAMS: Was there an assumption
3 of no DO standard in Bubbly Creek? Maybe I should
4 have asked it that way.

5 DR. ZENZ: I think you're right. I
6 believe that's correct.

7 MS. WILLIAMS: Okay. Thank you. I
8 don't think I have any other questions.

9 MR. ANDES: Let me clarify. You mean
10 no numeric DO standards for Bubbly Creek?

11 DR. ZENZ: That's correct.

12 MS. LIU: May I ask one more question
13 to follow-up?

14 MS. WILLIAMS: He's all yours.

15 MR. ANDES: Why don't you add that.

16 DR. ZENZ: On the bottom of Page 9
17 of my testimony, it specifically says, and I
18 apologize for not remembering this, but it says,
19 numerical minimum DO standards should not be
20 specified for Bubbly Creek as the District
21 considered it to be a unique complex waterway
22 which is stagnant, et cetera. I assumed you
23 have learned that from the District witnesses
24 that they are not proposing a numeric standard?

1 HEARING OFFICER TIPSORD: And just
2 for the record, I appreciate you pointing us to
3 page number, but there aren't any page numbers
4 your testimony. That's okay. I just wanted to
5 note that for the record so that people who were
6 looking at the pre-filed testimony weren't --

7 DR. ZENZ: I'd have to say there are
8 page numbers on mine.

9 HEARING OFFICER TIPSORD: I don't
10 want anyone to think they've got the wrong
11 testimony.

12 MR. ANDES: I believe Ms. Liu had a
13 question.

14 DR. ZENZ: Oh, okay.

15 MS. LIU: Dr. Zenz, if either
16 nutrient removal or disinfection were to provide
17 BOD or biochemical oxygen demand removal from the
18 water reclamation plants, would that affect the
19 number of SEPA stations for the amount of additional
20 aeration that would be needed to either meet the
21 Agency's proposal or the District's proposal?

22 DR. ZENZ: Yes. If nutrient removal
23 or removal of phosphorous or the removal of nitrogen
24 from the system were to cause reduction, it had a

1 number -- in my previous answer, I said I wasn't --
2 I really didn't know and I would hate to speculate
3 whether that's true or not true, but if it did,
4 certainly, it could change just as the question
5 was asked about TARP. If there were reduced CSOs,
6 could it potentially reduce the number of stations
7 or the amount of flow augmentation, yes, of course.
8 Any reduction in the organic loads could cause a
9 change in the system, but determining the extent of
10 it, if any, requires a modeling because the system
11 is so complex so you would have to do that.

12 MS. LIU: Thank you.

13 HEARING OFFICE TIPSORD: Mr. Harley?

14 MR. HARLEY: For the record, I think
15 you responded to the nutrient removal, but not the
16 disinfection part of the question. The question
17 also asked about disinfection.

18 DR. ZENZ: The District proposes,
19 as you probably know, it would not affect the
20 organic load coming in. Newly disinfection would
21 not. That, I am willing to say.

22 HEARING OFFICER TIPSORD: Okay.

23 Ms. Williams, anything further?

24 MS. WILLIAMS: I have nothing further.

1 HEARING OFFICER TIPSORD: Let's take a
2 ten-minute break and we'll come back and start with
3 Albert and Prairie Rivers.

4 MR. ETTINGER: I have very little, by
5 the way.

6 (Whereupon, after a short
7 break was had, the
8 following proceedings
9 were held accordingly.)

10 HEARING OFFICER TIPSORD: We are
11 ready to get going with Mr. Ettinger.

12 MR. ETTINGER: I slashed and burned
13 most of my pre-filed questions. We will still
14 go to No. 5 and ask, are you aware of any other
15 possible approaches to the problem of low dissolved
16 oxygen levels caused by CSOs other than supplemental
17 aeration stations?

18 DR. ZENZ: Well, we are continuing
19 to work with the District to refine our cost
20 estimate for the District for meeting the EPA
21 standards and as part of that program, we had
22 been looking at other technologies in addition
23 to supplemental aeration.

24 MR. ETTINGER: So does the District

1 have some idea of which CSOs will be definitely
2 taken care of by the various stages of TARP
3 and which ones might still be going after TARP
4 is completed?

5 DR. ZENZ: I assume they do.
6 Unfortunately, I don't know what those are.

7 MR. ETTINGER: You don't?

8 DR. ZENZ: No.

9 MR. ETTINGER: And you don't know
10 what plans there might be to address any remaining
11 CSOs or CSOs to the extent they remain after the
12 completion of TARP?

13 DR. ZENZ: I just have not been
14 involved in any parts of that TARP program and
15 I just don't have an answer to that question.

16 MR. ETTINGER: All right. Well,
17 let's go back to what you have been involved in.
18 you said you've been working on alternative
19 approaches to CSOs. Can you just describe that?

20 DR. ZENZ: Sure. Give me a second
21 here. Sediments in the Chicago area waterway system
22 are DO demand and so one of the things that we are
23 looking at is what they call sediment treatment and
24 one of the alternatives that -- there are several

1 different types of alternatives that could be used.
2 First is sediment capping where you just put a
3 sand layer over the type of these organic deposits
4 and then limit the SOD -- sediment oxygen demand in
5 that way or you could treat them with chemical
6 treatment. You could stabilize them with organic
7 methods. There are even -- some people have talked
8 be onsite sediment management. So we would be
9 looking at that.

10 MR. ETTINGER: What is on-site
11 sediment management?

12 DR. ZENZ: Well, it's a little
13 drastic, but it was it's been talked about as
14 you would -- if you had, like, a slip or inlet,
15 which was full of lots of sediment and wasn't
16 really part of the main body of waterway, you
17 could actually block that that inlet out and
18 then put in some devices to aerate and somewhat
19 stabilize the organics in the sediment that way.

20 It really wouldn't -- to be
21 honest with you right now, the only one that
22 we thought might be viable would be sediment
23 capping where you would add a sand layer over
24 the top.

1 MR. ETTINGER: Some of these
2 site -- well, some of these abandoned slips
3 and things, if they contain sediment --

4 DR. ZENZ: Yes.

5 MR. ETTINGER: -- have you looked
6 at things there?

7 DR. ZENZ: Some specifically there,
8 but as a general concept, it's a possibility.

9 MR. ETTINGER: What have you looked
10 at there?

11 DR. ZENZ: For the slips and inlets?

12 MR. ETTINGER: Yes.

13 DR. ZENZ: Quite frankly, we didn't
14 look at the slips and inlets. There are many of
15 these in there. We made an early decision talking
16 with Dr. Melching that the difficulty of trying to
17 model for these slips and inlets so --

18 MR. ANDES: But for this analysis?

19 DR. ZENZ: For this analysis.

20 MR. ANDES: But there is a continuing
21 analysis.

22 MR. ETTINGER: That's what I was
23 asking. I thought we were just talking in general
24 rather --

1 DR. ZENZ: Yes.

2 MR. ETTINGER: -- than what you did
3 with Dr. Melching, but for the District, you are
4 looking for doing things with slips and inlets.
5 I'm just asking in general, what sorts of things
6 are you talking about for the slips and inlets?

7 DR. ZENZ: Well, I'm talking about
8 sediment capping, sediment treatment, onsite
9 sediment management, those kind of things. I
10 want to make sure everybody understands this is
11 just a study. Looking at them, there is no --
12 it's not going much further than that. One of
13 the difficulties here is Dr. Melching has spent
14 some modeling time looking at what is the
15 component of sediment oxygen demand in his model
16 and it doesn't appear to him based on a workshop
17 he has done recently for us that sediment oxygen
18 demand is a major component of the oxygen demand
19 in the system.

20 You know, the CSOs, the discharges
21 from the treatment plants, storm water discharges,
22 are so great that sediment oxygen demand is really
23 not a big portion. So that doesn't appear to be
24 extremely viable alternative right now in our

1 opinion.

2 MR. ETTINGER: So what are the big
3 portions? What are the things documented as DO?

4 DR. ZENZ: CSOs is a very big part
5 of it. Now, as I said before, Dr. Melching and
6 his workshops discussing the results of the model
7 indicated that many of the stations are required
8 simply because of CSOs, but then you do have dry
9 weather flows, you do have oxygen demand from the
10 treatment plants themselves.

11 MR. ANDES: Also stagnant areas.

12 DR. ZENZ: Stagnant areas that are
13 present, yes.

14 MR. ETTINGER: Have you looked at
15 creating any wetlands in any of the slips or inlets
16 in the system?

17 DR. ZENZ: We have not. I know other
18 people have, but not us.

19 MR. ETTINGER: What other people do
20 you know of who --

21 DR. ZENZ: I don't know. I heard
22 Jennifer talking about wetland restoration.

23 MR. ETTINGER: You know generally
24 someone did, but --

1 MR. ZENZ: Somebody I don't have any
2 specifics.

3 MR. ETTINGER: -- you have no
4 knowledge?

5 HEARING OFFICER TIPSORD: Mr. Harley,
6 did you have a follow-up?

7 MR. HARLEY: I'm sorry to interrupt,
8 but the workshop that you were describing, have
9 any presentation materials from that workshop been
10 included in the record, to your knowledge, in these
11 proceedings?

12 DR. ZENZ: No.

13 MR. HARLEY: Would that be possible?

14 MR. ANDES: Well, will the -- let
15 me ask a question which might help clarify that.
16 Were those workshops part of developing the
17 integrated strategy for the District.

18 DR. ZENZ: Yes.

19 MR. ANDES: So is it your
20 understanding that the final report from that
21 integrated strategy will be available at some point?

22 DR. ZENZ: Correct.

23 MR. HARLEY: At some point?

24 MR. ANDES: That report, I believe,

1 will be available in the near future and will be
2 provided to the docket.

3 MR. HARLEY: And that will include
4 specific reference to the allocation of oxygen
5 demand from CSOs, dry weather flows from treatment
6 facilities, stagnant waters?

7 DR. ZENZ: Yes.

8 MR. HARLEY: Thank you.

9 MR. ETTINGER: Okay. I think I'm
10 down to eight. Are there problems caused by CSOs
11 in addition to their effect on dissolved oxygen
12 levels?

13 DR. ZENZ: I really don't feel like
14 I'm qualified to answer that question. I think
15 this is more for an aquatic biologist and not for
16 an engineer.

17 MR. ETTINGER: Okay. Well, have you
18 studied wastewater treatment of CSOs?

19 DR. ZENZ: Have I studied wastewater
20 treatment of CSOs? The answer is yes.

21 MR. ETTINGER: Okay. What are you
22 treating them for?

23 DR. ZENZ: Well, let me give some
24 background information. As part of the use

1 attainability analysis study, the IEPA asked the
2 District to perform a study of end of pipe CSO
3 treatment for certain portions of the Chicago Area
4 Waterway System. So we did look at this, but this
5 was designed, as I understand it, to look at
6 disinfecting -- end of pipe disinfection of certain
7 CSOs.

8 MR. ETTINGER: So you only looked at
9 CSOs from the point of view of disinfection? You
10 didn't look at them in terms of TSS or BOD or
11 anything else?

12 DR. ZENZ: As part of the process to
13 disinfect it, we felt it was -- you know, each of
14 these -- for an end of pipe CSO treatment system,
15 you would have to put in some kind of system to get
16 the water up to groundwater level to disinfect it.
17 So the CSOs are down below grade so it would have
18 to be pumped.

19 So we figured well, we're going
20 to pump it. We'll have to screen it to protect the
21 pumps. Then we put it fine screens downstream of
22 the pumps to remove any other additional screening
23 materials that would screw up or just mess up the
24 pumping system and the disinfection system.

1 Then we since we decided in the
2 study that the disinfection system would be UV
3 disinfection, which the District feels is the
4 future for disinfection, I'm sure you have heard
5 that enough times during the testimony, that we
6 would have to remove some solids to make the UV
7 disinfection system affective and not waste a lot
8 of money on UV disinfection because the solids are
9 too high and are coating up the bulbs and the rest
10 of it.

11 So we did have some solids
12 removed, but only about 30 percent solids removed
13 so still 70 percent of the organic load would still
14 go based on this study, but that would be followed
15 by UV disinfection.

16 MR. ETTINGER: Okay. So you're not --
17 although the aim of your study was disinfection, it
18 sounds to me like you did learn that there's a lot
19 of sediment in CSOs that has to be removed for it to
20 be disinfected?

21 DR. ZENZ: Absolutely.

22 MR. ANDES: And we have copies of
23 the report at issue to provide, which is entitled,
24 "Technical Memorandum 3WQ Study of End of Pipe

1 Combined Sewer Overflow CSO Treatment."

2 DR. ZENZ: For whatever reason, it
3 was not part of submittal.

4 MR. ANDES: Many other TMWQ documents
5 are in the record, but not this one.

6 HEARING OFFICER TIPSORD: If there
7 is no objection, we will mark the technical
8 memorandum 3WQ file as of 10/16/06 as Exhibit 464.
9 Seeing none, it's Exhibit 464.

10 (Document marked as
11 Hearing Exhibit No. 464
12 for identification,
13 5/18/11.)
14 (Hearing Exhibit No. 463
15 admitted as evidence.)

16 MR. ETTINGER: I did look at this at
17 some point, but I don't think I want to go too far
18 on that today. I think we've had a lot of fun here
19 this week already and we will all read the report
20 at our leisure.

21 My point, though, is in the course
22 of -- my question is in the course of preparing this
23 study, did you take a look at what was likely to be
24 in CSOs so that you could figure out how to screen

1 very many disinfection systems that could be used;
2 chlorination either with gaseous form or with the
3 liquid -- there is liquid chlorine that's available.
4 There is ozone at that could be used. It's not used
5 very extensively, because it could be used.

6 MR. ANDES: Did your memorandum on
7 the cause of disinfection lay out the reasons why
8 the District has selected UV as the preferred
9 option?

10 DR. ZENZ: Yes. In my previous
11 testimony and reports that we gave to the Board,
12 as typical of an engineering firm, before we
13 selected UV disinfection as the method of choice,
14 we did look at other alternatives and I just
15 mentioned a few and I may have forgotten some
16 of the ones we looked at. I haven't looked at
17 that report in a while.

18 MR. HARLEY: Are you aware of any
19 CSOs where the District is presently doing
20 CSO-specific disinfections?

21 DR. ZENZ: No. I'm not aware of any.

22 MR. HARLEY: Are you aware of the fact
23 that for the Calumet wastewater treatment plant
24 draft permit issued by the Illinois EPA for public

1 comment, it includes CSO-specific disinfection for
2 two CSOs within the Calumet River system?

3 DR. ZENZ: I did not know that.

4 MR. HARLEY: Thank you.

5 MR. ETTINGER: And I think you said
6 this, but you have never looked at treating CSOs
7 for any purpose other than achieving disinfection?

8 DR. ZENZ: Yes. In my career, that's
9 the only thing I've ever -- in my career, that's the
10 only thing I've looked at and that would that be
11 study.

12 MR. ETTINGER: So you never looked at
13 treating CSOs to take out nutrients or turbidity for
14 anything like that?

15 DR. ZENZ: No.

16 MR. ANDES: What would be some of the
17 challenges involved in treating specific CSOs
18 outfalls to deal with nutrients or DO?

19 DR. ZENZ: Well, I can only tell
20 you when we -- and Jennifer already testified to
21 this affect. There were numerous CSOs, which we
22 just could not find land in the vicinity of the
23 CSO where we could put a treatment system.

24 Literally any -- for example, part of the study

1 area was the Chicago River, which runs right through
2 the downtown area. Well, there really was no place
3 to put a CSO treatment system there.

4 MR. ETTINGER: What about the post
5 office?

6 DR. ZENZ: I mean, no practical way.
7 You would literally have to -- you know, I mean, it
8 just -- you can do anything if you have enough money
9 and you want to buy a multi-story building and move
10 roads around, but that's a very difficult problem.
11 The CSO is where it is. It's right at this
12 particular spot.

13 So you've got to get, you know,
14 some kind of a system to get it up to ground level
15 and treat it. I suppose you could come up with a
16 system where you do it underground in some tunneled
17 area, but I mean we're getting into areas where it's
18 coming a little silly, but anyway, that would be one
19 of the biggest challenges, just locating them in a
20 spot where you could buy the land and getting the
21 land condemned and so forth. It would be a
22 nightmare.

23 MR. ETTINGER: And unlike -- I forget
24 whether it was Dr. Bell or Mr. Bell, but you have

1 not been involved in building wetlands for treatment
2 of CSOs?

3 DR. ZENZ: Not in my career, no.

4 MR. ETTINGER: My next to pre-filed
5 questions refer to reports that I must have thought
6 were fascinating at the time. Do you have copies
7 of them that you wanted to introduce or either of
8 them?

9 MR. ANDES: We didn't see a reason to
10 introduce them. We thought you might to introduce
11 them. Not unless you do. The second one, we don't
12 even know what you're refer to.

13 MR. ETTINGER: Then you know what, I'm
14 drop those questions. The second one may be a typo
15 from -- as far as the date goes with regard to --

16 MR. ANDES: We could not locate any
17 document with that name.

18 MR. ETTINGER: Okay. And the first
19 one, I'll have to find it in my files. If I find
20 it fascinating again, you will probably see it in
21 the final comments, but I doubt it.

22 MR. RAO: As far as No. 11, there is a
23 document, "Development of a Framework for an
24 Integrated Water Quality Strategy for Chicago Area

1 Waterway." Is that in the record?

2 MR. ANDES: I don't believe it is.

3 We can certainly provide it for the record. As I
4 indicated earlier, the actual final report from the
5 "Integrated Water Quality Strategy for Chicago Area
6 Waterway" will be available at some point in the
7 near future.

8 MR. RAO: Okay. And that will
9 summarize what the strategy is all about?

10 MR. ANDES: Yes.

11 MR. RAO: Okay.

12 DR. ZENZ: Just for your information,
13 all that document is, the one that Albert is
14 referring to, is really a scope of work for the
15 study report that will eventually come out. That's
16 all it is. It really isn't any -- there really
17 isn't any information. It just says we're going to
18 begin with a long list. We'll go through a short
19 list. We'll develop a model. I mean, it's all the
20 things we've talk about. It's jut a scope of work.
21 It might be interesting to you, but there's no --
22 there's not conclusions. There's no costs. There's
23 no -- there's nothing.

24 MR. RAO: We heard you mention. We

1 were not aware of this document. So I just wanted
2 to make sure.

3 MS LIU: Could you give us a little
4 idea of what the integrated strategy is for? Is it
5 for aquatic life or is it for recreation or is it
6 for both or is it for other things as well?

7 DR. ZENZ: It really is just a
8 refinement of what my testimony is here. The --

9 MS. LIU: I see.

10 DR. ZENZ: -- objective is come up
11 with a more refined cost estimate.

12 MR. ANDES: For dissolved oxygen
13 compliance?

14 DR. ZENZ: That's correct.

15 MR. RAO: Thank you.

16 MR. ETTINGER: Question 13, are you
17 familiar with MWRD-supported efforts to develop
18 treatment wetlands for CSO or nutrient pollution?

19 DR. ZENZ: I'm not. Sorry.

20 MR. ETTINGER: Have you ever heard
21 of a proposal to create wetlands in the Lake Calumet
22 area as a way of addressing nutrients?

23 DR. ZENZ: I've heard about it, but
24 my knowledge is strictly, you know, from newspapers

1 an other places. I don't have enough knowledge to
2 give you any good information.

3 MR. ETTINGER: Okay. I'm going to
4 dump 16 and 17. I think -- where is this. There's
5 not a page here because my copy is not paginated
6 either, but below Table 6 of the document that I
7 have and then behind the word Table 6, it says,
8 "The wet weather provision would not be applied
9 during a wet weather event when DO levels were
10 greater than or equal to the minimum DO criteria."
11 What was meant by that?

12 HEARING OFFICER TIPSORD: And for the
13 record, what you were referring to was his pre-filed
14 testimony?

15 MR. ETTINGER: I'm referring -- I'm
16 sorry. I'm referring to his pre-filed testimony.
17 Did we ever mark that as an exhibit?

18 HEARING OFFICER TIPSORD: Yes. It was
19 Exhibit 463.

20 MR. ETTINGER: I'm referring to the
21 third to last page of your pre-filed testimony.

22 MR. ANDES: Table 6.

23 DR. ZENZ: Yes. I see that sentence
24 and it's just simply as what other District

1 witnesses have explained, which I thought pretty
2 well, which is that during -- once these trigger
3 events take place and the duration of wet weather
4 exemption is two days, four days or six days as
5 shown in Table 6, there just wouldn't be any
6 dissolved oxygen standard during that period of
7 time.

8 MS. WILLIAMS: I just want to clarify
9 something. When you say, "I think other District
10 witnesses have already explained well already,"
11 which witnesses are you referring to?

12 DR. ZENZ: I thought Jennifer did a
13 pretty good job yesterday talking about this wet
14 weather provision.

15 MR. ANDES: The particular sentence at
16 issue --

17 MR. ETTINGER: My sentence is a
18 little more confusing than that.

19 MR. ANDES: Let me ask you this. The
20 sentence that says the wet weather provision would
21 not be applied when the DO level was greater than or
22 equal to --

23 DR. ZENZ: Oh, I see. Yes.

24 MR. ANDES: Does that mean that if

1 the DO levels meet the criteria or were better,
2 that the wet weather provision doesn't apply during
3 those circumstances?

4 DR. ZENZ: That's correct.

5 MR. ANDES: So if the DO is equal
6 to or better than the minimum DO criteria, then,
7 the wet weather provision would not apply, the
8 minimum DO criteria would apply and they would be
9 met; is that true.

10 DR. ZENZ: I was answering another
11 question. I apologize.

12 MR. ETTINGER: And I guess I was
13 confused by that because obviously if you're --
14 well, it seems if you're meeting the criteria,
15 you're meeting the criteria, right?

16 MR. ANDES: That's the intent.

17 MR. ETTINGER: Is that what you're
18 about to say there?

19 DR. ZENZ: That's correct.

20 MR. ETTINGER: So what is the import
21 of this sentence and how did that lead us here.

22 DR. ZENZ: It was my attempt to try to
23 explain the District's proposed standard. If I've
24 done a poor job, I apologize.

1 MR. ETTINGER: Well, I was just trying
2 to understand how this related to how you had to ran
3 aerators or something like that.

4 MR. ANDES: Is the intent to say
5 that during those times, there is no intent to
6 exempt the District from meeting the DO criteria?

7 DR. ZENZ: Correct.

8 MR. ANDES: Okay.

9 MR. ETTINGER: So if you're meeting
10 it, you don't need to be exempted from it?

11 MR. ANDES: Right.

12 DR. ZENZ: Right.

13 MR. ETTINGER: Okay. That was --
14 okay. It was so obvious to me, it was confusing.
15 With that, I conclude.

16 HEARING OFFICER TIPSORD: Are there
17 any other questions for Dr. Zenz?

18 All right. Let's go off the
19 record for just one movement.

20 (Whereupon, a discussion
21 was had off the record.)

22 MR. ANDES: Can I go back on the
23 record for just one second? We just realized there
24 was a question the Illinois EPA had asked Dr. Zenz.

1 He has located the information to answer the
2 question. So we thought we would conclude with
3 that.

4 DR. ZENZ: The question is what
5 would be the schedule for pilot studies designed
6 and construction required to meet the District's
7 proposed standard.

8 We found the document and I
9 didn't want to trust my memory, but I'm saying the
10 pilot full scale studies would take two years,
11 design would take two years and construction would
12 take two years for a total of six years as opposed
13 to the 28 stations and the three flow augmentation
14 was eight and a half years.

15 MS. LIU: Does that schedule
16 incorporate time for modeling or would modeling be
17 in addition?

18 DR. ZENZ: It incorporates, yes.

19 MR. ETTINGER: Let me just ask this.
20 The two stations that the District proposes that it
21 would build to meet its schedule, would those also
22 be built to meet the IEPA proposed standards?

23 DR. ZENZ: I don't think so. I think
24 they are in different locations. I'm almost

1 positive. That's an interesting question.

2 MR. ETTINGER: I may one fair summary
3 and one interesting question. I'm doing really
4 well.

5 HEARING OFFICER TIPSORD: Well, you
6 can go home.

7 DR. ZENZ: Oh, boy. We don't have
8 the mile markers. These are given in, like, mile
9 markers.

10 MR. ANDES: Dr. Zenz, if you look at
11 table --

12 DR. ZENZ: Yes, yes, yes. Here we go.
13 Yes.

14 MR. ANDES: Let me clarify this. On
15 Table 7, these two aeration stations, those are on
16 the south branch of the Chicago River?

17 DR. ZENZ: Correct.

18 MR. ANDES: One and a half miles
19 downstream of Jackson Boulevard and at Throop
20 Street, correct?

21 DR. ZENZ: Correct.

22 MR. ANDES: Okay. And on Table 1
23 here, it lists the aeration stations needed to meet
24 the IEPA proposal. There are four south branch

1 stations?

2 DR. ZENZ: Correct.

3 MR. ANDES: Are two of them the same
4 ones?

5 DR. ZENZ: Well, one is on Throop
6 Street and the other one is on -- so one is
7 identical and the other one is 1.5 miles downstream
8 of Jackson Boulevard.

9 MR. ANDES: That's not shown exact
10 same location as Table 1?

11 DR. ZENZ: Not the same exact
12 location.

13 DR. ZENZ: One is and one isn't.

14 MR. ETTINGER: Okay. Thank you.

15 HEARING OFFICER TIPSORD: Anything
16 else for Dr. Zenz?

17 As I indicated while we were
18 off the record, the District's final witness,
19 Adrienne Nemura, is ill and not able to be with
20 us today. We are going to continue this hearing
21 on the record until noon, May 26th. If Ms. Nemura
22 is not available on that date, I will issue a
23 hearing officer order canceling that continuation
24 so we will not have to meet on May 26th if she is

1 not available.

2 I also will be doing a hearing
3 officer order asking for people to let me know
4 their availability for a prehearing conference to
5 start looking at scheduling additional hearings and
6 start looking at moving on to Subdocket D in this
7 proceeding.

8 MS. WILLIAMS: Can you tell us what
9 dates you are looking at for the prehearing
10 conference?

11 HEARING OFFICER TIPSORD: Yes. I'm
12 looking at May 26, May 27th and May 31st. If we
13 do not have a hearing on May 26th and we were to do
14 a prehearing conference, it would have to be in the
15 afternoon. The Board has a session in the morning.
16 But will hopefully get those hearing officer orders
17 out as soon as I hear from Mr. Andes.

18 MR. ANDES: Yes. One other question;
19 there's a pending motion to stay as to Subdocket A.

20 HEARING OFFICER TIPSORD: There is?

21 MR. ANDES: And I assume that parties
22 will have an opportunity to respond to that before
23 any decisions?

24 HEARING OFFICER TIPSORD: Their motion

1 is asking that the Board not consider a second
2 notice in Subdocket at tomorrow's Board meeting
3 and the Board's agenda is out for tomorrow's Board
4 meeting. The Board's agenda has R08-9 Subdocket A
5 on pending decisions. So I personally think that
6 moots the motion. I mean, the motion was only to
7 hold off on May 19th so the Board's agenda had
8 actually -- the agenda came out about the same time
9 we got the motion. The agenda has it on pending
10 decisions and so it is not up for the Board's
11 consideration tomorrow.

12 MR. ANDES: Thank you.

13 HEARING OFFICER TIPSORD: So that
14 moots the motion. Like I said, although it looked
15 like it was for a stay, it really was only for the
16 May 19th meeting.


17 MR. ANDES: Thank you for the
18 clarification.

19 HEARING OFFICER TIPSORD: Sure.
20 Anything else? All right. Look for hearing
21 officer orders. Thank you all. Again, it's been a
22 pleasure.

23 (Whereupon, the hearing
24 was adjourned sine die.)

1 STATE OF ILLINOIS)
2) SS.
3 COUNTY OF C O O K)
4
5

6 I, LORI ANN ASAUSKAS, CSR, RPR,
7 do hereby state that I am a court reporter doing
8 business in the City of Chicago, County of Cook,
9 and State of Illinois; that I reported by means
10 of machine shorthand the proceedings held in the
11 foregoing cause, and that the foregoing is a true
12 and correct transcript of my shorthand notes so
13 taken as aforesaid.


14
15 
16

17 Lori Ann Asauskas, CSR, RPR.

18 Notary Public, Cook County, Illinois
19

20 SUBSCRIBED AND SWORN TO
21 before me this 18th day
22 of June, A.D., 2011.

23 
24 Notary Public



A					
abandoned 82:2	6:6 acknowled... 6:7	admitted 4:9 7:18 89:15	71:6	50:7 58:17 64:9,17	19:7 21:24 25:15,19
ability 55:18	Acting 5:11	Adrienne 103:19	aforesaid 106:13	70:14 71:5 71:11 72:4	27:11,14 35:3,16,19
able 6:12 20:8 61:7 103:19	active 41:13	AECOM 8:23 36:4 40:2 44:18	after 6:7 20:9 47:23 54:11 67:13,14,17 73:16 79:6	89:19 92:20 98:10,10	36:2 38:2 45:22 46:16 46:21 49:16
about 12:1,2 15:19 18:11 24:15 27:7 28:17 29:10 29:12,13,17 34:16,17 36:13 42:18 60:16 65:18 65:19,20,21 66:2 72:18 74:3 75:16 78:5,17 81:13 83:6 83:7 84:22 88:12 90:5 93:4 95:9 95:20 96:23 98:13 99:18 105:8	actual 23:24 42:6,7 44:8 95:4	aerate 81:18	80:3,11	alternative 10:15 13:20 57:9 80:18 83:24	50:1 54:2 54:24 55:3 55:6 56:11 56:16 57:21 58:4 61:16 62:15 64:8 64:12,15 67:15,19 70:10,15 71:15,20,23 72:16 74:21 76:9,15
above 14:14 14:18 58:18 72:6	actually 13:24 18:15 19:14 22:24 29:3 32:4 32:21 38:4 47:3,11 61:4 62:7 68:7 73:23 81:17 105:8	aerated 22:18 51:7	afternoon 104:15	alternatives 17:16 51:14 51:15,16 80:24 81:1 90:23 91:14	77:12 82:18 82:20 84:11 85:14,19,24 88:22 89:4 91:6 92:16 94:9,16 95:2,10 96:12 97:22 98:15,19,24 99:5,16 100:4,8,11 100:22 102:10,14 102:18,22 103:3,9 104:17,18 104:21 105:12,17
absolutely 43:5 65:9 71:9 72:22 88:21	add 76:15 81:23	aeration 8:19 9:3,7 10:7 13:18 14:23 15:16 18:13 19:23 23:19 24:1,7,7 27:23 28:16 28:17,21 29:5,12 30:6 31:22 32:15,22 34:16,17 35:18 38:13 38:22 42:11 43:22 51:4 51:8,10 53:5,5,8 54:17 55:4 59:4,11 64:10 65:1 66:8 67:12 69:21 70:3 70:11 71:17 72:18 77:20 79:17,23 102:15,23	agenda 105:3 105:4,7,8,9	although 88:17 105:14	amount 77:19 78:7
absolve 20:14	added 52:6	aerators 51:18 52:13 53:14 100:3	ago 10:12	always 28:19	amendme... 1:10 5:7
accomplish 58:10	adding 21:16	aerobic 18:17 20:14	agree 36:5 44:5 54:5 59:3	Ammonia 18:18,22 19:11,24 20:12,15 21:16	amounts 73:17
according 39:14 40:9	addition 16:12 30:13 53:8 79:22 86:11 101:17	affect 18:11 18:20 61:22 77:18 78:19 92:21	ahead 14:11 58:18	Amad 2:18 5:18	Analyses 25:23
accordingly 79:9	additional 25:6 29:22 30:8,11 38:11,17,20 40:8,18,24 41:1 42:10 43:21,23 44:1,21 47:18,20 48:24 50:15 53:7 64:10 71:17 72:5 77:19 87:22 104:5	affective 88:7 90:10	air 12:10,12 12:14,17 19:20 52:10 53:14	analysis 25:20 38:23 44:16 54:24 56:2 57:22 58:4 82:18 82:19,21 87:1	Andrea 2:15 5:16
account 59:5 62:18	address 80:10 90:1	affects 21:3	Albert 3:3 79:3 95:13	Analyses 56:2 57:22 58:4 82:18 82:19,21 87:1	Ann 1:17 106:6,17
accumulate 16:18	addresses 43:8		Alisa 2:19 5:14 17:24	Analyses 87:1	annual 15:6 24:5
achieving 34:1 70:23 92:7	addressing 96:22		allocation 86:4	analyze 15:11 37:3	another 5:20 13:11 17:1 29:14 45:6 58:18 99:10
acknowledge	adjourned 105:24		almost 52:9 101:24	Andes 3:4 7:7 8:1 11:8 17:20 18:2	answer 11:5 14:20 15:3
	Adm 1:11 5:8		already 40:15 49:6		

15:13 17:13	5:3	assuming	B	67:6	5:13,15,15
18:8 20:6	appreciate	42:2,5	B 4:8 10:8	behave 36:8	6:15,19,21
21:5,11	77:2	assumption	74:20	behind 97:7	13:23,23
24:16 33:5	approaches	60:19 76:2	back 19:20	being 20:12	17:21,24
33:5 42:13	79:15 80:19	astatic 31:18	23:4 24:14	20:15 35:7	41:9 46:10
42:13,21	approved	33:3	29:8,16,18	36:18 45:21	48:10,17
47:8 58:15	10:14	attached 39:3	44:19 51:22	50:2	49:20 50:19
61:1 69:12	approximate	attachments	53:3 66:12	believe 11:15	53:22 54:3
75:19,22	74:18	7:20	68:8 74:17	11:23 59:2	65:16 68:23
78:1 80:15	aquatic	attainability	79:2 80:17	63:15 76:6	73:2 91:11
86:14,20	17:19 86:15	87:1	100:22	77:12 85:24	104:15
101:1	96:5	attempt	background	95:2	105:1,2,3
answered	area 1:8 5:6	49:12,13,15	86:24	Bell 93:24,24	Board's 6:16
17:18 38:7	8:20 20:4	50:5 99:22	bacteria 17:9	below 32:3	44:5 105:3
45:23	21:1 39:15	attending	20:20 41:12	52:19 87:17	105:4,7,10
answering	42:19 58:20	5:16	barge 53:4	97:6	BOD 13:5,9
99:10	62:5 69:8	attributes	base 48:24	best 30:13	17:11 77:17
answers	80:21 87:3	74:3	based 7:23	62:9	87:10
48:12 59:3	93:1,2,17	augmentati...	12:24 23:17	better 17:18	body 81:16
anticipate	94:24 95:5	30:6 40:17	49:16 53:17	47:13 99:1	both 16:5
59:12	96:22	43:22 51:7	53:19 56:2	99:6	43:10,11
anybody	areas 62:19	72:19 74:12	57:22 59:2	between	96:6
20:3 60:18	84:11,12	75:1,3,11	61:9 68:2	13:16 22:10	bother 45:9
anyone 6:3	93:17	75:16 78:7	72:3 74:6	30:22	bottom 12:9
77:10	around 30:22	101:13	83:16 88:14	beyond 38:14	20:18,22
anything	93:10	automatica...	baseline 50:5	bias 6:18	46:2 52:20
41:7 57:11	Asauskas	36:7	basic 19:10	big 69:22	52:21 76:16
70:7 72:24	1:17 106:6	availability	56:18	83:23 84:2	Boulevard
78:23 87:11	106:17	104:4	basically	84:4	102:19
92:14 93:8	asked 6:15	available	16:3 18:12	biggest 93:19	103:8
103:15	8:23 18:10	32:7 85:21	18:19 35:13	biochemical	Box 2:22
105:20	24:15 34:12	86:1 91:3	41:14 60:22	77:17	boxes 12:12
anyway	65:7 76:4	95:6 103:22	66:6	biologist	boy 102:7
39:20 50:3	78:5,17	104:1	basis 11:21	17:19 86:15	branch 54:16
93:18	87:1 100:24	Avenue 2:21	49:7	bit 23:10	54:16 57:7
anywhere	asking 29:16	29:2 31:23	beat 52:15	24:14 63:1	102:16,24
57:14	46:16,19	32:13,14	before 1:16	Blankenship	break 62:24
apart 60:19	58:13 82:23	38:13,21	6:8 29:18	2:16 5:15	79:2,7
apologize 8:7	83:5 104:3	40:22,22	39:2 42:4	block 81:17	breaking
19:6 73:1	105:1	42:11 50:9	55:1 56:14	blower 12:9	18:22 19:24
73:20 76:18	asks 18:1	avoid 59:2	65:15 66:17	12:10 32:17	bring 57:24
99:11,24	assignment	aware 79:14	68:4 84:5	32:18 33:16	73:1
appear 30:21	62:1 68:5	91:18,21,22	91:12	33:17 51:6	brings 52:19
83:16,23	assume 25:1	96:1	104:22	blowers	brought
applied 97:8	48:22 80:5	away 67:7	106:20	32:18 58:9	72:15
98:21	104:21	awfully 22:4	began 67:1	Board 1:2	bubbles
apply 73:15	assumed 25:4	A.D 1:21	begin 6:8	2:3,11,13	12:13,13
99:2,7,8	61:10 68:17	106:21	68:1 95:18	2:14,15,16	Bubbly 75:12
appointed	76:22	a.m 1:21	beginning	2:17 5:3,12	75:16 76:3

76:10,20	105:8	6:22 12:23	40:4,5	10:11 67:3	4:4 5:18
build 6:16	canal 12:1,9	17:21 21:12	91:13	67:5 69:2,6	31:13 75:23
101:21	51:20	73:2 78:4	choose 56:9	70:21 80:4	conclusions
building 93:9	canceling	95:3	circumstan...	completely	95:22
94:1	103:23	cetera 28:7,7	99:3	12:15 37:18	concrete
built 64:9	capable	47:14,14,14	City 106:8	completion	12:12
69:24,24	14:14	76:22	clarification	59:6,10	condemned
101:22	capacity	Chairman	105:18	61:6,10	93:21
bulbs 88:9	33:19	5:11	clarify 28:11	63:4,10	condition
Bullet 51:2	capital 50:8	challenge	28:15 40:6	67:10,13	47:21
burned 79:12	50:10 55:8	61:14 62:2	57:21 76:9	80:12	conditions
business	55:13,24	62:9	85:15 98:8	complex 34:2	18:16,20
106:8	64:16	challenges	102:14	34:7 58:14	20:19 37:17
buy 93:9,20	capping 81:2	92:17 93:19	clear 29:10	60:13 62:21	37:18 39:14
	81:23 83:8	chances	50:8 71:9	63:16,20	40:23 52:24
	care 80:2	58:19	clearly 37:14	68:5 76:21	59:15
C	career 92:8,9	change 57:8	clients 17:15	78:11	conduct
C 1:7 2:1 3:1	94:3	60:5 64:4,6	Club 6:1	compliance	47:16
5:9,20 11:7	Carrie 2:17	69:8 70:6	coating 88:9	34:1 45:3	conducted
74:20 106:3	5:12	78:4,9	Code 1:11	54:19 56:3	9:19
Cal 10:22	cascade 52:9	changed 50:3	5:8	58:1 96:13	conference
13:19,19	52:10,12	75:17	Combined	compliant	104:4,10,14
71:18,21	57:6	changes	89:1	45:2	confused
75:13	cascades 52:7	58:11	combines	complicated	99:13
calculate	case 24:2	channel	55:11	44:15	confusing
46:4 47:5	27:6 33:17	13:19 75:4	come 26:3	comply 38:22	98:18
calculated	cause 52:16	characteriz...	33:17 37:13	46:4	100:14
25:6	77:24 78:8	45:23	48:18 54:21	complying	conjunction
calculator	91:7 106:11	check 31:2	56:20 57:1	38:4 43:9	30:5
30:16,20	caused 75:15	chemical	57:1 61:8	43:13,17,18	consent 61:6
calibrate	79:16 86:10	81:5	67:9 75:23	44:6,8	consider
39:13	causing 53:7	chemistry	79:2 93:15	45:19 48:19	51:10 55:19
calibrated	caution	19:10	95:15 96:10	48:23	105:1
39:16	54:14	Chicago 1:8	comes 51:22	component	considerati...
call 53:23	CAWS 9:1	1:20 2:6 5:6	52:2 56:21	83:15,18	105:11
80:23	Center 1:20	8:15,20	coming 22:15	compressed	considered
Calumet 9:17	central 37:1	10:18 15:1	36:17 78:20	12:10 53:14	51:5,7 55:4
10:16 11:4	37:2,24	20:4 21:1	93:18	computer	76:21
13:2,17	centralized	39:15 42:19	comment	24:21 27:18	consist 34:13
14:5 22:11	36:12,16	57:5 58:20	11:9 17:10	37:2	construct
22:15,17,20	37:23	62:5 80:21	92:1	concentrati...	65:12
22:21 23:1	ceramic 12:8	87:3 93:1	comments	53:1	constructed
23:2 35:11	51:5,17	94:24 95:5	94:21	concept 82:8	24:8 35:6
66:19 69:7	53:11 55:8	102:16	comparativ...	49:17	71:3,4
70:3,4,16	55:14,20	106:8	45:21	conclude	constructing
70:20 91:23	56:9,20	chlorination	complete	100:15	17:16 72:18
92:2 96:21	certain 87:3	91:2	6:16 12:2	101:2	construction
Calumets	87:6	chlorine 91:3	20:8	conclusion	59:19 65:16
71:11	certainly	choice 39:24	completed		65:20 67:2
came 40:16					
56:23 74:10					

72:10 101:6	58:6 59:6	56:24 64:17	CSO-specific	39:21 55:22	design 8:18
101:11	61:19 64:14	95:22	91:20 92:1	60:15,21	9:5 10:1
consulting	64:18 72:1	County 1:18	CSR 1:17	63:18 88:1	33:9,10
67:1	74:1,2,9,22	106:3,8,18	106:6,17	decision 6:17	65:18 67:1
contain	74:23 75:5	couple 26:10	current	63:17 82:15	72:9 101:11
22:21 82:3	75:8 76:6	course 22:20	24:15 25:9	decisions	designed
contained	76:11 85:22	22:22 37:8	26:14 31:9	104:23	11:16 33:11
53:21	90:17 96:14	44:22 46:21	43:13,17	105:5,10	33:14 61:23
contains	99:4,19	51:23 53:15	44:6,14	declination	65:12 87:5
73:23	100:7	70:4 78:7	45:18	61:3	101:5
continuation	102:17,20	89:21,22	currently 9:1	decline 61:1	designing
103:23	102:21	court 6:11	31:9 48:23	decrease 60:4	17:16
continue	103:2	47:1 106:7	49:18	decree 61:6	detail 9:14
103:20	106:12	crashes 42:16		defeated 46:8	48:2
Continued	cost 8:23	43:3	D	definitely	detailed 48:7
3:1	34:4,6,10	create 96:21	D 4:1 14:11	80:1	determine
continuing	36:15 37:6	creating	35:23 104:6	degree 63:2	16:23 30:8
79:18 82:20	38:1 43:8	84:15	dam 57:8	delivers	34:9,11
continuously	43:13,16,18	Creek 75:12	Darn 72:15	12:10	47:17 48:4
47:10	43:23 44:6	75:16 76:3	data 11:13	demand	57:16
contractor	44:7,8,13	76:10,20	15:11 24:19	41:11,19	determined
40:2	44:14 45:11	criteria 8:18	27:7 37:3	77:17 80:22	38:20 43:12
contribute	45:16,19	9:6 10:1	39:9,12,13	81:4 83:15	43:21 47:24
18:6 43:3	47:18 48:1	97:10 99:1	42:6,7,19	83:18,18,22	54:11
control 1:2	48:2,4,6,6,8	99:6,8,14	49:17	84:9 86:5	determining
2:3,11	48:18,24	99:15 100:6	database	denitrificat...	44:7 66:14
13:23,23	49:7 50:8	CSO 27:2	42:2,3,6	18:15,22	78:9
32:16 36:12	50:11,14,16	43:3 59:10	date 94:15	19:19 20:21	develop 8:18
controlled	50:18 51:11	60:9 61:22	103:22	21:18	37:5 95:19
35:14	54:7,13,14	65:2 69:7	dates 61:10	denitrify	96:17
convert	55:8,9,22	69:22 70:22	104:9	19:13 20:19	developed
30:17,24	55:23,24	87:2,14	David 4:3	denitrifying	9:5
converted	56:10,22,23	89:1 90:20	5:23 7:3,10	18:12	developing
18:18	57:5,9,16	92:23 93:3	day 1:20 5:20	department	10:1 68:15
converting	57:18,22	93:11 96:18	6:20 21:23	9:19 35:23	85:16
18:17	58:5,8 59:5	CSOs 27:3	22:4,6	36:1	development
Cook 1:18	60:17,22,24	47:14 62:12	33:14	depend 73:17	9:4,19
106:8,18	64:12 68:15	63:3 65:2,3	106:20	depending	94:23
copies 88:22	70:23 71:6	69:11,14,17	days 6:21	20:17 32:6	device 52:14
94:6	74:13,18	78:5 79:16	24:11 30:23	deposits 81:3	devices 81:18
copy 7:6 97:5	79:19 96:11	80:1,11,11	33:14 73:18	Des 1:9 5:7	Devon 29:1
correct 10:5	costs 38:17	80:19 83:20	74:1,6,7,7,8	describe 9:13	32:14 38:12
13:6,15	43:11 44:18	84:4,8 86:5	98:4,4,4	22:9 80:19	38:21 40:7
19:11,21	46:4 50:9	86:10,18,20	deal 92:18	described	40:22 42:11
27:17 31:7	50:10,11	87:7,9,17	deals 35:19	63:9	Devon/We...
35:21 38:6	54:22,22	88:19 89:24	DEBORAH	describes	50:9
50:4 54:4	55:13,18	91:19 92:2	2:23	39:6	Dick 69:1
55:2,5 56:4	56:7,8,17	92:6,13,17	decide 64:6	describing	die 105:24
56:15 58:3	56:18,20,22	92:21 94:2	66:7	43:4 85:8	different
			decided		

5:16 12:15	73:19	48:3,23	20:24 21:24	26:11,16,18	74:23 75:5
18:16 28:4	discuss 68:19	50:17 53:6	35:7 46:11	26:20,20	75:8,12,18
28:4,5,6,6	discussing	54:18 55:21	46:13 50:2	27:6,13,17	76:1,5,11
32:8,14	84:6	56:14 63:2	54:14,24	28:13,19,24	76:16 77:7
36:1 52:8	discussion	66:14 74:9	56:12,13	29:15,21	77:14,15,22
72:10 76:1	66:1 68:20	74:11 76:20	62:23 65:23	30:19 31:1	78:18 79:18
81:1 101:24	100:20	76:23 78:18	66:17 67:14	31:6,12,20	80:5,8,13
differs 35:6	discussions	79:19,20,24	67:19,22	33:4,13	80:20 81:12
difficult	13:15 15:19	83:3 85:17	72:20 83:17	34:8 35:1	82:4,7,11
59:16 61:12	disinfect	87:2 88:3	99:24	35:12,17,21	82:13,16,19
61:12,24	87:13,16	90:5 91:8	doubt 40:5	36:4 37:15	83:1,3,7,13
62:1,22	90:20	91:19 97:24	94:21	38:6 39:1,2	84:4,5,12
68:5 93:10	disinfected	98:9 100:6	down 16:17	40:9,10,13	84:17,21
difficulties	88:20	101:20	18:22 19:24	40:15 41:5	85:12,18,22
83:13	disinfecting	District's	47:2 52:3	41:6,24	86:7,13,19
difficulty	87:6	24:3 43:9	52:18,20	42:1,17	86:23 87:12
82:16	disinfection	43:24 46:9	60:10 61:7	43:5,10,15	88:21 89:2
diffused	77:16 78:16	48:20 49:3	63:1,3	43:20 44:10	90:3,15,21
12:14,17	78:17,20	72:11 73:23	86:10 87:17	44:20 46:6	90:24 91:10
diffuser	87:6,9,24	74:4,5,13	downstream	46:12,14	91:21 92:3
55:14	88:2,3,4,7,8	74:24 75:2	27:21 87:21	47:7,9 49:5	92:8,15,19
diffusers	88:15,17	75:15,17,24	102:19	49:8,19,21	93:6,24
12:9,11	90:2,11,19	77:21 99:23	103:7	50:4 51:1	94:3 95:12
29:2 51:5	91:1,7,13	101:6	downtown	51:11 53:19	96:7,10,14
51:17,18	92:1,7	103:18	93:2	54:4,8,10	96:19,23
53:11 55:8	disinfections	diversions	Dr 4:3 6:18	55:2,5,7	97:23 98:12
55:20 56:10	91:20	60:3,4	7:3 8:3,4,5	56:4,6,17	98:23 99:4
56:20	disk 51:5	diverted	8:5,10 9:5,9	57:11,23	99:10,19,22
dimensional	dissolve 29:7	22:16	9:12,15,18	58:3,6,13	100:7,12,17
62:3	dissolved	Division 8:17	9:24 10:5,9	59:7,13	100:24
diplomatic	8:24 29:23	docket 5:9	10:20,22,24	61:11,15,19	101:4,18,23
44:11	31:24 35:13	86:2	11:5,12,17	61:20 62:17	102:7,10,12
direct 33:5	39:12,14	doctors 8:9	11:21 12:4	63:5,8,15	102:17,21
47:8	52:6 53:1	document	12:8,19,23	63:17 64:9	103:2,5,11
directed 47:4	61:9 68:1	7:13 13:14	13:3,6,8,11	64:11,14,18	103:13,16
directly	79:15 86:11	56:12 66:21	14:6,12,20	64:22,24	draft 91:24
32:17 35:17	96:12 98:6	89:10 94:17	15:3,18	65:9,14	drastic 81:13
62:18	District 8:15	94:23 95:13	16:7,13	66:3,10	drilled 52:18
discharge	8:18,19,22	96:1 97:6	17:3,12	68:3,11,17	drop 16:17
22:11	9:3 10:6	101:8	18:7,14	69:4,10,15	94:14
discharged	13:16,18,22	documented	19:14,17,21	69:17,19	dropping
18:5 20:12	15:6,19	84:3	20:1,10	70:4,8,13	19:4
20:15	17:5,7 21:8	documents	21:9,20	70:18 71:1	dry 27:11
discharges	21:12 27:7	10:13 89:4	22:12,19	71:13,16,19	37:18 39:22
22:22 26:23	36:5 40:3	doing 21:15	23:12,15,22	71:22 72:1	39:23 84:8
26:24 62:11	40:21 42:20	55:23 83:4	24:18 25:4	72:3,8,12	86:5
62:12,14,20	43:8 45:17	91:19 102:3	25:13,17,20	72:16,22	DUFLOW
83:20,21	46:17,22	104:2 106:7	25:21,22	73:5,12,20	62:3
discrepancy	47:4,12,20	done 15:12	26:3,5,7,8	74:8,15,19	dump 97:4

duration 73:18 98:3	electricity 50:13	47:19,20,24 49:1 50:13 50:15	84:23 85:3 86:9,17,21 87:8 88:16 89:16 90:12 92:5,12 93:4,23 94:4,13,18 96:16,20 97:3,15,20 98:17 99:12 99:17,20 100:1,9,13 101:19 102:2 103:14	example 36:19 45:1 59:17,21 63:17 92:24 except 34:20 Excuse 26:6 exempt 100:6 exempted 100:10 exemption 98:4 exercise 30:3 47:16 62:21 exhibit 4:10 4:11 6:3 7:11,11,12 7:14,17 89:8,9,11 89:14 97:17 97:19 exist 25:5 47:22 existing 8:19 9:3,6 10:7 11:3 14:13 14:15,17,18 15:1 24:20 24:22 25:1 29:17,22 30:11,12 31:14 34:16 35:12 38:12 38:13,17,21 39:14 40:13 41:8 42:1,3 42:18 44:19 44:22 45:8 45:11 46:4 49:9,11,15 49:17,23 50:12 60:23 64:3 70:23 71:11 72:4 expand 34:24 expect 66:9 73:6 expected 23:20 expertise	58:7 explain 26:18 35:4,6 45:14,15 73:19 75:14 99:23 explained 98:1,10 explains 55:3 express 6:17 extensive 34:19,22 extensively 91:5 extent 10:4 62:6 65:4 78:9 80:11 extra 30:22 extreme 13:18 extremely 59:15 62:22 83:24
<hr/> E <hr/>					<hr/> F <hr/>
E 2:1,1,13 3:1,1 4:1,8 12:20 each 6:11 19:4 24:1 27:15 32:1 32:8,15 33:16 35:19 39:11 73:16 87:13 earlier 11:24 24:14 95:4 early 10:11 22:4 82:15 easily 30:10 East 2:21 effect 86:11 effective 15:16 efficiency 15:17 effluence 59:22,22 effluent 1:7 5:5 13:9 22:21 effort 17:15 48:7 efforts 96:17 eight 65:21 66:6,6 67:7 72:21 86:10 101:14 either 32:10 41:6 48:19 49:2 77:15 77:20 91:2 94:7 97:6 eject 53:3	elevated 9:6 elevation 57:8 58:10 58:16,16,20 Eleven 24:9,9 eliminate 60:9 69:11 eliminates 59:10 eliminating 69:7 elimination 75:15 employed 8:14 end 54:7 87:2 87:6,14 88:24 engineer 30:15 51:13 67:1 86:16 engineering 15:22 58:14 91:12 enough 64:2 88:5 93:8 97:1 entered 6:3 entire 24:10 entitled 5:4 88:23 ENVIRON... 2:21 Environme... 8:16 9:2 14:4 EPA 10:14 13:16 15:7 46:10 48:19 66:18 69:13 79:20 91:24 100:24 equal 97:10 98:22 99:5 equipment 43:21,23 44:1,21	estimate 34:6 34:10 36:14 48:1,2,5,6,8 49:7 50:8 50:11,15,18 51:12 54:13 54:14 55:18 55:22 56:10 56:23 57:16 57:19 74:13 79:20 96:11 estimates 8:23 48:7 48:24 57:5 63:2 68:16 estimating 38:16 56:22 et 28:7,7 47:14,14,14 76:22 Ettinger 3:3 11:23 12:6 12:16 18:10 18:21 19:2 19:6,9,16 19:18,22 21:13,22 22:2,5 28:11,14,23 29:9 31:16 32:21 42:14 42:23 46:2 46:7,15,19 46:23 48:15 61:4,13 62:24 63:7 66:5 67:8 67:18,21 70:2,6,9 79:4,11,12 79:24 80:7 80:9,16 81:10 82:1 82:5,9,12 82:22 83:2 84:2,14,19	evaluation 53:20 even 20:17 32:22 42:12 48:12 60:2 68:19 81:7 94:12 event 36:19 60:7 62:13 73:16 97:9 events 27:2,2 28:6 65:2 69:7,22 70:22 98:3 eventually 95:15 ever 14:5 52:2,8 61:3 92:9 96:20 97:17 every 33:15 60:19 everybody 37:12 54:15 55:12 60:19 83:10 everyone 5:2 everything 74:10 evidence 7:18 89:15 exact 103:9 103:11 exactly 61:17	face 19:4 facilities 17:17 33:19 34:3 65:19 86:6 facility 14:5 22:11 33:13 51:6 fact 45:17 69:5,12 72:4 91:22 factored 43:18 fair 21:20,23 57:22 102:2 fairly 24:12 34:19 44:15 48:11 58:13 63:16 fall 9:21 16:16 41:17 51:24 52:1 familiar 11:13 17:13 20:24 96:17	

far 5:12 67:6 71:1 74:10 89:17 94:15 94:22	94:19,19 finding 72:13 fine 23:12 87:21	27:4,16 62:20 67:17 90:6 93:21	84:9 85:9 85:20 86:5 86:5 87:9 90:20 94:15 95:4 96:24 100:6,10 104:17	Gentlemen 18:24 gets 60:1 getting 48:12 93:17,20 giant 12:11 Girard 2:14 5:11 6:18 6:19 48:10 48:17 49:20 50:19	38:8 48:8,9 54:21 56:18 59:18 60:16 61:21 64:23 65:11 66:8 67:24 68:4 72:23 73:5 73:10 79:11 80:3 83:12 87:19 90:10 95:17 97:3 103:20
fascinating 94:6,20	firm 91:12 first 19:23 27:20 34:13	forward 67:2 69:9 found 15:15 37:15 101:8	100:6,10 104:17 front 41:7 72:24	Girard 2:14 5:11 6:18 6:19 48:10 48:17 49:20 50:19	67:24 68:4 72:23 73:5 73:10 79:11 80:3 83:12 87:19 90:10 95:17 97:3 103:20
faster 72:21	61:17 73:21 81:2 94:18	four 24:11 43:22 48:6 53:10,15 54:11,16,23 55:7 67:3 98:4 102:24	full 9:20 33:19 65:17 72:9 74:6,6 81:15 101:10	give 16:4 47:7 53:24 55:10 58:14 59:17 63:16 66:3 69:12 71:14 80:20 86:23 96:3 97:2	good 5:1 6:19 8:2,3 13:24 32:10 39:12 39:19,21 40:5 64:2 66:24 97:2 98:13
February 7:10	51:11 54:13 54:19 55:18	Framework 94:23	fun 32:24 89:18	given 33:12 40:22 63:3 63:8 68:14 102:8	grade 87:17 grams 63:24 Grand 2:21 great 83:22 greater 8:15 97:10 98:21
feel 32:10 55:22 86:13	five 9:12,16 10:2 23:4 48:4 50:10	frankly 39:11 82:13	furnish 73:2 further 20:17 54:10 78:23 78:24 83:12	giving 13:13 21:4 39:19 54:21 56:6 56:7	ground 93:14 groundwater 87:16
feels 88:3	five-foot 16:17	Fredric 3:4	future 17:7 45:20 59:15 60:5,7 62:12 63:10 86:1 88:4 95:7	go 12:20 14:11 19:19 23:9 24:14 29:15,18 35:4 36:10 42:24 44:18 44:19 48:8 54:10 63:1 66:9,15 68:7 71:1 74:16 79:14 80:17 88:14 89:17 95:18 100:18,22 102:6,12	ground 93:14 groundwater 87:16
feet 23:3,4 52:21 58:18	flip 75:20 floor 40:17 flow 30:6 43:22 51:7 51:8 52:9 74:12 75:1 75:3,10,16 78:7 101:13	free 9:21 16:16 22:5 51:24 52:1 57:6 frequently 63:12,13 Friends 57:4	fun 32:24 89:18	goes 23:3 94:15	guess 33:4 60:24 75:18 99:12 guy 42:17 guys 45:8 54:20
felt 39:24 53:6 87:13	flows 52:9,11 84:9 86:5	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	framework 94:23	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	half 65:20,22 66:7 67:7 72:21 101:14 102:18
few 91:15	folks 36:20 followed 88:14	friends 57:4	frankly 39:11 82:13	goes 23:3 94:15	hand 6:6 handle 47:14 happen 20:8 21:6 37:22 42:23
figure 36:18 37:11 44:18 44:20 45:4 45:10 49:13 60:14 61:21 62:8,10,11 62:13 89:24	follow-up 6:4 12:22 57:3 71:8,15 76:13 85:6	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
figured 87:19 90:7,8	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
figures 59:5 69:8	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
figuring 45:9 61:24	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
file 89:8	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
filed 7:10	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
files 94:19	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
filing 54:3	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
film 52:11	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
filter 16:12	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
filters 13:3 14:5	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
final 43:18 85:20 94:21 95:4 103:18	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
finalized 68:9	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening
find 10:13 13:21 25:14 25:18 26:1 30:10 39:2 47:13 53:23 74:18 92:22	Force 14:4 forced 51:8 forego 66:18 foregoing 106:11,11 forget 19:1 30:5 34:15 93:23	from 1:15 5:14 9:21 11:15 12:15 13:9 15:14 15:20,20,21 16:5 18:12 19:19 22:15 22:17,20,21 22:23 24:5 26:22,24 27:1,18 33:10 35:7 42:7,7,7 44:5,7,13 52:10 57:1 57:1 59:22 61:17,20 62:11,12,14 62:18,20 64:22 65:4 66:6,7 67:5 67:7 74:9 76:23 77:17 77:24 83:21	frankly 39:11 82:13	going 5:22 17:12 20:17 23:9,13 30:17 34:21 35:9 36:20	happened 66:13 happening

20:21 44:23	58:23 59:8	66:24	103:7	include 29:19	31:10
happens	68:6 69:15	hiring 46:17	identificati...	38:1 45:17	initial 54:3
27:20 64:1	70:19 77:1	46:22	7:15 89:12	86:3	56:1
happy 45:15	77:9 78:13	historic 6:20	IEPA 5:24	included	inject 52:22
hard 8:8	78:22 79:1	6:22	24:2,4	34:5 37:7	inlet 81:14,17
Harley 14:2	79:10 85:5	history 66:11	29:24 38:23	44:14 50:9	inlets 82:11
14:3,3,7	89:6,11,14	hold 105:7	43:10 44:2	50:10,11,14	82:14,17
16:10,11,24	90:18 97:12	home 102:6	47:18,19	51:17 53:10	83:4,6
18:3,4,9	97:18	honest 20:23	53:22 56:12	53:13 85:10	84:15
22:8,9,14	100:16	81:21	74:21 87:1	includes 60:7	input 26:21
23:6 33:7,8	102:5	honestly 62:2	101:22	92:1	inputs 26:23
33:21 43:1	103:15,20	hope 55:12	102:24	incorporate	28:4 62:10
43:2,6 59:8	103:23	hopefully	IEPA's 46:8	101:16	insignificant
59:9 61:2	104:2,11,13	13:14 19:20	49:2	incorporates	16:22
68:6,7,14	104:16,20	104:16	ill 1:10 5:7	101:18	install 10:7
68:22 69:5	104:24	hours 23:24	103:19	increase	installed
70:19,20	105:13,19	24:5,6,6,9	Illinois 1:2	63:18	10:18 12:4
71:8 72:2,7	105:20,23	24:10 25:6	1:19,20 2:3	increased	13:2 14:5
78:13,14	hearings	25:9 26:13	2:6,11,21	58:11	51:5
85:5,7,13	5:20 6:22	26:14 27:15	2:22 9:2	increasing	installing
85:23 86:3	104:5	27:24 29:17	20:12 21:2	72:19	10:15 13:18
86:8 90:18	heck 36:20	29:22 30:8	48:19 91:24	incurred	57:6
90:19,22	54:20	30:8,17,24	100:24	64:17	integrated
91:18,22	height 23:4	31:14 33:11	106:1,9,18	indicated	85:17,21
92:4	held 79:9	33:14 38:11	immediate	29:21 65:16	94:24 95:5
hate 78:2	106:10	40:8,19,19	5:10,14	69:19 84:7	96:4
head 51:23	help 6:16 9:4	40:24 41:2	immediately	95:4 103:17	intended
52:21	19:23 37:10	41:4,8	67:16	indicates	6:15 11:10
hear 5:22	68:21 85:15	42:10 49:17	impact 17:8	57:24	11:16
19:5 104:17	helped 8:18	49:23 63:19	17:10	industry	intent 99:16
heard 12:2	helpful 17:23	63:23,23	impacting	66:24	100:4,5
84:21 88:4	41:9 66:10	64:4,7,16	17:5	inflow 72:19	interesting
95:24 96:20	helping	64:21 72:5	implemented	influence	21:10 60:13
96:23	21:18	73:16,24,24	57:20	27:2	95:21 102:1
hearing 1:16	helps 50:20	huge 62:1	import 99:20	information	102:3
2:8 4:3,4,10	her 11:24	human 36:18	important	15:8 17:8	interrupt
4:11 5:1,4	29:16	hydrostatic	8:10	17:20 25:16	85:7
5:17,18,19	high 24:6	52:21	impossible	25:23 26:21	introduce
7:1,5,8,14	41:18,19	hypothetic...	58:22	26:22 41:6	94:7,10,10
7:17,21,23	51:9 88:9	59:9 61:5	improve	41:20 68:13	Introduction
8:6 14:2,8	highest 53:11	67:8	47:13	68:15,20	4:3
16:9 18:3	55:21,23	<hr/>	improved	71:14 75:22	involved
18:24 19:3	him 28:7	I	45:20	86:24 90:5	68:12,12
22:3,7 23:7	39:19 46:16	idea 13:24	improveme...	95:12,17	80:14,17
26:6,9,12	46:18,20,22	16:5,7 37:6	70:16	97:2 101:1	92:17 94:1
26:17,19	46:24 65:7	54:22 55:10	improveme...	infrequent	involvement
28:9 33:7	83:16	56:9 60:23	47:11	23:20,21	9:14 10:4
33:22 43:1	hire 47:4	68:11 80:1	improving	24:12 42:11	involves
50:21 57:2	hired 47:6	90:6 96:4	11:20 47:10	infrequently	21:16
		identical			

14:23 15:15	57:21 59:3	36:16 39:11	learn 88:18	88:18 92:14	93:19
16:5 20:9	59:17 60:11	41:4,9,22	learned	100:3 102:8	location 37:1
28:16 29:1	60:24 62:24	42:15,24	59:14 76:23	105:14,15	57:14
29:3,4	63:9,16	44:13,14	least 63:10	likely 21:17	103:10,12
31:22	65:6 68:19	45:2,3,12	left 5:11,12	57:18 89:23	locations
issue 26:4	71:8,9 74:2	45:14 49:24	leisure 89:20	limit 81:4	101:24
59:24 88:23	74:8 77:1,4	54:20 60:11	less 24:9,10	Limitations	logical 21:14
98:16	78:4 80:13	60:16 61:21	63:13 64:7	1:7 5:5	long 39:20
103:22	80:15,19	62:4 63:6	64:16,21	line 46:3	42:13 48:12
issued 55:1	81:2 82:23	64:7,23	70:15 71:4	liquid 91:3,3	51:14,16
91:24	83:5,11	66:11 67:23	71:6 73:6,6	list 51:14,16	65:11 75:22
issues 35:9	87:23 91:14	68:9,22	let 26:18 50:7	53:9,14,16	95:18
	92:22 93:8	69:10,11	54:10 57:21	54:12 95:18	longer 48:13
J	93:19 95:12	71:2,10	59:17 76:9	95:19	longest 61:2
J 2:23	95:17 96:1	72:14 74:10	85:14 86:23	listed 71:16	look 15:11
Jackson	96:7 97:24	78:2,19	98:19	73:18	23:22 29:20
102:19	98:5,8	80:6,9	101:19	lists 102:23	35:10 39:5
103:8	100:1,19,23	83:20 84:17	102:14	liter 53:2	57:6,11,13
James 1:19	100:23	84:20,21,23	104:3	54:20 56:3	65:8 82:14
January	101:19	87:13 92:3	let's 6:24	literally	87:4,5,10
42:16	justified	93:7,13	8:11 12:20	52:15 92:24	89:16,23
Jennifer	55:22	94:12,13	44:17 64:1	93:7	91:14
84:22 92:20	jut 95:20	96:24 104:3	75:21 79:1	little 13:19	102:10
98:12		knowledge	80:17	23:10 24:14	105:20
jet 51:18	K	85:4,10	100:18	28:12 32:14	looked 15:9
53:14	K 106:3	96:24 97:1	level 13:11	32:14 42:4	20:3 27:7
job 62:7	keep 8:8	knows 55:12	32:6 35:20	63:1 71:21	39:9,10,10
67:14 98:13	23:10 48:12		48:4,6	75:13 79:4	51:12,14,14
99:24	69:16	L	51:11 54:13	81:12 93:18	51:18,23
John 57:4	Keith 14:3	L 2:16	55:18 56:22	96:3 98:18	52:2,7,13
Johnson 2:13	kind 21:13	lake 60:2,4	87:16 93:14	Liu 2:19 5:14	52:17 53:4
5:13 17:24	34:13 36:6	96:21	98:21	12:21,24	53:5 57:12
joining 5:17	37:2,4,9,24	laminar 52:9	levels 14:14	13:4,7,10	57:15 66:12
Joliet 66:1	45:4 48:1	land 29:7	14:18 61:9	17:1,4,23	82:5,9
joy 6:23	50:5 52:9	92:22 93:20	63:3 79:16	20:7 21:7	84:14 87:8
just 11:12,18	83:9 87:15	93:21	86:12 97:9	72:8 73:3,8	91:16,16
12:2,19	90:9 93:14	landmark	99:1	76:12 77:12	92:6,10,12
13:13 15:3	kinds 12:6	5:21	lieu 13:2	77:15 78:12	105:14
15:4,5	knew 90:4	Langdon	66:19	96:3,9	looking
18:10 21:13	know 10:17	69:1	life 96:5	101:15	17:21 26:7
25:2,10,13	11:12 12:16	language	lift 51:15	load 78:20	35:11 67:11
25:18,24	12:19 14:4	28:12	lifts 23:23	88:13 90:6	75:10 77:6
28:11,13,14	14:16 15:5	last 97:21	like 24:13	loads 78:8	79:22 80:23
28:16 29:9	16:22 18:4	later 73:2,9	30:23 34:20	local 37:13	81:9 83:4
29:15 32:18	20:2,5	lawyers	45:8 46:24	locate 41:5	83:11,14
34:20 35:11	24:16 25:12	48:15	53:21 57:12	94:16	104:5,6,9
42:21 44:2	26:5 31:13	lay 91:7	59:1 60:2	located 71:18	104:12
45:6 46:19	31:16 33:1	layer 81:3,23	61:13 63:22	71:20 101:1	looks 30:23
52:1,14	33:5,15	lead 99:21	81:14 86:13	locating	Lori 1:17
56:6 57:15	35:1 36:11	leap 39:17			

losing 69:16	81:8,11	23:21 30:15	Melching's	milligrams	37:23
loss 51:24	83:9	31:2,8 34:6	39:2 40:10	53:2 54:19	Moore 2:15
lost 19:7,9	manual 37:9	45:9,13	41:6	56:3	5:16
lot 17:15 31:3	many 8:9	49:13 62:21	member 2:13	million 55:14	moots 105:6
52:16 72:21	9:10 10:12	64:11 76:9	2:14,15,16	55:16	105:14
88:7,18	37:15 41:4	90:7 93:6,7	2:17 5:12	mine 77:8	more 9:14
89:18 90:13	42:20 65:1	93:17 95:19	5:13,15,16	minimum	26:13 34:17
90:16	71:17,20	98:24 105:6	6:15,19	76:19 97:10	42:20 63:12
lots 81:15	76:1 82:14	means 106:9	17:24 48:10	99:6,8	70:17 76:12
low 24:6	84:7 89:4	meant 72:24	48:17 49:20	missing	86:15 96:11
41:11 51:21	91:1	73:22 75:20	50:19	25:10	98:18
79:15	Marie 1:16	97:11	MEMBERS	misunderst...	morning 5:2
lower 1:9 5:6	2:8 5:2	measured	2:11	73:21	6:19 8:2,3
57:8	mark 7:9	73:16 74:1	membrane	model 24:21	104:15
lowest 55:8,9	89:7 97:17	mechanical	51:17	24:23 25:1	most 57:18
55:24	marked 4:9	16:2 52:13	memorand...	28:1,1,7,18	70:10 79:13
	6:2 7:13	meet 24:1,4	53:23 88:24	30:2 39:11	motion
	89:10	29:23 30:4	89:8 91:6	39:13,16,19	104:19,24
M	markers	32:19 43:24	memory	40:10 41:24	105:6,6,9
M 35:24	102:8,9	44:2,14,18	101:9	44:20 47:10	105:14
machine	Marquette	44:21 45:11	mention	47:12 62:3	mounted
106:10	23:18 24:19	47:18,19	95:24	62:3,6,8,9	53:4
made 40:4	38:16,20	49:2,15	mentioned	62:17 63:22	move 50:23
42:3 53:16	63:21	54:18 57:9	12:24 15:5	63:22 75:19	93:9
56:24 60:20	matches	61:9 77:20	42:14 91:15	75:23 82:17	moved 46:3
63:17 70:16	74:10	99:1 101:6	mess 87:23	83:15 84:6	movement
82:15	materials	101:21,22	met 99:9	95:19	100:19
main 22:11	85:9 87:23	102:23	method	modelers	moving 104:6
51:8 81:16	matrix 53:19	103:24	91:13	26:21	much 16:6
mainly 41:16	53:20,21	meeting	methods 81:7	modeling	21:2 37:6
41:17	54:12	44:24 45:18	Metropolit...	27:18 39:24	45:4 48:7
maintain	MATTER	49:21,22	8:14	49:6,8	58:8 65:5
14:18 15:16	1:4	79:20 99:14	Meyer-Glen	57:23 60:12	83:12
50:13	maximum	99:15 100:6	3:3	61:8,20	multi-story
maintaining	33:10 73:18	100:9 105:2	Michigan	63:20 67:19	93:9
11:3 14:14	may 1:21 6:3	105:4,16	60:2	67:22,22	must 94:5
14:24	12:21 16:14	Melching	microbial	68:1 78:10	MWRD-su...
maintenance	45:3 76:12	25:20,22	18:16	83:14	96:17
16:20 33:18	91:15 94:14	26:3,20	might 11:24	101:16,16	myself 17:19
55:9,13	102:2	27:6 29:19	15:4 17:23	modify 62:5	39:8
major 83:18	103:21,24	29:21 37:15	21:8 64:5	moment 6:24	
make 28:16	104:12,12	40:15 41:24	64:15 80:3	money 88:8	N
29:10 38:3	104:12,13	44:20 46:12	80:10 81:22	93:8	N 2:1 3:1 4:1
39:15,19,20	105:7,16	47:9 49:8	85:15 94:10	monitor 35:6	name 5:2 6:8
50:7 63:22	maybe 15:11	57:23 61:20	95:21	monitoring	94:17
83:10 88:6	37:21 61:6	63:17 64:24	mile 102:8,8	8:16 15:8	natural 57:8
96:2	66:1,10	69:19 82:16	miles 27:21	34:3,4,7,13	58:10,20
makes 39:16	76:3	83:3,13	102:18	34:19 35:15	near 86:1
man 32:5	mean 20:10	84:5	103:7	35:22 36:3	95:7
36:10					necessarily
management					

47:22	nitrify 19:17	78:15 96:18	104:20,24	67:4 68:8	41:10,15,16
necessary	19:18	nutrients	105:13,19	72:20 76:12	41:23 65:1
20:8 31:19	nitrogen	92:13,18	105:21	80:22,24	70:1 71:5
32:19 49:1	18:19 77:23	96:22	often 24:15	81:21 83:12	71:12
59:12 67:12	nod 47:1		71:10	89:5 93:18	operates
75:3	Nodding	O	oh 8:6 22:8	94:11,14,19	35:13
need 6:4	46:14	O 35:24	39:5 64:11	95:13	operating
13:17 37:16	nods 47:2	106:3,3	67:21 77:14	100:19,23	15:21 16:1
40:7 42:4	nomenclat...	object 45:22	98:23 102:7	102:2,3,18	25:10 26:14
58:17	28:20	objection 7:9	okay 7:22	103:5,6,6,7	27:14 29:22
100:10	none 7:11	89:7	10:24 11:14	103:13,13	30:12 31:17
needed 29:22	50:16 89:9	objective	11:22 13:7	104:18	31:23 38:17
37:19 38:22	non-point	96:10	13:10 14:8	ones 69:22	41:1 49:18
44:21 57:24	20:13	obvious	14:12 16:8	80:3 91:16	72:5
58:5 68:2	noon 103:21	100:14	19:14 22:7	103:4	operation
77:20	north 2:21	obviously	23:7 26:17	only 24:11	23:19,24
102:23	32:17 37:21	69:14 99:13	26:19,22	31:24 35:19	24:5,20,22
needs 70:16	54:16 57:7	occur 59:20	27:9 28:9	37:16 43:20	26:13 29:11
Nemura	75:4	off 37:12,18	28:22,23	47:15 50:15	29:17 30:9
103:19,21	notary 1:17	52:3 100:18	30:14 33:22	53:9,15	30:23 31:14
network 34:3	106:18,23	100:21	39:13 40:12	54:15,16	32:5,9,11
34:4,7	note 6:14	103:18	44:17 50:21	62:11 70:5	32:16 34:3
never 15:9	77:5	105:7	51:1 55:6	75:4 81:21	38:12,14,21
41:15 92:6	notes 106:12	office 78:13	58:23 65:10	87:8 88:12	40:14,18
92:12	nothing	93:5	73:12 74:16	90:20,21,22	42:8 49:9
new 24:7	78:24 95:23	officer 1:16	75:21 76:7	92:9,10,19	49:14 55:9
30:5,6 36:3	notice 105:2	2:8 4:3,4	77:4,14	105:6,15	55:13 64:6
39:18 72:18	notions 6:18	5:1,4 7:1,5	78:22 86:9	onshore	operational
Newly 78:20	November	7:8,21,23	86:17,21	12:10 22:24	11:15 15:14
newspapers	42:16	8:6 14:2,8	88:16 94:18	51:6 58:17	15:17 35:24
96:24	number 8:12	16:9 18:3	95:8,11	onsite 81:8	49:23 63:19
next 19:19	25:9 30:3	18:24 19:3	97:3 100:8	83:8	operations
94:4	32:7,8	22:3,7 23:7	100:13,14	onto 38:9	34:5 49:1
NH 19:12	69:23 77:3	26:6,9,12	102:22	on-site 81:10	operator
nice 73:3	77:19 78:1	26:17,19	103:14	operate 24:9	37:10
nicely 15:23	78:6	28:9 33:7	OM 58:12	24:10,16	operators
nightmare	numbers	33:22 43:1	once 67:23	25:2,3,5	37:10
93:22	31:2 47:5	50:21 57:2	98:2	27:24 28:8	opinion
nine 50:24	57:1 61:8	58:23 59:8	one 6:10 8:12	30:7 32:20	11:19 24:12
nitrate 18:18	77:3,8	68:6 69:15	9:24 17:4	33:11,14,19	47:16 84:1
19:20,24	numeric	70:19 77:1	21:22 22:1	36:7 37:16	opportunity
20:16	76:10,24	77:9 78:22	24:2 26:12	40:8 42:4	104:22
nitrites	numerical	79:1,10	27:11,12,13	50:12 61:17	opposed 12:7
18:18	76:19	85:5 89:6	29:13 31:24	64:16,21	12:17 31:18
nitrification	numerous	90:18 97:12	32:6,18	operated	101:12
18:17 20:11	92:21	97:18	35:3,14,19	16:6 31:3,5	option 91:9
21:15	nutrient 17:6	100:16	36:11 53:10	31:9,21	order 23:10
nitrified	17:8,10	102:5	59:13 60:13	34:18 37:16	30:4 103:23
20:15	77:16,22	103:15,23	62:2,7 65:7	40:24 41:4	104:3
		104:3,11,16			

104:16	104:17	76:16 77:3	percentages	34:4,5	porous 12:8
105:21	105:3,8	77:3,8 97:5	29:11	46:17	51:17
organic 78:8	outfalls	97:21	perfectly	planning	portion
78:20 81:3	92:18	Pages 4:2	50:7	66:14,21	83:23
81:6 88:13	outputs 28:5	38:10 39:5	perform 8:23	plans 80:10	portions 74:7
organics	over 6:11	paginated	34:9 48:1	plant 10:16	84:3 87:3
81:19	15:17 23:3	97:5	87:2	13:17 22:16	positive
original	24:10 30:22	Paragraph	performance	22:21 28:5	102:1
47:11	47:11 52:10	8:13,21	11:2 14:24	32:17 91:23	possibility
other 6:11,21	52:12 72:5	23:16 33:24	15:22 53:18	plants 12:1,7	17:6 82:8
19:4 22:22	81:3,23	part 25:19	performing	18:6 26:24	possible
22:23 24:3	overall 5:21	36:23 54:2	11:10,16	59:23 62:14	59:11 63:11
31:18 35:14	Overflow	57:5 68:15	perhaps	77:18 83:21	64:5,24
35:22 36:23	89:1	71:7 78:16	20:21 25:17	84:10	71:3 79:15
41:20 46:13	overflows	79:21 81:16	72:16	please 6:7,10	85:13
51:10 59:20	43:3 59:10	84:4 85:16	period 73:14	6:14 7:2	possibly
62:16 64:3	overrides	86:24 87:12	73:24 98:6	19:11 69:16	69:24
70:7,11,17	37:9	89:3 92:24	permit 91:24	pleasure	post 93:4
71:23,23	over-estim...	participated	personally	105:22	potentially
74:2 76:8	45:16	33:9 68:23	105:5	plugged	78:6
79:14,16,22	oxidize 19:14	particular	personnel	44:22	practical
84:17,19	19:16	27:6,20	50:12	plunge 52:4	57:19 93:6
87:22 89:4	oxygen 8:24	32:3 56:11	phosphorous	plunges	Prairie 5:24
90:22 91:14	16:12 20:14	57:13,14	17:14,17	16:17 52:3	79:3
92:7 96:6	21:16 29:7	93:12 98:15	18:11 77:23	plus 30:12	preconceived
97:1,24	29:23 31:24	parties	physics 52:23	pocket 30:16	6:17
98:9 100:17	35:13 39:12	104:21	picked 27:8	point 15:22	predict 27:3
103:6,7	39:14 41:11	parts 1:11	27:10	20:13 33:10	47:21 59:15
104:18	41:19 51:9	5:8 23:1	picking	44:5 59:20	60:6,22
out 16:12	51:20 52:6	36:21 70:7	60:19	64:8 67:20	61:16
19:11 23:2	52:22 53:1	70:11,17	picks 27:5	67:24 71:10	predicting
23:10 24:11	61:9 68:2	71:24 80:14	pile 39:4	85:21,23	39:17 59:18
29:6 32:5	77:17 79:16	pass 25:24	pilot 9:20,24	87:9 89:17	preferred
32:11 33:17	81:4 83:15	32:22	10:4 66:22	89:21 95:6	91:8
36:10,19	83:17,18,22	pending	72:9 101:5	pointed	prehearing
37:11 40:15	84:9 86:4	104:19	101:10	40:15	104:4,9,14
44:18,20	86:11 96:12	105:5,9	pipe 87:2,6	pointing 77:2	prepared
45:5,9,11	98:6	people 42:20	87:14 88:24	pollution 1:2	66:22
48:3 49:13	ozone 91:4	42:24 77:5	place 18:15	2:3,11	preparing
51:19 52:19	o'clock 1:21	81:7 84:18	20:12 52:5	13:22,23	89:22
53:3 56:20		84:19 104:3	68:18 69:18	96:18	present 2:11
56:23 58:5	P	per 53:2	71:5 72:5	pool 9:7	3:2 20:20
60:14 61:21	P 2:1,1 3:1,1	54:20 56:3	93:2 98:3	16:18 52:3	26:3 55:10
61:24 62:8	3:4	63:24	placed 12:11	52:4	55:12,14
62:10,11,13	package 37:4	percent	63:20	pools 16:15	65:15 68:24
66:13 74:11	38:1	14:15,16	places 97:1	16:19	84:13
81:17 89:24	page 8:13,21	45:2 54:19	Plaines 1:9	poor 99:24	presentation
90:1,8 91:7	23:16 29:20	56:2 88:12	5:7	population	85:9
92:13 95:15	33:24 38:19	88:13	plan 13:22	18:16	presented
	51:3 73:13				

13:22 69:20	5:4 6:21	101:20	51:20 62:4	96:16 99:11	read 6:3
presenting	104:7	proposing	66:8,23	100:24	89:19
48:5	proceedings	76:24	69:8,18	101:2,4	reading 36:9
presently	1:15 5:21	protect 87:20	75:22 81:2	102:1,3	ready 22:8
91:19	68:23 79:8	Protection	81:18 87:15	104:18	73:11 79:11
pressure	85:11	2:21 9:2	87:21 92:23	questioned	realized
12:12 52:23	106:10	provide	93:3	5:23	100:23
pretty 34:22	process 18:17	17:22 19:23	puts 29:7	questions 4:3	really 41:13
54:17 58:21	19:10 20:8	77:16 88:23	63:24	6:4,5,9,12	47:21 51:24
58:22 66:24	21:19 59:14	95:3	putting 39:17	6:14 11:24	52:4 62:10
98:1,13	63:21 67:16	provided	P.O 2:22	26:10 29:16	78:2 81:16
previous	87:12	17:7 23:18		35:3 42:18	81:20 83:22
65:14 68:23	processes	38:15 40:20	Q	48:13 68:8	86:13 93:2
78:1 91:10	29:6	86:2 90:5	Quail 57:4,4	76:8 79:13	95:14,16,16
pre-drop	produced	providing	58:7	94:5,14	96:7 102:3
57:7	53:20	16:12 17:15	qualified	100:17	105:15
pre-filed 7:9	produces	provision	21:11 42:20	quickly 90:7	reason 40:4
8:12,13,22	15:6	73:15 97:8	86:14	90:8	42:15 45:13
23:17 33:24	program	98:14,20	quality 1:6	quite 39:11	45:15 60:15
51:3 73:14	79:21 80:14	99:2,7	5:5 8:24	62:2 64:5	89:2 94:9
77:6 79:13	project 68:12	public 1:17	11:3,13,20	82:13	reasonable
94:4 97:13	68:13	91:24	14:15,19		90:10
97:16,21	projects 8:17	106:18,23	15:1,8	R	reasons 91:7
prior 59:3	proper 33:18	pump 23:3	29:24 42:18	R 2:1 3:1	recall 15:20
privy 63:5	properly	27:1 51:8	43:13,17	35:23	65:24
probably	39:16 90:1	51:19,19	44:24 58:1	rainfall 27:1	receiving
16:22 41:17	90:1	53:5 87:20	94:24 95:5	28:6 39:10	18:6
46:10,12	proposal	pumped	question 8:12	73:17	recently
47:13 62:2	43:9 46:8,9	58:19 87:18	10:8 11:6,7	rainstorm	83:17
69:23 78:19	72:11 73:23	pumping	11:8 12:22	36:19	reclamation
94:20	74:4,6,9,14	27:22 87:24	14:11,21	raise 6:6	8:15 26:24
probe 31:24	75:3,10,15	pumps 32:5,7	15:4,13	raised 17:5	28:5 77:18
32:2,15	75:17,24	32:8,9,11	17:2,13,18	ran 27:19	recognizes
34:14 36:9	77:21,21	36:11 53:6	19:8 21:10	100:2	37:12
probes 35:14	96:21	58:9 87:21	22:13 23:14	Randolph	recollection
35:16,22	102:24	87:22	24:14 29:16	2:4	10:12 13:1
36:17	proposed	pure 65:5,6	33:1,6,23	range 24:5	13:13,14,15
problem	1:10 5:7 9:1	71:7	34:12 38:8	55:17	72:23
16:20 28:20	13:18 24:1	purity 51:9	38:9 45:15	ranking 54:9	record 6:13
79:15 93:10	24:4 29:24	purpose	45:24 47:3	Rao 2:18	6:16 14:10
problems	44:1,2,8	32:24 36:2	47:8 48:11	5:18 94:22	47:1 71:9
16:1 86:10	45:21 48:19	92:7	50:24 58:14	95:8,11,24	77:2,5
procedure	48:20 49:2	purposes	59:4 61:1	96:15	78:14 85:10
47:9 48:9	49:3 55:1	31:18,18	61:22 63:16	rarely 41:14	89:5 95:1,3
procedures	56:13,15	33:3 35:23	72:13 73:11	rate 11:1	97:13
47:17	74:22 99:23	35:24	74:17 76:12	14:22	100:19,21
proceeded	101:7,22	put 12:3,17	77:13 78:4	rather 47:1,5	100:23
67:2	proposes	24:21 32:5	78:16,16	82:24	103:18,21
proceeding	78:18	32:6,9	80:15 85:15	reached	recreation
			86:14 89:22	31:12	

reduce 65:3 69:23 78:6	88:6 removed 13:5,8 88:12,12,19	47:20 78:10 research 8:16 9:19	58:16 70:3 70:5 92:2 93:1 102:16	95:17 97:7 98:20 scale 9:20 65:17 72:9	seen 52:8 selected 39:6 91:8,13
reduced 69:14,17 70:22 78:5	repeat 39:1 49:5 66:16 68:4	reservoir 61:23 68:10 68:19 69:2 69:6,18 70:21	Rivers 5:24 79:3 roads 93:10 robust 39:11	101:10 schedule 60:3 61:5 65:16 66:12 67:9,17,24 72:9 101:5 101:15,21	send 32:4 36:10 sense 18:7 20:2,5,11 21:21 43:2 45:7 72:20 90:4,8
reduction 77:24 78:8	repeatedly 64:24	reservoirs 59:6	Room 1:19 RPR 1:17 106:6,17	101:15,21 scheduling 104:5	sent 15:7 sentence 73:21 74:2 97:23 98:15 98:17,20 99:21
refer 15:4 71:16 94:5 94:12	repeating 39:8	respond 104:22	rule 55:1 56:13	scope 95:14 95:20	SEPA 9:7,17 9:20 11:2 12:7,15,18 13:1 14:14 14:17 16:5 16:11,15 18:12 20:4 21:15,17 22:10,16,24 24:20,22 28:15 29:4 29:18,23 31:17,21 32:4 33:1,2 33:9,11 36:8 38:14 40:14,19,20 42:8 50:10 52:1,2 53:7 53:15 57:9 57:12 58:8 58:17 63:11 63:19 64:4 64:6 66:13 66:15 67:3 67:4 70:14 70:23 71:10 72:4 77:19
reference 86:4	repetitiven... 59:2	responded 78:15	rulemaking 17:5	score 53:11 53:12 55:21	screen 87:20 89:24
referring 95:14 97:13 97:15,16,20 98:11	replaced 22:18	response 8:24 59:4	Rulemakin... 1:8	screening 87:22	screens 87:21
refine 79:19	report 15:6 39:3,6 40:10 41:6	responsibil... 40:3	run 27:18 33:2 50:14 51:20 63:12 63:13,22	screw 53:5,6 87:23	second 54:1 55:9 63:24 80:20 94:11 94:14 100:23 105:1
refined 96:11	53:22 55:15 57:24 85:20 85:24 88:23 89:19 91:17 95:4,15	responsive 64:23	running 18:13	second 54:1 55:9 63:24 80:20 94:11 94:14 100:23 105:1	sediment 80:23 81:2 81:4,8,11 81:15,19,22 82:3 83:8,8 83:9,15,17 83:22 88:19
refinement 96:8	reported 106:9	rest 22:6 35:5 38:8 88:9	runoff 62:18	sediments 20:18 80:21	see 12:13 29:21 36:15 37:22 64:1 64:11 94:9 94:20 96:9 97:23 98:23
refresh 72:23	reporter 6:12 47:2 106:7	restoration 84:22	runs 63:22 64:1 93:1	seeing 7:11 75:6 89:9	seems 48:10 99:14
regard 11:11 28:20 75:23 94:15	reports 15:9 91:11 94:5	restricted 38:24	R08-09 1:7 R08-9 5:9 105:4	service 33:18	
regarding 13:16	represent 6:8 representat... 27:9 39:22 69:13	result 27:18 70:22	S S 2:1,15 3:1 4:8		
rejected 46:9	request 56:12	results 23:18 39:19 69:20 84:6	Sag 10:22 13:19 71:18		
related 100:2	require 15:10 34:2,23,24 42:9	right 5:13,14 19:22 22:14 23:15 30:15 31:1 35:2 35:11 62:7 64:12 65:4 76:5 80:16 81:21 83:24 93:1,11 99:15 100:11,12 100:18 105:20	same 6:23 23:11 46:12 47:9,17 48:9 55:19 59:20 69:12 103:3,10,11 105:8		
relationship 22:10	required 23:24 25:6 38:14 40:19 43:24 47:19 49:14 50:16 61:21 65:18 84:7 101:6	restricted 38:24	sand 13:3 81:3,23		
relative 54:22 56:8	requirement 66:18	result 27:18 70:22	saying 24:24 25:15 27:19 29:13 40:18 58:21,22 67:15 101:9		
relatively 23:20,21 31:10	requires 37:4	rest 22:6 35:5 38:8 88:9	says 30:3 76:17,18		
remain 80:11		restoration 84:22			
remaining 80:10		restricted 38:24			
rememberi... 76:18		result 27:18 70:22			
removal 16:21,23 17:6,8,9,11 17:11 77:16 77:17,22,23 77:23 78:15 90:9		results 23:18 39:19 69:20 84:6			
remove 17:14 17:17 87:22		right 5:13,14 19:22 22:14 23:15 30:15 31:1 35:2 35:11 62:7 64:12 65:4 76:5 80:16 81:21 83:24 93:1,11 99:15 100:11,12 100:18 105:20			

session	55:20 64:24	54:22 55:10	south 37:22	standard	statement
104:15	65:3 69:19	56:9 60:7	54:16	24:1,2,3	21:21,23
set 27:15	88:1	60:23 69:14	102:16,24	32:3,20	42:3 73:22
61:7	sine 105:24	69:17,22	Southeast	44:15,19,22	74:3
setting 67:17	sit 60:10 66:2	80:1 81:7	14:3	45:8,11,18	statements
settling 16:15	site 72:20	81:18 82:1	speak 6:10	45:20 46:5	41:21
seven 33:14	82:2	82:2,7	21:12 46:15	49:2,3,15	station 9:20
34:16 35:13	sitting 25:8	83:14 85:21	speaking	51:13 54:18	12:15 14:24
seventh 5:19	52:14 60:11	85:23 86:23	6:11	56:15 60:1	24:1 27:21
several 80:24	situation	87:15 88:6	specific	70:24 76:3	27:22,23,24
Sewer 89:1	20:18 52:23	88:11 89:17	41:20 57:12	76:24 98:6	29:4 30:3,7
sewers 62:20	60:6,23	90:5,6,9	71:13 73:17	99:23 101:7	32:5,8,11
share 6:23	situations	91:15 92:16	86:4 92:17	standards	32:16 33:11
shore 75:4	59:20	93:14,16	specifically	1:6 5:5 9:1	35:20 36:10
short 39:21	six 98:4	95:6	20:3 21:1	11:3 14:15	42:12 52:1
51:15 53:9	101:12	somebody	62:4 76:17	14:19 15:1	52:2 57:9
53:13,16	size 7:24	37:5 85:1	82:7	17:6 24:5	58:17 63:24
54:12 56:21	sized 90:11	somehow	specifics 34:9	29:24 30:4	75:1
75:18 79:6	skip 38:9	46:8,8	34:11 85:2	34:2 38:23	stations 8:20
95:18	slashed 79:12	someone	specified	43:14,17	9:4,7,17,23
shorthand	slight 45:20	84:24	76:20	44:1,2,6,9	10:2,7,11
106:10,12	slightly 45:19	something	speculate	44:24 46:13	12:7,18
shoves 52:19	slim 58:21,22	21:7 25:10	78:2	47:18,19	13:1 14:17
show 74:17	slip 81:14	29:1 46:24	speculation	48:20,20	15:16,20
showed	slips 82:2,11	55:20 58:9	65:5,6 71:7	49:22,22	16:5,11,16
75:19	82:14,17	61:6 98:9	spend 17:14	50:2 58:2	18:12 20:4
shown 75:1	83:4,6	100:3	spending	74:22,24	21:15,17
98:5 103:9	84:15	sometimes	50:6	76:10,19	22:10,16,24
shows 32:2	small 54:17	28:15,15	spends 50:17	79:21	23:19 24:7
shut 63:3	SOD 81:4	33:2 66:11	spent 50:7	101:22	24:8,16,20
side 9:6	software	somewhat	83:13	standby	24:22 25:2
32:17 37:21	37:4,24	60:2,8	spot 93:12,20	33:16,16	26:15 27:1
37:22 51:21	solids 13:9	81:18	spreadsheets	standpoint	29:2,18,23
Sierra 5:24	16:12,15,18	somewhere	56:19	11:15 15:15	30:6,7 31:9
significant	88:6,8,11	39:4 72:13	spring 41:16	65:4	31:15,17,21
41:11	88:12 90:6	soon 104:17	42:12	start 8:11	31:22 32:1
silly 93:18	90:9	sorry 7:12	Springfield	19:4,11	32:22 33:1
simple 48:11	solvents 18:4	9:17 16:9	2:22	60:16 67:11	33:2,9,17
60:15	some 16:14	18:21 19:2	SS 106:2	67:16 79:2	34:16,18
simpler 35:8	16:14,21	19:18 22:8	stabilize 81:6	104:5,6	36:8,20,21
simply 16:13	17:7 18:11	22:12 25:18	81:19	started 67:23	37:15,17
22:17,19	18:23 19:24	48:14 85:7	Stacy 3:3	state 1:18 6:7	38:13,14,18
48:18,22	20:21 21:15	96:19 97:16	staff 6:15	8:14,22	38:22 39:17
50:5 65:2	22:21 26:22	sort 57:9	stage 20:9	23:17 34:1	39:18 40:7
69:21 72:19	26:22 31:17	sorts 83:5	27:15	38:11,19	40:14,17,18
84:8 97:24	34:13 36:6	sounds 31:1	stages 80:2	40:1 46:24	40:20 41:8
since 34:11	37:2,4,9,17	88:18	stagnant	51:4 73:14	42:5,8
42:9,14	37:24 48:1	sources 20:13	76:22 84:11	106:1,7,9	43:22,23
47:9 55:19	50:5 53:7	62:16	84:12 86:6	stated 40:10	49:9,14,17

50:9,11,12	Street 2:4	Suite 2:5	35:5,8,10	65:18,19	55:4,7 56:8
50:14 53:15	102:20	summarize	35:12 36:1	66:3 79:1	79:22
54:15,17	103:6	21:14 95:9	36:3,6,12	89:23 92:13	technology
57:12 58:8	stretch 60:9	summary	36:15,16,22	98:3 101:10	9:21 17:14
59:11 63:11	strictly 31:19	102:2	37:3,8,10	101:11,12	51:4,7
63:19 64:5	96:24	summer	37:23 38:3	taken 1:16	57:13,14,15
64:6,10,16	strike 10:23	41:17,18	38:5 39:15	22:17,19	57:17,19
64:20 65:1	structures	sunk 64:13	40:16 42:19	80:2 106:13	telemetering
65:12 66:20	51:24	superinten...	44:23 51:19	takes 18:15	36:24 37:23
67:3,4,11	studied 86:18	69:1	51:22 54:13	29:6 52:5	tell 14:1
67:12 69:21	86:19	supersatur...	57:7,15	62:18	24:18 25:9
69:23 70:3	studies 16:23	52:24	58:12 61:23	taking 20:11	28:1 41:19
70:14,23	20:2,24	supplement	62:5 64:4	29:13	43:20 44:3
71:3,4,10	65:17 66:23	21:8	70:5,7,12	talk 72:17	49:10 61:20
71:17 72:4	101:5,10	supplemen...	70:16,17	95:20	63:10 65:11
72:18 74:20	study 9:20	8:19 9:3	71:24 77:24	talked 36:13	71:2 92:19
77:19 78:6	10:1,4	10:7 23:19	78:9,10	81:7,13	104:8
79:17 84:7	44:13 46:11	28:22 29:5	80:21 83:19	talking 19:1	tells 28:2,7
101:13,20	46:13 56:19	51:4 66:8	84:16 87:4	28:17 29:10	temperatur...
102:15,23	60:13 65:13	67:11 68:1	87:14,15,24	29:11 34:15	41:12,18
103:1	66:14 72:9	79:16,23	87:24 88:2	34:17 60:16	ten 39:9
statistics	83:11 87:1	support	88:7 90:9	61:20 66:2	tends 36:5
15:12	87:2 88:2	10:13 46:22	90:11 92:2	72:17 74:3	ten-minute
stay 104:19	88:14,17,24	46:23	92:23 93:3	82:15,23	79:2
105:15	89:23 90:3	suppose	93:14,16	83:6,7	term 19:12
steam 37:24	92:11,24	93:15	systems	84:22 98:13	28:21,24
step 19:19,23	95:15	sure 6:23	12:17 13:19	tank 18:13	31:10
steps 20:7	stuff 37:11	17:3 26:11	15:2 28:21	Tanner 2:14	terms 44:24
stick 65:23	39:4	28:17 38:3	29:12 35:18	5:11	46:17 58:5
still 41:1	subcontrac...	39:15,19	54:23 55:11	TARP 59:6	67:20 87:10
79:13 80:3	40:2	61:15 62:6	70:11 91:1	59:10,18	90:2
88:13,13	Subdocket	80:20 83:10	system's 11:2	60:8 61:5	terrific 73:9
stop 32:11	1:7 5:9,20	88:4 96:2	14:24	61:10,17,23	tertiary
storm 62:19	104:6,19	105:19	T	63:4,11	10:15 13:2
62:20 83:21	105:2,4	surface 12:14	T 4:8	65:3 67:10	13:5,17
storms 37:13	submit 73:8	52:14,16,19	table 26:7,10	67:14,17,23	14:4 66:19
story 39:20	submittal	surrounding	27:16 29:20	68:2,9,19	testified 33:8
strategy	89:3	62:19	71:16 73:18	78:5 80:2,3	69:1 92:20
85:17,21	submitted	sworn 7:2,4	73:22 74:1	80:12,14	testimony 4:3
94:24 95:5	53:22	106:20	74:8,18,19	task 14:4	5:23 6:2 7:6
95:9 96:4	SUBSCRI...	system 1:8	74:24 97:6	48:17	7:10 8:13
stream 9:6	106:20	5:6 8:20	97:7,22	tasks 48:21	8:22 23:17
20:18,22	subtracted	10:19 11:4	98:5 102:11	technical	23:23 26:3
21:5 23:5	44:7	12:14 14:14	102:15,22	2:18,19	29:20 31:11
29:8 32:3	success 11:2	16:2 20:4	103:10	5:14 53:23	33:24 38:11
62:19	successful	21:1,2 23:1	Tables 23:23	88:24 89:7	39:3 43:7
streams	11:19	23:2 26:23	take 23:2	technologies	51:3 56:10
20:12,14	successfuln...	27:3 34:10	32:11 47:2	51:10 53:10	56:21,24
22:23	14:23	34:14,19,22	59:5 65:11	54:6,11	65:15,15

73:14 76:17	44:11 45:23	throughout	43:8 48:5	tributary	102:15
77:4,6,11	55:11 60:9	34:14 38:4	64:20 65:24	22:23	103:3
88:5 91:11	60:18 64:22	throw 45:18	66:2 89:18	tries 64:2	type 18:5
96:8 97:14	65:19,21,22	time 6:10	103:20	trigger 98:2	29:13 47:9
97:16,21	66:17 67:6	13:12 14:16	Today's 5:19	true 8:1	81:3
Thank 7:22	69:22 72:15	14:17 15:17	together	70:10,13	types 28:17
14:7 16:24	76:5,8	17:15 25:2	32:12 62:4	78:3,3 99:9	28:21 29:12
18:9 23:6	77:10 78:14	33:15,20	66:23	106:11	81:1
33:21 43:6	86:9,14	46:3 54:18	told 15:21	trust 101:9	typical 52:8
46:1 49:20	89:17,18	59:21 65:17	tomorrow	try 21:22	91:12
50:19 63:7	92:5 97:4	65:21,22	105:11	23:10 30:17	typically
65:10 66:4	98:9 101:23	67:10 73:14	tomorrow's	36:18 47:7	52:18
72:2,7 73:3	101:23	73:24 83:14	105:2,3	47:13 60:16	typo 94:14
73:9 76:7	105:5	94:6 98:7	top 58:19	62:13 64:23	
78:12 86:8	thinking	101:16	81:24	72:23 75:21	
92:4 96:15	11:24	105:8	topics 17:4	99:22	
103:14	thinks 36:5	times 88:5	23:11	trying 29:9	U
105:12,17	third 97:21	100:5	total 44:7	41:8 44:10	UAA 56:19
105:21	Thomas 2:13	Tipsord 1:16	53:11 55:21	47:21 57:16	unable 14:17
Thanks 70:9	5:13	2:8 4:3,4	65:21	57:17 59:14	uncertainty
their 15:17	Thompson	5:1,2 7:1,5	101:12	60:6 64:3	63:9
24:21 38:14	1:19	7:8,21,23	towards 47:4	82:16 100:1	under 18:15
56:15 86:11	Thornton	8:6 14:2,8	track 8:9	TSS 87:10	18:19 41:23
104:4,24	68:9 69:2,6	16:9 18:3	19:7,9	90:14,16	49:22 52:22
themselves	69:18 70:21	18:24 19:3	transcript	tube 52:18	52:23 59:18
22:24 53:8	though 61:4	22:3,7 23:7	1:15 106:12	tunneled	72:10 75:2
84:10	89:21	26:6,9,12	transfer	93:16	75:9
theoretical	thought 27:9	26:17,19	52:10	turbidity	undergrou...
21:5,10	81:22 82:23	28:9 33:7	treat 81:5	18:6 92:13	93:16
30:2 65:4	94:5,10	33:22 43:1	93:15	turbulence	underneath
thin 52:11	98:1,12	50:21 57:2	treating	52:5,16	12:11
thing 52:8	101:2	58:23 59:8	86:22 92:6	turn 6:5	understand
59:13 92:9	three 23:3	68:6 69:15	92:13,17	32:18,23	10:10 16:3
92:10	30:6 32:7	70:19 77:1	treatment	36:10,20,21	16:16 19:10
things 12:3	36:11 40:17	77:9 78:13	10:15 13:2	37:11,12	22:13 25:11
35:7 51:13	48:6 63:23	78:22 79:1	13:5,12,17	turned 37:18	25:12,22
76:1 80:22	63:23 65:19	79:10 85:5	18:5 22:15	turning	26:2 30:3
82:3,6 83:4	65:20 67:3	89:6 90:18	59:23 62:14	37:20,21	41:12 44:4
83:5,9 84:3	71:22	97:12,18	66:19 80:23	turns 66:13	44:12 45:10
95:20 96:6	101:13	100:16	81:6 83:8	two 27:8,10	56:7,17
think 6:20	Throop	102:5	83:21 84:10	30:4 32:7	60:4 87:5
12:2 15:5	102:19	103:15	86:5,18,20	32:18 36:11	100:2
17:12,17	103:5	104:11,20	87:3,14	47:11 48:21	understan...
21:11,14,20	through	104:24	89:1 90:2	63:23,23	10:10,16
22:8 31:13	25:24 35:5	105:13,19	91:23 92:23	65:18 67:4	15:18 31:20
31:24 32:19	37:13 51:20	title 53:24	93:3 94:1	71:19 72:18	38:2 50:1
34:12,23	52:11 54:12	TMWQ 89:4	96:18	92:2 98:4	85:20
36:4,18,23	59:14 72:17	today 5:10,22	tributaries	101:10,11	understands
37:12 42:9	93:1 95:18	8:12 25:9	58:11	101:12,20	83:10
					unfortunat...
					71:14 80:6
					unique 76:21

unit 2:18,19 5:15	U.S 10:14 13:16 46:10	93:9 98:8 101:9	39:4 44:11 44:12 46:12	98:2,10 99:14 100:1	87:20 95:18 95:19
University 23:18 24:19 38:16,20 63:21	<hr/> V <hr/>	wanted 39:18 57:18 77:4 94:7 96:1	47:15 53:21 66:15 76:4 79:5 81:5	102:4,5 103:5	we're 5:22 22:8 28:17 34:15,17
unknowns 60:8	variety 8:17	wasn't 69:4 78:1 81:15	81:19 90:20 90:21 93:6 96:22	went 66:12	66:2,7 69:16 87:19 93:17 95:17
unless 94:11	various 20:13 23:1 27:1,8	waste 88:7	ways 47:13	were 10:11 10:18,21 12:3,4,7,17	69:16 87:19 93:17 95:17
unlike 40:14 93:23	36:21 55:4 56:8 63:3 80:2	wastewater 18:5 22:15 86:18,19	weather 37:17,18 62:16 73:15	13:1 14:5,6 18:10 27:9 27:10 29:10	we've 45:23 48:11 89:18 95:20
unnecessar... 32:23	Venturi 51:20,21	90:20 91:23	84:9 86:5 97:8,9 98:3 98:14,20 99:2,7	29:11,13 38:15 39:21 47:6 49:9 49:18,21	whatsoever 68:20
until 6:4 103:21	very 20:23 21:9 42:10 45:4,20	water 1:6 5:5 8:15,24 11:3,13,20 14:15,18	Webster 29:2 31:23 32:13 38:12,21 40:7,22	50:2 53:7 53:14 54:15 54:17,18,21 55:4 57:16 57:17 66:23	while 16:14 60:3 91:17 103:17
upper 54:7	48:12 52:24 60:12,13 61:11,12,24 62:1,21	15:1,7 20:4 22:15,17,19 22:22 23:2 26:22,24	40:7,22	67:3,4,9 68:14,24 69:21,24 71:3,5 77:5 77:16,24	whole 34:14 35:10
upstairs 5:17	63:20 68:5 79:4 84:4 90:13,15 91:1,5 93:10	28:4 29:3,6 29:6,23 38:15 39:15 42:18 43:13 43:17 44:24 51:19,21	week 33:15 89:19	78:5 79:9 82:23 85:8 85:16 92:21 94:6 96:1 97:9,13 99:1 103:17 104:13	Whoops 7:19 Williams 2:23 7:19 7:22 8:2,4,8 8:11 9:8,10 9:13,16,23 10:3,6,17 10:21,23 11:1,7,9,14 11:18,22,23 12:20 14:9 14:10,13,22 15:14 16:4 16:8 23:8,9 23:13,16 24:13,24 25:8 26:2 30:14,21 31:4,8 33:23 34:21 35:2 38:7 40:6,12 41:3,22 43:7,12,16 44:4 45:13 46:1 48:14 50:22,23 51:2 53:17 54:5,9 56:1 56:5,14 58:24 59:1
upstream 32:1,15,22	62:1,21 63:20 68:5 79:4 84:4 90:13,15 91:1,5 93:10	29:6,23 38:15 39:15 42:18 43:13 43:17 44:24 51:19,21 52:6,11,19 53:1,3 58:1 58:16 62:19 62:20 77:18 83:21 87:16 90:14,16 94:24 95:5	weight 58:11 weir 16:16 52:1,3 57:7 57:7	57:17 66:23 67:3,4,9 68:14,24 69:21,24 71:3,5 77:5 77:16,24 78:5 79:9 82:23 85:8 85:16 92:21 94:6 96:1 97:9,13 99:1 103:17 104:13	Whoops 7:19 Williams 2:23 7:19 7:22 8:2,4,8 8:11 9:8,10 9:13,16,23 10:3,6,17 10:21,23 11:1,7,9,14 11:18,22,23 12:20 14:9 14:10,13,22 15:14 16:4 16:8 23:8,9 23:13,16 24:13,24 25:8 26:2 30:14,21 31:4,8 33:23 34:21 35:2 38:7 40:6,12 41:3,22 43:7,12,16 44:4 45:13 46:1 48:14 50:22,23 51:2 53:17 54:5,9 56:1 56:5,14 58:24 59:1
up-stream 35:17	viable 81:22 83:24	94:24 95:5	weirs 9:21 51:24	weren't 10:20 60:15 69:24 77:6	
use 26:21 31:10 38:16 42:11 45:12 86:24 90:24	vicinity 92:22	waterfalls 23:4 53:8	Welcome 6:20	West 2:4	
used 10:1 35:22,24 42:2 47:17 48:9 53:20 74:13 81:1 91:1,4,4,5	view 15:22 33:10 44:5 87:9	waters 18:6 86:6	well 10:23 16:3 18:14 21:9 23:22 25:13 28:19 30:19 31:12 33:13 34:8 35:12 40:9 44:10,12,19 45:12 46:2 59:13,24,24 64:2 69:10 73:20 75:18 79:18 80:16 81:12 82:2 83:7 85:14 86:17,23 87:19 90:13 90:16 92:19 93:2 96:6	104:13 10:20 60:15 69:24 77:6	
useful 60:18 66:11	virtually 69:7,11	waterway 8:20 21:1,2 28:21 34:2 40:23 41:12 42:19 51:6 52:15 62:5 76:21 80:21 81:16 87:4 95:1,6	weir 16:16 52:1,3 57:7 57:7	wet 27:12,13 37:16 39:22 39:23 62:16 73:15 97:8 97:9 98:3 98:13,20 99:2,7	
uses 55:21	voice 69:16	waterways 1:8 5:6 58:1	weir 16:16 52:1,3 57:7 57:7	wetland 84:22	
using 42:6 51:8 57:8 58:10,20 62:3	voices 19:4	way 31:21,22	weir 16:16 52:1,3 57:7 57:7	wetlands 84:15 94:1 96:18,21	
usually 20:19 23:3	<hr/> W <hr/>		weir 16:16 52:1,3 57:7 57:7	we'll 79:2	
Uv 88:2,6,8 88:15 90:11 90:13,15,19 91:8,13	wait 6:4,6 67:13		weir 16:16 52:1,3 57:7 57:7		
U-Tube 51:9 52:17,20,22	want 15:24 18:1 21:8 28:14,16 32:23 36:6 36:7,11,24 36:24 37:2 45:9,10 48:4 54:14 68:7 77:10 83:10 89:17		weir 16:16 52:1,3 57:7 57:7		
U-Tubes 52:17 53:14 55:15			weir 16:16 52:1,3 57:7 57:7		

63:8 64:19	81:20 98:5	12:23 13:3	69:17 70:4	23:16,23	27:10,19
65:7,10,24	written 10:13	13:6,8,11	70:8,13,18	26:7,10	28:1 38:15
66:4 68:8	13:14	14:6,12,20	71:1,13,16	33:24 51:2	38:24 39:7
73:10,13	wrong 25:11	15:3,18	71:19,22	71:16	39:21,23
74:5,12,16	42:17 77:10	16:7,13	72:1,3,8,12	102:22	40:23 42:7
75:2,6,9,14	<hr/> X <hr/>	17:1,3,12	72:16,22	103:10	49:10 68:18
75:21 76:2	X 4:1,8	18:7,14	73:5,12,20	1-C 11:8	2003 27:10
76:7,14	<hr/> Y <hr/>	19:14,17,21	74:8,15,19	1.5 103:7	28:3 38:24
78:23,24	yeah 22:2	20:1,10	74:23 75:5	10 15:11 59:4	39:7,21,23
98:8 104:8	31:3	21:9,20	75:8,12,18	67:5,13	40:23 42:7
willing 64:19	year 24:11	22:12,19	76:1,5,11	10/16/06 89:8	49:10 68:18
66:18 78:21	26:22 27:12	23:12,15,22	76:16 77:7	100 2:4 14:15	2008 68:24
Wilmette	27:12,13,19	24:18 25:4	77:14,15,22	24:9,10	2011 1:21
27:22	27:24 28:4	25:13,17,21	78:18 79:18	52:21	106:21
winter 42:5	28:6 33:12	26:5,7,8,11	80:5,8,13	100-foot	2014 69:3,6
42:12	39:22,23,23	26:16,18,20	80:20 81:12	52:18	2014/2015
wintertime	60:17,20	27:13,17	82:4,7,11	1021 2:21	70:21
41:10,15,23	years 10:12	28:13,19,24	82:13,19	103 4:3,4	2020 66:2
wireless	15:11 27:6	29:15 30:19	83:1,7 84:4	105 4:4	2025 60:17
36:24	27:7,8,8,10	31:1,6,12	84:12,17,21	11 27:7 39:9	60:20
witness 25:11	27:15 28:8	31:20 33:4	85:1,12,18	73:11 94:22	203 38:15
103:18	38:15,24	33:13 34:8	85:22 86:7	11-500 2:5	21 24:6
witnesses	39:7,9,12	35:1,12,17	86:13,19,23	12 74:17	217 2:23
76:23 98:1	39:22 49:24	35:21 36:4	87:12 88:21	13 39:5 96:16	23 71:23
98:10,11	61:17 65:18	38:6 39:1	89:2 90:3	134 27:24	233 28:8
wondering	65:20,21,22	40:9,13	90:15,21,24	15 23:3 58:18	24 33:14
17:9	66:6,7 67:5	41:5 42:1	91:10,21	16 97:4	252 53:12
word 97:7	67:7,13	42:17 43:5	92:3,8,15	17 97:4	26 104:12
work 47:12	72:21	43:10,15,20	92:19 93:6	18 61:17	26th 103:21
64:3 79:19	101:10,11	44:10 46:6	94:3 95:12	18th 1:20	103:24
90:13,15	101:12,12	46:14 47:7	96:7,10,14	184 30:22	104:13
95:14,20	101:14	49:5,19,21	96:19,23	19th 105:7,16	263 7:11,11
worked 8:17	yesterday	50:4 51:1	97:23 98:12	19276 2:22	27th 104:12
48:3	15:5 98:13	51:11 53:19	98:23 99:4	1972 13:21	28 24:7 30:5
working	<hr/> Z <hr/>	54:4,8,10	99:10,19,22	1979 12:5	34:16 40:17
15:23 16:3	Zalewski	55:2,5,7	100:7,12,17	1980 12:5	43:22 64:9
80:18	2:17 5:12	56:4,6,17	100:24	1984 66:13	70:11 71:17
workshop	Zenz 4:3 5:23	57:11 58:3	101:4,18,23	1986 9:18	101:13
83:16 85:8	7:2,3,10 8:2	58:6,13	102:7,10,12	1987 9:18	<hr/> 3 <hr/>
85:9	8:3,4,5,5,10	59:7,13	102:17,21	1989 67:2	3 29:20 38:10
workshops	9:5,9,12,15	61:11,15,19	103:2,5,11	1992 67:4	51:3
69:20 84:6	9:18,24	62:17 63:5	103:13,16	1994 67:5	3WQ 88:24
85:16	10:5,9,20	63:8,15	zero 70:24	<hr/> 2 <hr/>	89:8
worth 55:10	10:22,24	64:9,11,14	<hr/> \$ <hr/>	2 7:10 8:21	30 53:2 88:12
55:12,15	11:5,12,17	64:18,22	\$47 55:16	27:21 51:3	301 1:11 5:8
wouldn't	11:21 12:4	65:9,14	\$56 55:14	2-025 1:19	302 1:11 5:8
18:20 42:23	12:8,19,21	66:3,10	<hr/> 1 <hr/>	200 30:22	303 1:11 5:8
62:15 67:13		68:3,11,17	1 8:13,13,21	2001 7:10	304 1:12 5:8
70:1,6 71:1		69:4,10,15		26:14,15	31st 104:12

312 2:7	84 66:21				
35 1:10 5:7	86 66:22				
34:17	87 66:22				
365 24:11	88 66:23				
<hr/>	89 4:11,11				
4	<hr/>				
4 23:14,16	9				
33:24 38:10	9 73:13 74:24				
74:18,19	76:16				
4WQ 53:24	9:00 1:21				
4,464 30:7	90 54:19 56:2				
40 53:2	90s 10:11				
463 4:10 7:12	946 24:6				
7:14,17	98 45:2				
89:14 97:19					
464 4:11 89:8					
89:9,11					
<hr/>					
5					
5 4:3 33:23					
38:8,19					
79:14					
5/18/11 7:16					
89:13					
50 6:20,21					
53:2					
50th 5:21					
<hr/>					
6					
6 73:18,22					
74:1,8 97:6					
97:7,22					
98:5					
60601 2:6					
62794-9276					
2:22					
<hr/>					
7					
7 4:3,3,10,10					
23:23 29:20					
39:5 102:15					
70 88:13					
782-5544					
2:23					
<hr/>					
8					
8 38:9 68:24					
80 63:24					
80s 13:12					
814-6983 2:7					