

BEFORE THE ILLINOIS POLLUTION CONTROL BOARD

JOSEPH BOGACZ,	)	
	)	
Petitioner,	)	
	)	
vs.	)	No. PCB-96-47
	)	
COMMONWEALTH EDISON COMPANY,	)	
	)	
Respondent.	)	

The following is a transcript of a hearing held in the above-entitled matter taken stenographically by MICHELLE M. DOSE, C.S.R., a Notary Public within and for the County of Cook and State of Illinois, before JUNE C. EDVENSON, ESQ., Hearing Officer, at the Lake Zurich Village Hall, 70 East Main Street, Lake Zurich, Illinois, commencing at 10:00 a.m. on the 22nd day of November, 1996.

1 HEARING TAKEN BEFORE:

2

3

ILLINOIS POLLUTION CONTROL BOARD, by  
MS. JUNE C. EDVENSON, ESQ., Hearing Officer  
James R. Thompson Center  
100 West Randolph Street, Suite 11-500  
Chicago, Illinois 60601  
(312) 814-6930

6

7

8 APPEARANCES:

9

MR. JOSEPH BOGACZ, Petitioner  
30432 North Highway 12  
Round Lake, Illinois 60073  
(815) 385-3264

10

11

Appearing Pro Se;

12

13

HOPKINS & SUTTER, by  
MR. CHRISTOPHER W. ZIBART  
MR. E. GLENN RIPPIE  
Three First National Plaza  
Chicago, Illinois 60602  
(312) 558-4214

14

15

16

Appearing on behalf of the Respondent.

17

18

19

20

21

22

23

24

1	I N D E X	
2		
3	WITNESS	
4	BRIAN CRAMER	
		Page
4	Direct Examination by Mr. Zibart	8
5	Cross-Examination by Mr. Bogacz	10
6	WITNESS	
	JAROSLAV J. VOSTAL, M.D., Ph.D.	
7		Page
	Direct Examination by Mr. Zibart	22
8	Cross-Examination by Mr. Bogacz	48
	Redirect Examination by Mr. Zibart	69
9	Recross-Examination by Mr. Bogacz	70
10	WITNESS	
	MARK LORENZ	
11		Page
	Direct Examination by Mr. Rippie	72
12	Cross-Examination by Mr. Bogacz	87
13	COMPLAINANT'S CASE-IN-REBUTTAL	
14		Page
	Pro Se Case-in-Rebuttal by Mr. Bogacz	97
15		
16		
17	E X H I B I T S	
18	(Respondent's Exhibits marked for identification.)	
19		Page
	Respondent's Exhibit No. 16	24
20	Respondent's Exhibit No. 17	75
21	(Respondent's Exhibits admitted into evidence.)	
22		Page
	Respondent's Exhibit Nos. 13-16	71
23	Respondent's Exhibit No. 17	95
24		

1           THE HEARING OFFICER: Good morning and  
2 welcome. We are reconvened for the  
3 continuation of the hearing of PCB-96-47,  
4 Joseph Bogacz versus Commonwealth Edison  
5 Company, and we hope to conclude this  
6 morning.

7           We have two further witnesses by  
8 Respondent, and then I will give the  
9 Complainant an opportunity to present case in  
10 rebuttal.

11           Following that, we will discuss on the  
12 record the scheduling needs for the case prior  
13 to closure.

14           All right. We do have some persons in  
15 attendance, and I would like to distribute a  
16 pad of paper and ask the individuals that are  
17 in attendance to sign in for the day.

18           And I thought I would share with the  
19 persons present a little bit about the  
20 procedural history of the case.

21           The Board did deny a motion to dismiss  
22 the case in November 1995.

23           Is that correct?

24           MR. ZIBART: That's correct.

1           THE HEARING OFFICER: And following that,  
2           the parties were in discovery activities for a  
3           period of months and then agreed to this  
4           hearing date.

5           All right. Do we have any preliminary  
6           motions or stipulations?

7           MR. BOGACZ: I have an objection that I'd  
8           like to make at this time regarding a previous  
9           witness evidence.

10          THE HEARING OFFICER: And what is your  
11          objection, Mr. Bogacz?

12          MR. BOGACZ: Mr. Gary V. Johnson,  
13          Dr. Gary V. Johnson, testified regarding  
14          certain documentary evidence, certain  
15          calculations. He admitted that he did not  
16          make the calculations himself, and I feel that  
17          his testimony regarding that was hearsay.

18          The person that apparently did the  
19          calculations was a Brian Cramer, an employee  
20          of the Commonwealth Edison Company, and he was  
21          not here for me to examine him.

22          THE HEARING OFFICER: Okay. Thank you.  
23          Then your objection will be noted for the  
24          record.

1           MR. BOGACZ: Okay. I'd like to -- well,  
2           add to that, but the evidence or the testimony  
3           that he presented regarding those calculations  
4           be not allowed.

5           THE HEARING OFFICER: All right. That is  
6           a motion to strike testimony.

7           Do I have a response to the motion?

8           MR. ZIBART: Yes, Madam Hearing Officer.

9           I think the record would reflect that on  
10          cross-examination, Dr. Johnson explained how  
11          he, in fact, supervised and was actively  
12          involved in the calculations. I think he --  
13          As I recall it, he described how Mr. Cramer  
14          assisted him and actually did the printing out  
15          of the spreadsheets and so forth. So we would  
16          oppose the motion on that basis.

17          THE HEARING OFFICER: Thank you,  
18          Counsel.

19          MR. ZIBART: Madam Hearing Officer, just  
20          in the interest of full disclosure and  
21          avoiding any future problems in the case, I  
22          would mention that Mr. Cramer is present in  
23          the hearing room today. And if it would give  
24          anybody a sense of comfort to hear from him, I

1           could certainly call him very briefly as a  
2           witness.

3                       He was listed on our witness list, so I  
4           don't think there would be any procedural  
5           irregularity to that.

6                       THE HEARING OFFICER: Thank you,  
7           Counsel.

8                       All right. The motion to strike  
9           testimony is denied.

10                      The Board will determine the reliability  
11           of the testimony given in their deliberations  
12           on this case. Whether Respondent's counsel  
13           wishes to call Mr. Cramer as a witness is up  
14           to Respondent's counsel.

15                      Are there any further preliminary motions  
16           or stipulations?

17                      All right then. At this time, Respondent  
18           may call their next witness.

19                      MR. ZIBART: At this time, Respondent  
20           would call Brian Cramer as a witness.

21                      Is that satisfactory?

22                      THE HEARING OFFICER: Yes.

23                      Hi, Mr. Cramer. Would you please be  
24           sworn?

1 (Witness sworn.)

2 BRIAN CRAMER,

3 called as a witness herein, having been first duly sworn,  
4 was examined upon oral interrogatories and testified as  
5 follows:

6 DIRECT EXAMINATION

7 BY MR. ZIBART:

8 Q. What is your name, sir?

9 A. Brian, B-r-i-a-n, Cramer, C-r-a-m-e-r.

10 Q. And could you -- And are you employed, sir?

11 A. Yes.

12 Q. In what position?

13 A. I'm employed with Commonwealth Edison. My  
14 title is technical expert for induction coordination and  
15 electrical effects.

16 Q. And what are your duties in that position?

17 A. I do various studies of induction,  
18 electromagnetic/electrostatic induction, and various  
19 electrical effects, electric fields, magnetic fields,  
20 corona, ozone, other related things.

21 Q. Could you briefly describe your educational  
22 background?

23 A. I have a bachelor of science in electrical  
24 engineering from Lehigh University.



1 Q. Have you done any postgraduate training in  
2 electrical engineering or electromagnetics?

3 A. Yes. Many courses, both graduate level  
4 college courses, short courses, and specialty training.

5 Q. Do you hold any professional qualifications?

6 A. I'm a licensed professional engineer in the  
7 State of Illinois, electrical engineering.

8 Q. And are you a member of any organizations of  
9 electrical engineers?

10 A. I'm a senior member of the IEEE.

11 Q. Mr. Cramer, I'm going to show you what's  
12 already been received into evidence as Respondent's  
13 Exhibit 14. Could you take a look at that document,  
14 sir?

15 Do you recognize that?

16 A. Yes.

17 Q. And could you tell us what it is?

18 A. This is the document that we provided as  
19 output of the work that I did together with Dr. Johnson.

20 Q. Were you involved in doing the TL work station  
21 and AC/DC line module calculations?

22 A. Yes.

23 Q. And what was your role in that?

24 A. I ran the -- these various calculations,

1 copied them to Dr. Johnson, he reviewed them, and in some  
2 cases we ran them to verify all aspects of input and  
3 function.

4 Q. Is it fair to say that Dr. Johnson sent you  
5 some revisions on the calculations?

6 A. Yes.

7 Q. And did you make those revisions?

8 A. Yes.

9 Q. Would you describe yourself as familiar with  
10 the TL work station software and the AC/DC line module?

11 A. Yes.

12 Q. Could you give me an estimate of how many  
13 AC/DC line runs you've done?

14 A. Several hundred.

15 MR. ZIBART: I have no further questions  
16 for Mr. Cramer on direct examination.

17 THE HEARING OFFICER: All right.

18 Mr. Bogacz, do you have any  
19 cross-examination for Mr. Cramer?

20 CROSS-EXAMINATION

21 BY MR. BOGACZ:

22 Q. Mr. Cramer, did you consider or is there a  
23 component factor within the AC/DC line program that  
24 includes humidity in your -- in the calculations?

1           A.     There is a weather model.  You select one of  
2     the available weather models which are basically  
3     regional.  There is not the option to individually adjust,  
4     say, humidity separate from other variables.

5           Q.     So you -- would you agree that you did not  
6     make any, as quoted in the document, fair weather  
7     calculations of any kind that included the various levels  
8     of relative humidity?

9           A.     No, I wouldn't agree to that.

10           The model in determining corona provides -- it  
11     does the result -- it does the calculation, I should say,  
12     for various conditions.  One of them is a fair weather  
13     condition.  Another is referred to as average rain;  
14     another as maximum rain.  You could see that on the first  
15     page of Exhibit 14 in the bottom third of the page.  You  
16     can see the various outputs for the various conditions.

17           Q.     What is the kilowatt factor used for fair  
18     weather in your calculations?

19           A.     I'm not sure what you mean.

20           Q.     The factor that's used to determine the output  
21     of ozone.

22           A.     There are many.  I'm not sure what you're  
23     referring to.

24           Q.     Well, the one that's listed on that document

1 towards the end of the pages there where you list fair  
2 weather calculations for various voltages.

3 A. I'm still not sure which factor you're  
4 referring to. Can you refer to a page?

5 Q. I keep losing these documents.

6 MR. BOGACZ: Is it all right if I go over  
7 there and point it out to him?

8 THE HEARING OFFICER: Yes. You'll have  
9 to be more specific with your question.

10 MR. BOGACZ: Huh?

11 THE HEARING OFFICER: You will have to be  
12 more specific with your question.

13 MR. BOGACZ: Right.

14 MR. ZIBART: Mr. Bogacz, I have one more  
15 copy of this.

16 MR. BOGACZ: Oh, you have it. Thanks.

17 MR. ZIBART: We'll have to ask for it  
18 back.

19 MR. BOGACZ: Oh, sure. Thanks.

20 BY MR. BOGACZ:

21 Q. On -- well, for -- on page 2 --

22 A. The second page -- the second sheet or the  
23 page numbered page 2?

24 Q. It says page 2 with your name on it in the

1 back, the total ozone at the top. It says, total ozone,  
2 fair weather. It's a 138 kV double circuit.

3 A. Yes.

4 Q. Right below that, it says fair weather corona  
5 losses, zero kilowatt per mile.

6 THE HEARING OFFICER: Can you state your  
7 question?

8 BY MR. BOGACZ:

9 Q. The -- Is that the same figure that's stated  
10 in document number -- the EP -- the documents for the  
11 extraordinary losses and other sources of ozone?

12 I'm trying to get the documents straightened  
13 out here, and, unfortunately, I have to ...

14 The identification and characterization of  
15 missing or unaccounted for area source categories, are you  
16 familiar with that document that was submitted?

17 A. Yes.

18 MR. ZIBART: For the record, Madam  
19 Hearing Officer, I believe that's Respondent's  
20 Exhibit 6.

21 THE HEARING OFFICER: Thank you.

22 BY MR. BOGACZ:

23 Q. On page 2 -- 227 of that document, it states  
24 fair weather corona loss at 3 kilowatts per mile.

1 A. Which page?

2 Q. 227.

3 THE HEARING OFFICER: Could you restate  
4 your question?

5 BY MR. BOGACZ:

6 Q. Can you explain the difference in values that  
7 were -- that are stated in these two different documents?

8 A. For corona loss?

9 Q. Right.

10 A. As I recall, this -- yeah, this study,  
11 identification and characterization of missing or  
12 unaccounted for, et cetera, is looking at 765,000 volt  
13 transmission lines. They apparently have modeled a  
14 specific configuration that they feel is representative  
15 and come up with a fair weather corona loss level of  
16 3 kilowatts per mile.

17 The sample that you referred to in Exhibit 14  
18 is for a 138,000 volt double circuit transmission line.

19 Q. Could you look on page 1 of the calculations  
20 with your name on it down at the bottom?

21 A. Again, total ozone for fair weather?

22 Q. Yes. It says 765 kV?

23 A. Uh-huh.

24 Q. And the fair weather corona loss is stated as

1 zero kilowatts per mile?

2 A. Yes.

3 Q. What -- why -- why is there a difference? You  
4 just stated that the other document was calculated at 765  
5 and -- as opposed to 138, but your calculations still  
6 reflect the same corona loss.

7 Is that a correct figure for that 765 kV?

8 A. The zero kilowatt per mile in our -- in our  
9 calculations?

10 Q. Right.

11 A. Yes, that is.

12 Q. Even though it's stated as 3 kilowatt per mile  
13 in the EPA document on page 227?

14 A. We've suddenly -- We've changed subjects  
15 here. These are, in fact, the same voltage, but that does  
16 not mean that other aspects of these lines are the same.  
17 A minute ago we were looking at a 138 line, which is  
18 radically different, of course.

19 You can still have -- There are many factors,  
20 I should say, that affect corona loss. We use a different  
21 bundle conductor spacing. We may well be using different  
22 conductors. I don't know the configuration of what the  
23 EPA model -- they don't give that detail in here.

24 Our number of a fair weather corona loss is as

1 designed zero kilowatts per mile for our lines, and that's  
2 correct.

3 Q. So you'd say that the calculation that you  
4 made is not really correct per the EPA determination?

5 A. No, I wouldn't say that at all. The EPA was  
6 not looking at our lines. Our lines I don't believe were  
7 built at the time that this was done.

8 Q. Did you use the average ozone production to  
9 corona loss ratio of 1.92 grams per kilowatt an hour?

10 A. Yes, uh-huh.

11 Q. Why did you -- why do you consider that a --  
12 an appropriate figure if you did not use the 3 kilowatt an  
13 hour per mile figure for your calculations?

14 A. Those two things are unrelated. One is the  
15 corona loss for the line, and then the other is the  
16 conversion factor that you use to get from corona loss to  
17 quantity of ozone. You can have a line that has higher  
18 corona loss and a line that has lower corona loss. You  
19 still use the same conversion factor.

20 Q. Where did you obtain zero kilowatt per mile?  
21 How did you make that -- or where did you obtain that  
22 figure?

23 A. For the 765 kV line now?

24 Q. Yes.



1 A. If you go back to the --

2 Q. Or any of them, actually. They are all zero  
3 for 765, 138.

4 A. For fair weather, they are all zero.  
5 If you look at the first sheet of Exhibit  
6 14 --

7 Q. First sheet?

8 A. Yes.

9 Q. Okay.

10 A. This is the output per AC/DC line for the  
11 765 kV transmission line. It shows all the details of the  
12 model that we used, conductor type, location, voltages.

13 And at the bottom, you can see the corona loss  
14 results for the various weather models that the program  
15 used for our region. And you can see the average fair and  
16 maximum fair is zero. That's where that number came from.

17 Q. Does this page state anything about fair  
18 weather calculations?

19 A. It says that the corona loss in fair weather  
20 is zero for this type of line.

21 Q. But there's no evidence of describing how you  
22 came about obtaining zero, is there?

23 A. All the inputs are shown on this page. Beyond  
24 that, beyond evidence of the accuracy of this computer

1 model, that's not shown on this page.

2 THE HEARING OFFICER: Excuse me.

3 I think what Mr. Bogacz is attempting to  
4 get at is whether the zero for fair weather is  
5 an assumption or a calculation you arrived at  
6 through scientific measurement.

7 Can you tell us which it is?

8 THE WITNESS: It is a calculation.

9 As was described by Dr. Johnson  
10 yesterday, this computer modeling system was  
11 based on a great deal of research and  
12 measurement, and it is accepted in the  
13 industry as an accurate way of calculating  
14 corona loss for a line design.

15 THE HEARING OFFICER: And it itself was  
16 based on calculations of the amount of fair  
17 weather?

18 THE WITNESS: Calculations and  
19 measurements that went into validating that  
20 software package.

21 THE HEARING OFFICER: Thank you.

22 BY MR. BOGACZ:

23 Q. Was this document -- or are these calculations  
24 ever submitted to the U.S. EPA or IEPA?

1                   MR. ZIBART: I'll object as beyond the  
2                   scope of direct.

3                   THE HEARING OFFICER: Sustained.

4 BY MR. BOGACZ:

5                   Q.     Are these -- So in your estimation, these  
6                   calculations that you made generally indicate a major  
7                   deterioration of ozone under foul weather or very rainy  
8                   conditions?

9                   MR. ZIBART: I'll object to that also as  
10                  beyond the scope of direct.

11                  Madam Hearing Officer, I put a witness on  
12                  yesterday who testified about this model and  
13                  who testified about the results of the model,  
14                  and he was subject to cross-examination.

15                  I have put Mr. Cramer on to verify as to  
16                  how the actual calculations were made, but I  
17                  did not ask him any questions nor do I think  
18                  it's proper about interpreting the results  
19                  that the model came up with.

20                  THE HEARING OFFICER: What is your  
21                  response to the objection?

22                  MR. BOGACZ: Brian Cramer's name is on  
23                  the report, and he is the one that apparently  
24                  made the calculations. So, therefore, he

1           should be able to answer any specific detailed  
2           information that he has or used to obtain  
3           these calculations; otherwise, they are  
4           completely conclusion, and they'd be  
5           arbitrary.

6           THE HEARING OFFICER: Thank you.

7           The objection was made as to a specific  
8           question asked of Mr. Cramer, and the  
9           objection is sustained.

10       BY MR. BOGACZ:

11           Q.     What really is the purpose of this document,  
12       Mr. Cramer, in your estimation? I mean, why did you make  
13       all these calculations?

14           A.     Because there were questions -- I believe it's  
15       called an interrogatory -- that we received on this case  
16       that we did not have the answers to on file, so we did  
17       this.

18           Q.     So this was done at the -- at my request for  
19       information --

20           A.     Yes.

21           Q.     -- basically?

22           A.     Yes.

23           Q.     So it's a fairly recent report --

24           A.     Yes.

1 Q. -- or calculation?

2 Has it ever -- To your knowledge, has it ever  
3 been done before?

4 A. I don't think it's been done this way before.  
5 I mean, ozone calculations have been done in the past,  
6 mostly back in the late 70s. But exactly in this form and  
7 format, I don't believe so.

8 Q. And back in the late 70s, who did those  
9 calculations?

10 A. Many different people. A lot of that's --

11 Q. I mean, could you name a specific company or  
12 individual or ...

13 A. I could name many. Commonwealth Edison, IIT  
14 Research Institute, The Power Administration, and many  
15 more.

16 Q. But no governmental agency?

17 A. Governmental agencies as well, yes.

18 THE HEARING OFFICER: Mr. Bogacz, I'm  
19 going to ask you to limit your questioning to  
20 the subject of the direct.

21 MR. BOGACZ: That's all I have right now.

22 THE HEARING OFFICER: All right. Is  
23 there any redirect?

24 MR. ZIBART: No, there's not.

1 THE HEARING OFFICER: All right. Thank  
2 you very much, Mr. Cramer.

3 The Respondent can call their next  
4 witness.

5 (Comments off the record between parties.)

6 THE HEARING OFFICER: We remain on the  
7 record.

8 Will Respondent call their next witness?

9 MR. ZIBART: The Respondent will next  
10 call Dr. Jaroslav Vostal.

11 THE HEARING OFFICER: The witness may  
12 now be sworn.

13 (Witness sworn.)

14 JAROSLAV J. VOSTAL, M.D., Ph.D.,  
15 called as a witness herein, having been first duly sworn,  
16 was examined upon oral interrogatories and testified as  
17 follows:

18 DIRECT EXAMINATION

19 BY MR. ZIBART:

20 Q. What is your name, sir?

21 A. Jaroslav, J-a-r-o-s-l-a-v, middle initial J,  
22 last name, V, as in Victor, o-s-t-a-l.

23 Q. And what do you do for a living, sir?

24 A. At present, I am the principle and the senior

1 medical advisor for the Environmental Health Assistant  
2 Consultants in Bloomfield Hills, Michigan.

3 Q. And what does your company do?

4 A. Practically, we are responding to all requests  
5 for evaluating the potential health effects due to  
6 environmental pollutants.

7 Q. Could you describe your educational  
8 background?

9 A. Yes. My background is in medicine primarily.  
10 I got my medical degree in 1951, and I got my Ph.D. degree  
11 in occupational environmental health in 1961.

12 Q. And could you just briefly describe some of  
13 the positions you have held over the years?

14 A. Yes. Shortly after I have completed my  
15 residency and my boards in internal medicine, I returned  
16 back to do research, research which has been aiming  
17 specifically to the questions of the health impacts of  
18 different environmental factors.

19 Practically since 1955, that means more than  
20 40 years, I have been working as a research investigator,  
21 educator, consultant, and medical doctor in different  
22 functions up to the year 199 -- the end of the year 1992  
23 when I have returned to this private consulting  
24 occupation.

1 Q. Dr. Vostal, have you prepared a curriculum  
2 vitae with more detail on your professional  
3 qualifications?

4 A. Yes, I have provided it.

5 Q. And I'm handing you a document, sir, that's  
6 been marked --

7 THE HEARING OFFICER: That will be  
8 Respondent's No. 16.

9 (Respondent's Exhibit No. 16  
10 marked for identification.)

11 BY MR. ZIBART:

12 Q. (Continuing.) -- Respondent's Exhibit No. 16.  
13 Is that your curriculum vitae, sir?

14 A. Yes, it is.

15 Q. And if I were to ask you more specific  
16 questions regarding your experience and qualifications,  
17 would your answers be consistent with that curriculum  
18 vitae?

19 A. Yes.

20 Q. Do you have any experience during your  
21 professional career with the health effects of ozone?

22 A. Yes. Practically, when I have started my  
23 major research interests and major activities, it started  
24 in fluoride when I was the member of the National Academy



1 of Sciences, committee on the biological effects of air  
2 pollutant in the 1970s --

3 MS. REPORTER: I'm sorry. I'm having a  
4 little bit of a problem.

5 THE WITNESS: Sorry. I will slow down.

6 MS. REPORTER: Okay. Great.

7 THE HEARING OFFICER: Okay. Let's go  
8 back.

9 BY THE WITNESS:

10 A. (Continuing.) -- in the 1970s when I was with  
11 fluorides, and then later it changed to the heavy metals;  
12 after that, to the health effects of gaseous pollutants in  
13 connection with the exhaust of vehicles.

14 THE HEARING OFFICER: That is health  
15 effects, not heart effects?

16 THE WITNESS: No, health.

17 THE HEARING OFFICER: Health?

18 THE WITNESS: Health, yes, health effects  
19 of it.

20 BY THE WITNESS:

21 A. And this was the time when I started to be  
22 active in the question of ozone.

23 THE HEARING OFFICER: Did you say health  
24 effects of carbon monoxide?

1 THE WITNESS: Ozone. It was involved in  
2 it, but ozone was the last one.

3 THE HEARING OFFICER: Ozone.

4 And prior to that, health effect of what?

5 THE WITNESS: Heavy metals, carbon  
6 monoxide.

7 THE HEARING OFFICER: Carbon monoxide?

8 THE WITNESS: Yes.

9 THE HEARING OFFICER: Thank you.

10 BY MR. ZIBART:

11 Q. As to ozone, Dr. Vostal, do you have any  
12 experience with lab tests on people as to the effects of  
13 ozone?

14 A. Yes.

15 Q. Could you describe those and that experience?

16 A. I have been for about 20 years the department  
17 head of a research facility which was specifically devoted  
18 to do some studies related to the different pollutants.  
19 Ozone was one of them. We have done studies on animals as  
20 well as studies on human volunteers.

21 Q. Are you familiar with the medical literature  
22 on exposure to ozone?

23 A. Yes. I have been keeping myself abreast with  
24 all the literature data which have been either presented

1 in scientific meetings or published in the review  
2 literature.

3 Q. Are you familiar with the epidemiological  
4 studies regarding public exposure to ozone?

5 A. Yes. We have been reviewing some of those  
6 studies since about 1978, and we have been doing also the  
7 specifics, that is, where the people have been exposed in  
8 laboratory conditions to the very low concentrations of  
9 ozone while they were exercising.

10 Q. Dr. Vostal, have you participated in any of  
11 the United States Environmental Protection Agency's  
12 committees dealing with ozone?

13 A. Not specifically with ozone; but when the U.S.  
14 Environmental Protection Agency started to produce the  
15 second version of something which is called Air Quality  
16 Criteria document for ozone and for the chemical oxidants,  
17 which was approximately in 1978, I have been involved in  
18 many meetings with professional colleagues at the  
19 Environmental Protection Agency. And I was involved in  
20 many discussions. I have organized several meetings and  
21 several sessions dealing with the problem, how to  
22 evaluate, how it affects ambient ozone concentrations, up  
23 to recently.

24 The last meeting which I have organized was

1 the special conference on the critical issues in the  
2 laboratory process of tropospheric -- tropospheric ozone  
3 which was held in 1995 in Orlando, Florida. I was also  
4 the editor of the proceedings which came out from the  
5 conference.

6 Q. Dr. Vostal, other than the background that  
7 you've discussed, how have you prepared specifically for  
8 your testimony today?

9 A. Concerning -- I had the possibility to see  
10 written complaints which were submitted in this case, and  
11 I have been also able to review the issue of the potential  
12 contribution to the ambient ozone coming from the  
13 transmission lines with high voltage when they are in  
14 operation. And, specifically, I have seen also the data  
15 which were produced by Dr. Johnson in cooperation with his  
16 colleagues.

17 Q. I'd like to ask you some questions about  
18 the -- sort of some information about ozone generally.

19 Can you tell the Board what happens when  
20 people are exposed to high concentrations of ozone?

21 A. Yes. There is no question that ozone in high  
22 concentrations is a very powerful toxin for the  
23 respiratory system. We have seen cases -- those cases  
24 occurred primarily in some occupational exposures -- where

1 people who have been exposed to concentrations higher than  
2 maybe 10, 50 or 100 PPM and suffered from it such a big  
3 damage to their respiratory system that they have died.  
4 Those cases are published in the literature.

5 Q. How is it medically speaking that ozone hurts  
6 people?

7 A. Well, since as you have already heard in the  
8 previous testimony, ozone is a very powerful oxidant; and,  
9 therefore, it is prepared to react with any type of  
10 available molecules, including the biological tissues. If  
11 ozone is inhaled in high concentrations, it overcomes the  
12 natural defense mechanisms which could prevent some  
13 effects of ozone at very low concentrations. It  
14 penetrates deeply into the respiratory system, corrodes  
15 the lining of the respiratory airways, and practically  
16 permits that the fluid which is circulating in the  
17 interstitial space -- that means a space which is between  
18 the blood vessels and between the tissue -- could really  
19 penetrate into the respiratory airways and generate  
20 conditions which we call in clinical medicine as pulmonary  
21 edema.

22 Q. Do scientists observe the same effects at  
23 lower concentrations of ozone?

24 A. No. This is really where it all started

1 considering that we have had some experience from the  
2 occupational exposures to high concentrations.

3           When the Environmental Protection Agency was  
4 reviewing the air quality standard for ozone in 1978,  
5 there have been some members of the scientific community  
6 who were very much concerned that even the low  
7 concentrations of ozone, when they penetrate, again, deep  
8 into respiratory airways, could accumulate there and  
9 result in some type of an injury. It is not the same type  
10 of injury which is being produced by the high  
11 concentrations, but it is the injury which probably could  
12 really give the chance that we can observe the process  
13 like inflammation which could finally when it is not  
14 treated lead to some even permanent effects on the  
15 respiratory airways.

16           Now, those were the concerns which we have had  
17 in 1970s. You know, science is not a static system. We  
18 are developing continuously new data; and with the  
19 development of the data, we have learned that, first of  
20 all, within the respiratory system, there are some  
21 defensive mechanisms, mainly the special lining of the  
22 upper respiratory airways which is producing material  
23 which is called mucus. This mucus could function as a  
24 sink for the concentrations of ozone which are very low.

1 And if the rate of the intake of the ozone is not very  
2 high, then the mucus could practically bind to the ozone.  
3 And since the mucus is continuously being replaced by a  
4 new one, it doesn't really have the possibility to  
5 penetrate to the sensitive cells of the respiratory  
6 system. It is only when we are exposed either to high  
7 concentrations or if we are doing some heavy physical  
8 exercise.

9 In that case, at least with the help of very  
10 sensitive methods, like methods which are being used for  
11 measurement of the pulmonary function, it has been  
12 described that the people who are exposed, even the  
13 concentrations which are compatible with the levels of  
14 ozone to be found in American cities, could under the  
15 conditions of heavy exercise produce some results which  
16 are statistically different from those before the person  
17 has been exposed to the ozone. That data have been very  
18 intensively reviewed by the Environmental Protection  
19 Agency.

20 Since, as you probably know, the Clean Air Act  
21 amendments of 1977 mandate that starting with 1980 with a  
22 period of every five years, the Environmental Protection  
23 Agency is supposed to produce a new document, Air Quality  
24 Criteria document, which is prescribed. Based on the

1 production of such a product, the EPA Office of the Air  
2 Quality Planning and Standards then writes something which  
3 is called Assessment of the Scientific and Technical  
4 Information in connection with the version of the ozone  
5 standard. And this is a document which is finally going  
6 to the desk of the EPA administrator for the decision if  
7 the current ambient air quality standard should be changed  
8 or should be kept in the form and at the level as it has  
9 been set last time, which was in 1979.

10 In 1979, the Agency decided to relax the  
11 standard. Originally, the standard was set up in 1971 at  
12 the level of 80 parts per billion. And it stated that  
13 this is the level which in one hour should not be exceeded  
14 in any of the counties of the United States for more than  
15 once per year. Whenever it is exceeded for the second  
16 time, then such an area is becoming an area which is out  
17 of the compliance with the air quality standard for ozone.

18 And as a consequence, the local authorities  
19 have to prepare a special plan how to work on the  
20 reduction of the ozone concentrations.

21 Q. Okay. You've given us a lot to think about  
22 there. I'm going to bring out a couple of points that you  
23 made.

24 Can you tell the Board what concentrations of



1 ozone are considered background levels?

2 A. Yes. This is a very important issue which was  
3 very intensely discussed in connection with the  
4 preparation of the latest update of the Air Quality  
5 document. This was started in the year 1992, and,  
6 finally, it was completed in July 1996.

7 During the meetings which we have had with our  
8 colleagues at EPA -- and when I'm talking about we, that  
9 means the general scientific community -- we have been  
10 invited for public hearings, we have been invited to  
11 provide comments, and there has been very intensive  
12 discussion how significant is the generation of ozone by  
13 normal processes which are occurring in the environment,  
14 even without any human activities.

15 It has been finally concluded in our  
16 discussions that we can differentiate between so-called  
17 biogenic generation of ozone, which is the generation of  
18 ozone, practically by the same mechanism as we have been  
19 describing in the previous testimony. That means if there  
20 is a substrates, a precursor, present in the air and those  
21 precursors are coming from two classes of chemical  
22 compounds, the first one is nitrogen -- are the nitrogen  
23 oxides, specifically the nitrogen dioxide.

24 If a nitrogen dioxide is present, then through

1 the activity of the UV radiation, it could finally be  
2 exposed to a process which is called photolysis and  
3 produce the nitric oxide, which is NO. That means a  
4 molecule which has only one atom of nitrogen and one atom  
5 of oxygen in contrast with the nitrogen dioxide which has  
6 one atom of nitrogen and two atoms of oxygen.

7 That means that by that is generated one atom  
8 of oxygen which is in a state that it could be very  
9 actively reacting with any type of the substrate which  
10 could be found in the air. Obviously, there is oxygen  
11 present in the air. So if there is a molecule of oxygen,  
12 this ground atom of oxygen connects with the molecule and  
13 forms O<sub>3</sub>; that means ozone.

14 And if this is a process which is going on and  
15 we can duplicate it in laboratory conditions, then we  
16 assume that finally it comes to some type of a state of  
17 the balance. We call it steady state. And by that, we  
18 are seeing that all the ozone molecules which have been  
19 generated could, again, react back with the nitric oxide  
20 and to form the nitrogen dioxide.

21 Now, this happens only when there is nitrogen  
22 dioxide present there without any other chemicals in the  
23 air. Unfortunately, we know that there are many plants  
24 which are continuously emitting, you know, some

1 hydrocarbons. And it is mainly this presence of the  
2 hydrocarbons which can, you know, reinstate the formation  
3 of the nitrogen dioxide so that it could be, again,  
4 exposed to the radiation and become a new source of  
5 ozone.

6           Due to the presence of this second substrate,  
7 which is the volatile organic compounds, hydrocarbons, it  
8 is, therefore, that we are not seeing a formation of a  
9 steady state, but there could be a continuous formation of  
10 ozone up to levels which are higher.

11           When this issue has been discussed, then based  
12 on the inventories which are presented also in the latest  
13 edition of the Air Quality Criteria document, it has been  
14 computed that surprisingly those biogenic activities, that  
15 means biogenic sources of ozone, are at least the same  
16 size if not larger than all the human activities which are  
17 producing the ozone.

18           Therefore, we know that even if he stopped to  
19 generate any additional precursors of ozone, we will be  
20 always facing some certain background level of ozone.  
21 The document concludes that these background levels of  
22 ozone are at the concentrations of approximately 250 to  
23 450 parts per billion of ozone.

24           Now, the ozone could be in some places even

1 higher than this one. I said the 25 to 45 -- no -- 250 to  
2 450 parts per billion is the average level.

3 We know that we have also in the stratosphere  
4 high concentrations of ozone which are very protective  
5 which are protecting us against very intensive UV  
6 radiation, mainly in the area of very short, you know,  
7 wavelengths. And sometimes these concentrations of the  
8 stratospheric ozone could penetrate down to the  
9 troposphere and come even to the earth surface. And for a  
10 period which could be maybe one hour, maybe four hours,  
11 could increase this background concentrations up to a  
12 level which could be at about -- when we were talking  
13 about 25 to -- excuse me -- what -- I have probably  
14 misquoted the data. It was 25 to 45 parts per billion.  
15 And we can find even some levels like 60 up to the 100  
16 parts per billion of ozone even without any other human  
17 activities.

18 Q. Now, Dr. Vostal, what is the current federal  
19 ambient standard that counties and states are trying to  
20 attain?

21 A. The ambient air pollutant standard at present  
22 is at the level of 120 parts per billion as a one-hour  
23 standard which should not be exceeded more than once in a  
24 year.

1           Q.     Now, does that mean that the EPA has concluded  
2     that 120 parts per billion will hurt everyone?

3           A.     Now, as you know, the level of the ambient air  
4     quality standard as it is mandated by the Clean Air Act  
5     legislation says that the U.S. EPA administrator should  
6     consider as an ambient air quality standard such a level  
7     which -- of which the attainment and maintenance in the  
8     judgment of the administrator and including even some  
9     margin of safety should not -- should not really result in  
10    any damage to the public health.

11                     Now, this is really a very function of the  
12    administrator to make the final decision, first of all,  
13    what is the relationship between the concentrations of  
14    ozone and something which would be measured as a health  
15    effect, and it must be also decided by the administrator  
16    what should be considered as an adverse health effect.  
17    And this is not a very easy situation. This is the reason  
18    that we have been so frequently meeting in the scientific  
19    community and discussing those issues.

20                     As I said before, if we had thought in 1970s  
21    that even some low concentrations of ambient ozone can  
22    produce some injury to respiratory airways, it seems that  
23    the most recent data, even the data which has not yet been  
24    published, but have been presented at the scientific

1 meetings, seems to indicate that the results of the  
2 testing where we are using this pulmonary function methods  
3 which we consider still that this is the most sensitive  
4 method of how to measure the accurate effects of ozone,  
5 might not be due to the fact that there is some injury  
6 being done by ozone to the sensitive cells, but could be  
7 only some type of irritation of sensitive receptors in the  
8 respiratory airways which are warning the exposed person  
9 that the exposed person should not take a full deep breath  
10 which is needed for testing the pulmonary function.

11 By that, we are having some data which are  
12 indicating that when we used a simple dose of an  
13 anesthetic -- anesthetic, that means a compound which is  
14 being used in the medical profession to take away the pain  
15 when people, for example, have to go through some  
16 surgeries -- if we are using a very low level of the  
17 anesthetic and we apply it to the respiratory tract of  
18 those people, then they are exposed to ozone. They are  
19 not displaying the effects, which have been shown when  
20 they have not been anesthetized before.

21 This indicates that rather than to be talking  
22 about that we are considering a process which would really  
23 produce adversity, which could result in some even  
24 permanent damage to our breathing, that we are seeing only

1 something which is a temporary interaction and which is  
2 relatively insignificant from the clinical point of view.

3           This has really been changing the view -- as I  
4 said, those are the data which have not yet been even  
5 included into the most recent Air Quality Criteria  
6 document because they have not yet been published, they  
7 have not yet been adequately discussed, and, therefore,  
8 they have to wait for the next revision of the document  
9 and of the standard probably in the next five years.

10           Q.     I think one of the factors you mentioned  
11 before was the level of exercise.

12                     Can a person at rest be exposed to higher  
13 levels of ozone without adverse effect?

14           A.     Yes.  As a matter of fact, it is very clearly  
15 stated in the Air Quality Criteria document that the  
16 people if they are at first surprisingly, they can  
17 tolerate relatively high concentrations of ozone.

18           Q.     And what kind of concentrations are you  
19 talking about?

20           A.     Concentrations which could be tolerated for  
21 maybe one or two hours without any effect on the  
22 performance of the pulmonary function tests would be as  
23 high as 500 parts per billion of ozone.

24           Q.     And what about on the other extreme like

1 someone running?

2 A. Now, obviously when you start with physical  
3 exercise, there's effect levels. That means there's  
4 thresholds which we can observe which are well described  
5 in the literature are becoming lower and lower. But  
6 still, even when we consider such an intensive physical  
7 exercise as it is running off a marathon where we see that  
8 the ventilation rate could exceed levels which are  
9 extremely high like 60 liters per minute, that even at  
10 that level, it must be point -- it must be 160 parts per  
11 billion of ozone present before we can observe any impact  
12 on the performance of pulmonary function tests.

13 Q. Now, 160 parts per billion is higher than the  
14 120 parts per billion standard that you mentioned.

15 A. Yes.

16 Q. Why would they -- Why would the government  
17 choose a standard lower than the 160 parts per billion?

18 A. As I have mentioned, the mandate of the Clean  
19 Air Act requires that the administrator must consider even  
20 something which we call margin of safety. And since we  
21 know that what we are listing here, those levels, are  
22 applicable to the group of the people, there could be  
23 sensitive individuals which could be a little more  
24 reactive than the others and maybe to display even, you



1 know, the same small decline in the respiratory function  
2 performance when exposed to a level as low as .120. That  
3 means 120 parts per billion.

4 Q. Are you aware that the Environmental  
5 Protection Agency monitors ozone levels in the various  
6 counties?

7 A. Yes. There's an extensive air sampling  
8 network which is all over the United States. This is the  
9 system of stations which are either operated directly by  
10 the EPA or operated through the local regulatory agencies  
11 and reporting all the data to one single center in the --  
12 in North Carolina where the data are being processed and  
13 evaluated every year.

14 Q. And do you know how high the level must be  
15 before the EPA considers it a violation of the ambient  
16 standard?

17 A. Obviously, this all depends on the sensitivity  
18 of the methods which we have available for this  
19 monitoring. Those stations which are just, you know,  
20 distributed all over the United States are using now  
21 mainly some UV methods which are capable to measure the  
22 concentrations of ozone in very short periods of time.  
23 But then since the standard is defined as a one-hour  
24 average concentration, they are integrated into the

1 periods of one hour, and those levels are being reported  
2 to the EPA center in North Carolina.

3 Q. Okay. And is there a number that they use --  
4 I think you said 120 is the standard.

5 A. 120 is the standard. But, you know, the  
6 operation procedure which is described in the Federal  
7 Register states that the sensitivity of the method is  
8 probably to measure about one parts per million. But the  
9 stability of the zero is not capable to do anything more  
10 than to measure the differences by five parts per  
11 billion.

12 So it is stated that we are considering that  
13 the standard has been violated only when the reading of  
14 this monitor has been changed from 120 parts per billion  
15 to the 125 parts per billion. Only when the 125 parts per  
16 billion reading occurs, then it means that this is a  
17 violation of the standard. And if it occurs on the  
18 average during the three years more than twice in a year,  
19 that county is out of compliance.

20 Q. Dr. Vostal, do you know, does the EPA regulate  
21 directly individual sources of ozone?

22 A. As you can really see, even as described in  
23 the Air Quality Criteria document, we consider ozone as a  
24 secondary pollutant. That means we are not really, you

1 know, aware that there is any substantial source which is  
2 producing ozone directly into the air and that the ozone  
3 which is being measured in our monitoring stations are all  
4 due to the fact that it is the effect of the UV radiation  
5 on the precursors which are present in the air.  
6 Therefore, the activity of the agencies, if they want to  
7 reduce the levels of ozone, it's not aimed directly on any  
8 specific sources of ozone, but they are concentrating on  
9 reducing the substrates; that means the precursors, like  
10 the hydrocarbons or the nitrogen oxides.

11 Q. What is a state implementation plan?

12 A. Oh, state implementation plan is a plan which  
13 according to the federal regulation must be submitted by  
14 all states to EPA. And if the state has some areas which  
15 are out of the compliance, it should indicate to the  
16 federal agency what are the processes by which the state  
17 plans to reduce the levels of the ozone in that state.

18 Q. Do you know of any state implementation plans  
19 that seek to reduce ozone from transmission lines?

20 A. No. I have not seen, you know, the  
21 transmission lines as any source of ozone either in any of  
22 the state implementation plans or even in the Air Quality  
23 Criteria document.

24 Q. Dr. Vostal, based on your research and review

1 of the documents regarding Com Ed's transmission lines,  
2 have you been able to form a professional and medical  
3 opinion as to whether ozone from transmission lines is a  
4 significant public health issue?

5 A. Yes.

6 Q. And what is your opinion?

7 A. Practically, it is not different from the  
8 opinion which has been formed already by other authors  
9 and/or even some type of regulatory agencies like  
10 Department of Energy.

11 When they have evaluated what could be the  
12 contribution of the transmission lines as a source of the  
13 ozone, it has been concluded that the levels which are  
14 being produced are too small to be considered -- that  
15 could be really be a substantial factor in generating  
16 concentrations of ozone which would be harmful to human  
17 health.

18 As you -- As we have heard, even the  
19 calculations done by Dr. Johnson are coming to the point  
20 that they can estimate a contribution like which will  
21 result in a concentration at the level of a fraction of  
22 the parts per billion. It's easy to indicate that we are  
23 beyond the limit of the sensitivity of the method which is  
24 being used to establish the compliance with the ozone

1 standard since, as I said before, it must be a difference  
2 of about five parts per billion, between 120 and 125 parts  
3 per billion, before we can really say that the monitor or  
4 the county is out of the compliance with the ozone  
5 standard.

6           And in comparison with it, the level as small  
7 as .5 parts per billion is so low that it cannot really be  
8 resulting any -- in any significant impact on public  
9 health.

10           The second aspect to be mentioned as we were  
11 discussing a while ago, the levels of the biogenic ozone  
12 which are estimated to be at least even in the complete  
13 absence of human activities, at levels of about 25 to 45  
14 parts per billion. Then even for that, it is really such  
15 a small contribution, that it could not really be  
16 responsible for any potential impact on public health.

17           Q.     Based on Dr. Johnson's calculations, do you  
18 have an opinion as to whether Commonwealth Edison's  
19 transmission lines are causing a medically significant  
20 increase in the amount of ozone to which the public is  
21 exposed?

22           A.     No, since practically what is very important  
23 to remember and what we have heard from Dr. Johnson that  
24 there is a large difference in the generation of ozone by

1 transmission lines between the foul weather and between  
2 the fair weather.

3 Now, if he should be considering that there  
4 might be a possibility that the -- even the small amounts  
5 generated by the transmission lines could aggravate the  
6 existing, you know, pollution which is in a specific site  
7 or at a specific time, we have to keep it in mind that we  
8 know, as we said, that ozone is a pollutant which is  
9 absolutely limited only to the daytime period and only to  
10 the warm months of the year. As a matter of fact, all of  
11 the elevation of the ozone pollution are not considering  
12 the total year. They usually are considering only the  
13 months when the ozone generation is by -- by the UV  
14 radiation from the substrates is highest. It means a  
15 period maybe between May up through the end of the  
16 September.

17 From this point of view, those are the months  
18 where we are really having most of the weather under fair  
19 conditions. If the generation of ozone by transmission  
20 lines, even if it is small, is occurring mainly during the  
21 bad weather conditions, mainly during the winter months,  
22 then obviously we are seeing, again, a difference that  
23 means that we could not expect that on the days when there  
24 is a high solar radiation, that there will be any

1 production of the transmission line; and if there is ozone  
2 being produced from the precursors, then there is no  
3 contribution.

4 If it is in the bad weather where there is no  
5 solar radiation, then the amounts which are being produced  
6 by the transmission line are so small, that they are  
7 completely negligible in consideration of potential public  
8 health effects.

9 Q. Is someone's health at risk due to ozone  
10 exposure because they live near a transmission line?

11 A. If the -- It can really depend on the  
12 measurements. If -- It depends mainly what is the  
13 concentration of the ozone from all sources. It doesn't  
14 exclude that if you are living somewhere near transmission  
15 lines and there are many other sources of the substrates  
16 for generation of ozone, that you can really have levels  
17 which could even violate the standard; but they are based  
18 on the data which have been presented by Dr. Johnson and  
19 based on the data which have been published before that  
20 even in the literature. There is a very good consistency  
21 with the other data that there could not be any effect  
22 whatsoever by such a small generated amount of ozone.

23 MR. ZIBART: I have no further questions  
24 for Dr. Vostal.

1 THE HEARING OFFICER: Let's take a  
2 five-minute break now, and then we will have  
3 cross-examination.

4 THE WITNESS: Thank you.

5 (A short recess was taken.)

6 THE HEARING OFFICER: We are back on the  
7 record now.

8 And, Mr. Bogacz, would you like to ask  
9 the doctor any questions on cross-examination?

10 CROSS-EXAMINATION

11 BY MR. BOGACZ:

12 Q. Dr. Vostal, you say -- you said during your  
13 testimony that you were on a committee with the U.S. EPA  
14 putting in some input regarding the Air Quality Standard  
15 Criteria?

16 A. Yes.

17 Q. Specifically, what was your input?

18 A. I have mentioned it already here during our  
19 discussion. It was mainly to point out what is the most  
20 recent development of the science. And I feel that the  
21 data of clinical experiment, which I have mentioned, that  
22 means the one in which a low dose of an anesthetic has  
23 been used before exposure to ozone and took away all the  
24 symptoms, took away all the declines in the pulmonary



1 function performance.

2                   It's very important for us to consider and  
3 very important for the EPA administrator to recognize that  
4 it might not really be considered as an adverse health  
5 effect, but it could be considered as maybe a typical  
6 documentation that we have some natural defense mechanisms  
7 in our system. We have some receptors which are telling  
8 us that something unknown is coming into our respiratory  
9 system, and, therefore, this is telling us even  
10 subconsciously that we should not take the very deep  
11 breath.

12                   And this is the one of the important aspects  
13 of consideration of how to evaluate the potential impact  
14 of low levels of ozone as we are having in the United  
15 States now.

16                   THE HEARING OFFICER: All right. If  
17 you could try to be as brief in your response  
18 as is appropriate for the question, then we  
19 will be able to proceed.

20 BY MR. BOGACZ:

21                   Q. Along with the -- Was there any input  
22 regarding ozone produced by transmission lines presented  
23 to the U.S. EPA regarding Air Quality Standard Criteria  
24 document?

1           A.     No, during the meetings in which I have  
2 attended.

3           Q.     I believe you mentioned acid rain or  
4 possibly. Do you know what acid rain is?

5           A.     Yes.

6           Q.     Is that a product of pollutants in the air,  
7 including ozone?

8           A.     Not specifically ozone. It is mainly  
9 connected with the emissions of the very acidic gases like  
10 sulfur dioxide. Practically, all the concerns about acid  
11 rain, between us, between Canada, is coming from the large  
12 emissions of sulfur dioxide.

13          Q.     But ozone is a component of acid rain. I  
14 mean, it could be -- Is it a component which would  
15 possibly accelerate the formation of acid rain?

16          A.     Theoretically --

17          Q.     Or allow the formation of acid rain.

18          A.     Theoretically, yes. You could consider what  
19 is happening during -- mainly during the nighttime. As it  
20 has been mentioned here before, there is a large  
21 difference between the concentrations of ozone during the  
22 daytime. Peak of the ozone concentration is usually  
23 observed at 2:00 or 3:00 in the afternoon. In the night,  
24 levels are practically very low or zero.

1                   Now, during the nighttime, one of the  
2 mechanisms by which the ozone decays is that the ozone  
3 molecules could really oxidate the nitrogen dioxide into  
4 the nitrate, and by that, contribute to the formation of  
5 nitrate particles and maybe some type of acid deposition.

6                   But when we are considering what could really  
7 be a specific contribution of this mechanism through the  
8 acid rain, that it is very small in comparison with direct  
9 emissions of the sulfur dioxide. There have been specific  
10 studies which we're looking into the data from our  
11 monitoring network and trying to find out how much the  
12 peaks of ozone could be correlated either with the peaks  
13 of sulfur dioxide or nitrogen dioxide, which are both  
14 sources of the acid rain. And they have been found that  
15 there is very infrequent correlation between those two  
16 pollutants. Those are papers which were done by  
17 Dr. Lefohn, L-e-f-o-h-n, from Montana. They are published  
18 in the literature.

19                  Q.     You mentioned during your testimony the EPA --  
20 U.S. EPA administrator determines or decides on the  
21 adoption of certain standards and regulations in the air  
22 quality document?

23                  A.     Yes.

24                  Q.     Does he also determine exemptions from the

1 Clean Air Act?

2 A. I don't think that there is -- There are some  
3 other parts of the Clean Air Act where the administrator  
4 has the power to determine some exemptions, but not as far  
5 as I know with the ozone issue or with the ambient air  
6 quality standards.

7 Q. Do you know of any exemptions granted to  
8 Commonwealth Edison by the U.S. EPA regarding emission of  
9 ozone from their transmission lines?

10 MR. ZIBART: I'll object to that  
11 question. The witness has just answered that  
12 the EPA does not grant such exemptions.

13 THE HEARING OFFICER: Any response?

14 MR. BOGACZ: The administrator has the  
15 authority, and his duty is to grant exemptions  
16 in accordance with the Clean Air Act; and,  
17 therefore, if there are any exemptions,  
18 Commonwealth Edison is claiming some sort of  
19 privilege in exemption from the basic  
20 fundamental Clean Air Act.

21 THE HEARING OFFICER: Your response to  
22 the objection, Mr. Bogacz?

23 MR. BOGACZ: The what?

24 THE HEARING OFFICER: Your response to

1 the objection?

2 MR. BOGACZ: Yes, I am responding.

3 THE HEARING OFFICER: Without making  
4 statements that are allegations.

5 Could you restate your response to the  
6 objection?

7 MR. BOGACZ: Mr. -- Dr. Vostal indicated  
8 that he knows of no duty or authority of the  
9 administrator of the U.S. EPA, but yet he has  
10 testified that he does determine or the  
11 eventual adoption of the air quality document.

12 I'm trying to determine whether that is  
13 his only or prime duty or he has other duties  
14 and how familiar he is with the Clean Air  
15 Act.

16 He has mentioned a Clean Air Act. He has  
17 mentioned that he has done a tremendous amount  
18 of work regarding pollutants, including the  
19 ozone, and I'm trying to find out whether he  
20 knows what -- anything besides what he has  
21 mentioned about the administrator's duty.

22 THE HEARING OFFICER: Thank you.

23 The objection is sustained. I believe  
24 the question was answered.

1 BY MR. BOGACZ:

2 Q. Dr. Vostal, are you familiar with the Clean  
3 Air Act at all?

4 A. Just mainly in the area where it deals with  
5 the problems of the effects on human health.

6 Q. Do you agree with the intent and regulations  
7 formulated from the Clean Air Act?

8 MR. ZIBART: I'll object on the grounds  
9 of relevance. I don't see -- The law is the  
10 law, and it doesn't matter whether Dr. Vostal  
11 agrees with it or not.

12 THE HEARING OFFICER: Sustained.

13 BY MR. BOGACZ:

14 Q. Dr. Vostal, I submitted a document as evidence  
15 of communications with governmental officials at the  
16 request of Commonwealth Edison, and one of the documents I  
17 have here is a letter from a James A. Raub, R-a-u-b.

18 A. Yes.

19 Q. Are you familiar with that gentleman?

20 A. Yes. I know him very well.

21 Q. Would you like to -- I don't know --

22 THE HEARING OFFICER: What is your  
23 question, Mr. Bogacz?

24 MR. BOGACZ: Can I -- Should I submit him

1 the document or can he get a copy or  
2 something?

3 THE HEARING OFFICER: What is your  
4 question?

5 BY MR. BOGACZ:

6 Q. Within this letter he sent to me, I'll read  
7 you a portion of it, and you could tell me if you agree,  
8 yes or no.

9 MR. ZIBART: I'll object to Mr. Bogacz  
10 reading something that's not in the record.

11 MR. BOGACZ: I'm sorry. It is in the  
12 record. It's a document I submitted.

13 THE HEARING OFFICER: What is the  
14 exhibit number?

15 MR. BOGACZ: It's offered -- It's entered  
16 as evidence in my case.

17 MR. ZIBART: This is the danger that  
18 Mr. Rippie warned us of of putting documents  
19 into the record all at once. Perhaps it's  
20 attached to a bunch of others. I'll locate  
21 it.

22 MR. RIPPPIE: If it's the letter I think  
23 it is, it's one of the myriad pages attached  
24 to the exhibit that we entered into the record

1 at the end of yesterday's hearing constituting  
2 all of Complainant's responses in bulk to our  
3 discovery.

4 MR. BOGACZ: Right, interrogatories,  
5 right.

6 THE HEARING OFFICER: Okay. Continue.

7 MR. BOGACZ: Do you want me to read the  
8 document to -- or the portions and go from  
9 there?

10 THE HEARING OFFICER: Yes.

11 The objection's overruled.

12 MR. BOGACZ: Thank you.

13 BY MR. BOGACZ:

14 Q. Dr. Vostal, Mr. Raub answered my inquiry on  
15 the status of transmission line emissions of ozone. And  
16 he states, thank you for your comments on the December  
17 1993 draft of the ozone Air Quality Criteria document  
18 dated 8-25-95. Although the scientific staff of the U.S.  
19 Environmental Protection Agency are certainly aware of the  
20 potential for direct emissions of ozone from high voltage  
21 power lines, we are not aware of specific peer reviewed  
22 papers identifying research, tests or data on this  
23 possible source of ambient air, in other words, outdoor  
24 ozone concentrations. And he goes on asking for any



1 additional information I might have to send him.

2 Do you agree with that?

3 THE HEARING OFFICER: Mr. Bogacz, this is  
4 the letter dated August 29, 1995?

5 MR. BOGACZ: Yes.

6 BY MR. BOGACZ:

7 Q. Do you agree with that statement he made?

8 A. Yes.

9 Q. That there are no peer reviewed papers?

10 A. If you could read it justly, he is requesting  
11 that if there are some peer reviewed documents which could  
12 really provide information for the EPA, that they should  
13 be sent to him.

14 Do I understand it correctly or do I quote it  
15 correctly?

16 Q. Well, that is at the end of the letter, but he  
17 states we are not aware of specific peer reviewed papers  
18 identifying research, tests or data on this possible  
19 source of ambient air, in other words, outdoor ozone  
20 concentrations.

21 A. We are taking it out of the context.

22 Could you just read the whole question once  
23 more?

24 Q. He states, Dear Mr. Bogacz, thank you for your

1        comments on the December 1993 draft of the ozone Air  
2        Quality Criteria document dated 8-25-95.  Although the  
3        scientific staff of the U.S. Environmental Protection  
4        Agency, EPA, are certainly aware of the potential for  
5        direct emissions of ozone from high voltage power lines,  
6        we are not aware of specific peer reviewed papers  
7        identifying research, tests or data on this possible  
8        source of ambient air, in other words, outdoor ozone  
9        concentrations.

10            A.        This is what he stated.  This is what we have  
11        to take for granted.  He is asking, therefore, if you have  
12        some material which has been discussed here during our,  
13        you know, testimony before, that it should be submitted to  
14        them.

15                    THE HEARING OFFICER:  Mr. Bogacz, I'm  
16        going to insist that you move on with your  
17        questions and that you limit your questions to  
18        inquiries that you have that are specifically  
19        related to statements that Dr. Vostal has made  
20        here this morning.

21                    MR. BOGACZ:  Well, I must assume then  
22        that he's not answered the question.  Thank  
23        you.

24

1 BY MR. BOGACZ:

2 Q. There are regulations in a Clean Air Act  
3 concerning auto emissions and other sources of ozone,  
4 possible ozone?

5 A. No. There is no ozone emitted from any  
6 sources -- there is nothing written in the Clean Air Act  
7 which would identify that there are some emissions of  
8 ozone.

9 THE HEARING OFFICER: Mr. Bogacz, I have  
10 to ask you to make your question in the form  
11 of a question and not a statement.

12 BY MR. BOGACZ:

13 Q. Are there any regulations issued by the U.S.  
14 EPA pursuant to the Clean Air Act requirements governing  
15 automobile emissions?

16 A. Yes, there are regulations.

17 THE HEARING OFFICER: Mr. Bogacz,  
18 automobile emissions are not the subject of  
19 this case. I'm going --

20 MR. BOGACZ: The subject of --

21 THE HEARING OFFICER: -- to ask you to  
22 move on to --

23 MR. BOGACZ: The subject of this case is  
24 ozone.

1 MS. REPORTER: I'm sorry. One at a time,  
2 please.

3 MR. BOGACZ: Oh.

4 MS. REPORTER: The Hearing Officer is not  
5 finished.

6 THE HEARING OFFICER: I have to ask you  
7 to move to the subject of the case, which is  
8 transmission lines.

9 MR. BOGACZ: The witness testified to the  
10 deterioration of ozone and the atmosphere and  
11 other factors regarding ozone.

12 Auto emissions have everything to do with  
13 this particular subject since they are being  
14 regulated for their production of ozone  
15 from -- by photochemical means.

16 THE HEARING OFFICER: What is your next  
17 question for the witness?

18 BY MR. BOGACZ:

19 Q. Is it possible for the ozone to occur in fair  
20 weather plus smog conditions?

21 A. That -- In connection with the transmission  
22 lines or in general?

23 Q. Both, in general and transmission lines.

24 A. The answer is yes. It is mainly during the

1 fair weather when the ozone is being generated by the UV  
2 radiation from the substrates.

3 Q. Would you agree that the transmission lines  
4 produce ozone and that ozone is an air pollutant?

5 A. I think that we have heard here during the  
6 testimony that there have been measurements done and that  
7 there are literature data which indicate that there is a  
8 possibility that small amounts of ozone are generated by  
9 the high voltage transmission lines.

10 Q. That's not the question I asked you.

11 A. So could you repeat the question?

12 THE HEARING OFFICER: Mr. Bogacz, I have  
13 to ask you to be courteous of the witness.

14 BY MR. BOGACZ:

15 Q. Dr. Vostal, is it true that electric  
16 transmission lines owned by Commonwealth Edison Company  
17 produce ozone?

18 A. Yes.

19 Q. Is ozone an air pollutant as determined  
20 currently by the Clean Air Act and the --

21 A. Yes.

22 Q. -- U.S. EPA?

23 A. Yes.

24 Q. You mentioned oxidants from a previous

1 testimony. Could you explain that?

2                   During your testimony, you said something  
3 about oxidants were mentioned from a previous testimony.

4           A.     Previous criteria documents.

5           Q.     Well, specifically, which comments were those  
6 or can you remember?

7           A.     The first standard for ozone has been set  
8 by -- in 1971 by the EPA administrator as a standard for  
9 ozone and photochemical oxidants.

10                   Since the term of the photochemical oxidant is  
11 not very specific and since it has been discovered that  
12 those photochemical oxidants are not as important as ozone  
13 in determining potential public health impact, in 1979,  
14 during the revision of the Air Quality standard, the  
15 standard has been changed so that it is now for ozone only  
16 and not for photochemical oxidants.

17           Q.     I didn't quite get the last -- Photo what?

18           A.     Photochemical oxidants, photochemical  
19 oxidants.

20           Q.     Oh, okay.

21                   You're talking about precursors?

22           A.     No.

23           Q.     Photochemical --

24           A.     Those are more some type of a degradation

1 product which could exist in small concentrations, and it  
2 was given by the original method which was available in  
3 1971 which measured practically the total amount of all  
4 oxidants present in the air rather than to be measuring  
5 ozone only. Since 1979, we are measuring ozone only and  
6 the standard is ozone only.

7 Q. Okay. That's in relation to the Clean Air  
8 Act?

9 A. Yes.

10 THE HEARING OFFICER: Do you have any  
11 further questions of this witness on  
12 cross-examination?

13 MR. BOGACZ: I am continuing, yes.

14 I wish to object to your interrupting me  
15 and putting a tone of impatience since you did  
16 not do that with the Respondents.

17 THE HEARING OFFICER: Let the record  
18 reflect --

19 MR. BOGACZ: I wish to file a formal  
20 complaint against you before the Board.

21 THE HEARING OFFICER: Let the record  
22 reflect that I did not interrupt the  
23 Complainant.

24 MR. BOGACZ: Well, you're insisting that

1 I move along faster, and you did not say  
2 anything about that to the Respondent, and I  
3 object strenuously to that.

4 THE HEARING OFFICER: Mr. Bogacz, I have  
5 the authority under Section 103200, Subpart G,  
6 to regulate the course of the hearing and the  
7 conduct of their parties and their counsel. I  
8 am attempting to administer an efficient  
9 hearing process here, and I believe that we  
10 are wasting time.

11 MR. BOGACZ: You're what? I object to  
12 that comment, that you are saying that I'm  
13 wasting time by asking the witness questions.

14 THE HEARING OFFICER: Complainant --

15 MR. BOGACZ: I insist that you retract  
16 that right now. I will file a complaint  
17 immediately after I leave this building  
18 against you and whoever else governs your  
19 legal profession.

20 THE HEARING OFFICER: Mr. Bogacz, you  
21 interrupted my statement.

22 I would like the parties to proceed --

23 MR. BOGACZ: You're not going to be  
24 sitting there insulting me.



1 THE HEARING OFFICER: Excuse me.

2 I would like the parties to proceed as  
3 efficiently as possible with their questioning  
4 and to limit their questions as much as  
5 possible to the issue, which is that a harm  
6 has occurred -- allegedly occurred due to the  
7 transmission lines of Commonwealth Edison to  
8 the Complainant.

9 MR. BOGACZ: Could I respond?

10 THE HEARING OFFICER: You may proceed  
11 with your questioning of the witness.

12 BY MR. BOGACZ:

13 Q. You say -- You mentioned during your testimony  
14 background ozone is always present.

15 A. Yes.

16 Q. The -- What is background ozone again?

17 A. The background -- excuse me -- the background  
18 ozone concentrations are concentrations which could be  
19 found even in the most pristine areas without any human  
20 activities, and they are explained by the presence of the  
21 ozone precursors which are coming either from the effects  
22 like lightning producing nitrogen oxides or emanation of  
23 hydrocarbons from the vegetation.

24 Q. Do you know of any regulations concerning

1 emissions -- ozone emissions from transmission lines?

2 A. No, I don't know that.

3 Q. Do you know of any reason why there isn't any  
4 regulation regarding them?

5 A. We have heard and it has been mentioned here  
6 that the issue has been already considered by another  
7 government component and that they have concluded that  
8 when they looked into the issue, they have discovered that  
9 the contributions of ozone from those transmission lines  
10 are very small and negligible.

11 Q. What is that government component?

12 A. I think that it was the Department of Energy.

13 Q. I see. It wasn't the U.S. EPA?

14 A. No.

15 Q. Did you ever do any consulting work or assist  
16 the American Lung Association?

17 A. I have not done any consulting work for the  
18 American Lung Association, but we have been very  
19 frequently in contact with them. And Dr. Arnold White,  
20 who is the executive director of the American Lung  
21 Association, participated in many scientific discussions  
22 in our meetings and in our symposium.

23 Q. Has -- have -- or do heavy metals have  
24 anything to do with ozone or are they -- does ozone react

1 more actively with heavy metals --

2 A. Ozone is --

3 Q. -- relative to other elements?

4 A. Ozone is a very active compound and prepared  
5 to react with any available molecule, including heavy  
6 metals; but I am not aware about some specific  
7 pre-election from the elements in the air for the ozone.

8 Q. So you would say that ozone is a general --

9 A. Oxidant.

10 Q. -- oxidant; right?

11 A. Yes.

12 Q. One more question, maybe two.

13 I have another document here that I submitted  
14 to the Respondent in answer to interrogatories. This is a  
15 copy of a preliminary draft for the Air Quality document.  
16 This one is, I believe, 1986, although, it might be  
17 already incorporated -- I don't know -- Well, wait a  
18 minute. This might be the latest -- No. It's probably a  
19 draft. I'd like to read some.

20 THE HEARING OFFICER: What is the number  
21 of the exhibit?

22 MR. BOGACZ: I don't recall if we ...

23 MR. ZIBART: I believe subject to  
24 checking with Mr. Bogacz, I believe it's

1 Complainant's Exhibit 9.

2 MR. BOGACZ: This is the one that's 413,  
3 3-127 and 2-5.

4 MR. ZIBART: This is the one we had  
5 excerpts of a much larger document.

6 MR. BOGACZ: Right.

7 MR. ZIBART: These are the ones that's  
8 been stamped do not quote or site.

9 THE HEARING OFFICER: Thank you.

10 BY MR. BOGACZ:

11 Q. Dr. Vostal, you're fairly familiar with the  
12 preliminary draft documents for the Air Quality Criteria  
13 document?

14 A. Yes, I have been familiar with them.

15 Q. Within these -- this document that's dated  
16 December 1993, at 3.5.1.1.6, Calibration Methods for  
17 Ozone, it states electrical discharges in air or oxygen  
18 readily produce O<sub>3</sub>, in other words, ozone, at -- but at  
19 concentrations far too high for calibration of ambient  
20 monitors. Would you agree with that?

21 A. Yes. They are commercially available  
22 generators of ozone which could produce very high  
23 concentrations of ozone using oxygen as an substrate.

24 MR. BOGACZ: That's all I have right

1 now. Thank you.

2 MR. ZIBART: If I could have just a  
3 moment.

4 THE HEARING OFFICER: All right.

5 REDIRECT EXAMINATION

6 BY MR. ZIBART:

7 Q. Dr. Vostal, I'm showing you what's been marked  
8 as Complainant's Exhibit 9, which I believe is the  
9 document that Mr. Bogacz was just asking you about.

10 A. Yes.

11 Q. Is that the final version of the ozone Air  
12 Quality Criteria document?

13 A. No.

14 Q. Okay. Has the final version of the ozone Air  
15 Quality Criteria document been released yet?

16 A. It has been released in July 1996.

17 Q. Okay. Does the -- Let's see. Mr. Bogacz also  
18 asked you about this letter. It's a letter from James A.  
19 Raub, project manager at the U.S. EPA to Mr. Bogacz?

20 A. Yes.

21 Q. And what is the date of that letter?

22 A. August 29, 1995.

23 Q. So is that before the final version of the Air  
24 Quality Criteria document was released?

1 A. Yes, it is.

2 Q. Have you reviewed the final version of the Air  
3 Quality Criteria document?

4 A. Yes, I did.

5 Q. And do you know whether it has any mention of  
6 transmission line ozone in it?

7 A. Not to my knowledge.

8 MR. ZIBART: I have no further questions  
9 for Dr. Vostal.

10 THE HEARING OFFICER: Okay. Mr. Bogacz,  
11 do you have any question about what the doctor  
12 just stated?

13 RE-CROSS-EXAMINATION

14 BY MR. BOGACZ:

15 Q. The reason why -- The document has been  
16 released you say?

17 A. Yes, in July 1996 is the date on the document.

18 Q. The -- Do you know of any reason why the  
19 transmission lines emissions of ozone was not entered into  
20 the document?

21 A. There is no specific reason for it mentioned  
22 in the document. But, personally, I think that probably  
23 it has been evaluated the same way as the Department of  
24 Energy did it, and they have not found a substantial

1 contribution of this method of generation as a source of  
2 ozone.

3 MR. BOGACZ: That's all I have.

4 THE HEARING OFFICER: Thank you very  
5 much, Doctor.

6 MR. ZIBART: At this time, the  
7 Respondent would move for the admission of  
8 Respondent's Exhibit No. 16, which is  
9 Dr. Vostal's curriculum vitae.

10 THE HEARING OFFICER: Thank you.

11 Counsel, did we admit Respondent's 13  
12 through 15 yesterday?

13 MR. ZIBART: I believe we did. I mean,  
14 to the extent we didn't, though --

15 THE HEARING OFFICER: In case we did not,  
16 can we do that now? I didn't have a mark for  
17 their acceptance into evidence.

18 Is there any objection to the  
19 introduction of these documents into evidence?

20 MR. BOGACZ: No.

21 THE HEARING OFFICER: All right.  
22 Respondent's 13 through 16 are admitted into  
23 evidence.

24

1 (Respondent's Exhibit Nos. 13-16  
2 admitted into evidence.)

3 THE HEARING OFFICER: Respondent may  
4 call their next witness.

5 MR. RIPPIE: Respondent's next witness is  
6 Mr. Mark Lorenz.

7 THE HEARING OFFICER: Will the witness be  
8 sworn?

9 (Witness sworn.)

10 MARK J. LORENZ,  
11 called as a witness herein, having been first duly sworn,  
12 was examined upon oral interrogatories and testified as  
13 follows:

14 DIRECT EXAMINATION

15 BY MR. RIPPIE:

16 Q. Mr. Lorenz, would you please state and spell  
17 your full legal name for the record?

18 A. Yes. It's Mark with a K, middle initial J,  
19 Lorenz, L-o-r-e-n-z.

20 Q. Mr. Lorenz, by whom are you employed?

21 A. I'm employed by Commonwealth Edison.

22 Q. What is your position with Commonwealth  
23 Edison?

24 A. I am the siting and estimating engineer in the



1 right-of-way and site selection department of the  
2 transmission system area of Commonwealth Edison.

3 Q. Could you please briefly summarize your  
4 educational background?

5 A. Yes. I have a bachelor of science degree in  
6 electrical engineering from Valparaiso University.

7 Q. Are you a licensed professional engineer in  
8 the State of Illinois?

9 A. Yes.

10 Q. Could you briefly summarize your experience in  
11 the design and analysis of electrical transmission  
12 facilities?

13 A. In my present position, myself and engineers  
14 who report to me actually take electrical plans that have  
15 been proposed by our system planning folks to fulfill a  
16 need, that need being a power shortage or an area under a  
17 contingency situation where a transmission line or in the  
18 case of a distribution deficiency where a substation may  
19 be needed.

20 We would take and analyze those plans from a  
21 physical standpoint and determine routing alternatives or  
22 site alternatives for that substation or those  
23 transmission lines connecting that substation.

24 Q. Does this function include an analysis of the

1 feasibility of various methods of constructing and  
2 operating such lines and substations?

3 A. Yes.

4 Q. Does your function also include analysis of  
5 the comparative cost of such lines and substation  
6 facilities?

7 A. Yes. Cost would be one of the factors that we  
8 would use in our analysis to determine which would be the  
9 best plan of those that are feasible.

10 Q. Let me then summarize it this way,  
11 Mr. Lorenz.

12 If someone in Commonwealth Edison or someone  
13 inquiring of Commonwealth Edison wanted to know whether or  
14 not it would be possible to build a transmission line in a  
15 certain way, and if so, how much it would cost, who at Com  
16 Ed would receive that question and have the responsibility  
17 for answering it?

18 A. That would be me.

19 Q. Have you prepared a curriculum vitae that  
20 summarizes in greater detail your educational and  
21 professional background and experience?

22 A. Yes, I have.

23 MR. RIPPPIE: Madam Hearing Officer, will  
24 that be Respondent's 17?

1 THE HEARING OFFICER: That will be  
2 Respondent's Exhibit 17.  
3 (Respondent's Exhibit No. 17  
4 marked for identification.)

5 BY MR. RIPPIE:

6 Q. Mr. Lorenz, I show you a document that's been  
7 designated Respondent's Exhibit No. 17, and I ask you if  
8 that is a true and correct copy of your curriculum vitae?

9 A. Yes, it is.

10 Q. Mr. Lorenz, have you been present throughout  
11 this hearing?

12 A. Yes, I have.

13 Q. You've heard some discussions about something  
14 called corona. Can you please explain to the Hearing  
15 Officer what effect corona has on Com Ed's transmission  
16 system?

17 A. Yes. The corona has the effect of a release  
18 of energy. Energy that we would otherwise wish to  
19 transmit through the lines unfortunately is released along  
20 the way in the form of corona.

21 Q. Because of this loss of energy due to corona,  
22 does Commonwealth Edison take any action to minimize  
23 corona?

24 A. Yes.

1 Q. Could you explain to the Board and to the  
2 Hearing Officer what those actions are?

3 A. Yes. There's really several things.

4 During the actual construction of a  
5 transmission line, great care is taken to try avoid  
6 marring or scratching the surface of the conductors as we  
7 hang them.

8 In the case of a 345,000 volt lines and  
9 765,000 volt lines, we will actually use hardware to  
10 support those conductors that in and of itself is referred  
11 to as corona free. It has much smoother surfaces and --  
12 again, in an attempt to try to avoid sharp corners in the  
13 electric field, if you will, as Dr. Johnson was describing  
14 yesterday.

15 We also add an item called a corona ring on  
16 certain types of hardware, suspension and dead-end  
17 insulator assemblies, that literally has that same effect  
18 as well.

19 Q. Mr. Lorenz, I know that you mentioned these  
20 rings and bundled conductors with respect to 345 and 765  
21 kV lines.

22 Can you explain to the Board and to the  
23 Hearing Officer why those features are not uniformly used  
24 on 138 kV lines?

1           A.     Essentially, 138,000 volt lines does not have  
2 a level of corona that makes any additional application of  
3 reducing or eliminating corona practical.

4           Q.     Does Commonwealth Edison take the corona  
5 reducing measures that you've just described -- does Com  
6 Ed undertake those measures because of the potential, if  
7 any, of a line produced ozone?

8           A.     No.

9           Q.     Why does Com Ed take them?

10          A.     Again, because corona in and of itself is a  
11 loss of energy. We attempt to try to avoid that loss of  
12 energy.

13          Q.     Mr. Lorenz, are there any other practical  
14 methods as a matter of transmission engineering of  
15 reducing corona which Commonwealth Edison does not  
16 undertake?

17          A.     No.

18          Q.     Can you please identify and describe to the  
19 Board and to the Hearing Officer the major structural  
20 components of both an overhead and an underground  
21 transmission line?

22          A.     Yes. In the case of an overhead transmission  
23 line, besides the conductors that I have described before  
24 that we use to actually transmit power from one area to

1 another or interchange electricity from our neighboring  
2 utilities as we discussed yesterday, the conductors are  
3 supported by insulators. I described those before. They  
4 serve two functions. They support the conductor in air  
5 from a structure, but they also insulate that conductor  
6 from the structure itself so that the path of the  
7 electricity would not be directly to ground by weight of  
8 that structure.

9 In addition, there is the structure themselves  
10 that support all of the above. In the case of  
11 underground, the underground transmission, they also have  
12 conductors, not unlike the conductors that I described in  
13 overhead. They could even be made up of the same  
14 material. However, in the case of underground, the  
15 insulators or insulation, if you will, is something that's  
16 not a structural member. It strictly keeps the  
17 electricity from going directly to ground, especially in a  
18 case where that conductor is truly buried in ground.

19 The support of an underground transmission  
20 line is in the form of concrete encased conduits or a  
21 pipe.

22 Q. Can Com Ed underground its entire system of  
23 transmission lines?

24 A. No, it cannot.

1 Q. Why not?

2 A. Well, in the case of 765,000 volt lines, there  
3 simply isn't technology that allows that to occur. In the  
4 case of 345,000 volt lines, the difference electrically in  
5 an underground 345 kV line versus an overhead 345 kV line  
6 introduces a tremendous amount of capacitance between that  
7 conductor and ground.

8 I believe Ms. Manning mentioned this  
9 yesterday. The difference between an overhead 345 line  
10 and an underground 345 line in terms of capacitance is  
11 approximately 40 times more. If we did not add additional  
12 what we would call shunt inductors into the system, which  
13 essentially is a -- it's an impedance component that is  
14 the opposite of the capacitance, all of the energy that we  
15 would attempt to transmit across an underground  
16 transmission line would be used up in fulfilling that  
17 lines need for capacitance.

18 Q. These shunt inductors are -- I'm going to  
19 speak now as a lay person -- they are large components  
20 that sit in a substation or a yard above ground; they are  
21 not in the -- they are not part of the underground  
22 transmission line?

23 A. Correct. They are yet another component,  
24 maybe not quite as big as a house, that would sit inside a

1       substation yard to offset that capacitance.

2               Q.     Now, Mr. Lorenz, where it is physically  
3       possible to place a transmission line underground, is it  
4       more or is it less expensive than an overhead line?

5               A.     Underground transmission is far more expensive  
6       than overhead.  In the case of 345,000 volt lines, our  
7       experience is that the cost is at least 10 times more.  
8       And that's even for an underground line that has not  
9       nearly the capacity, if you will, of an equivalent  
10      overhead circuit.

11              In the case of 138,000 volt lines, the cost of  
12      undergrounding a circuit is about five to seven times the  
13      cost of an equivalent overhead circuit.

14              Q.     Can you briefly explain to the Examiner, to  
15      the Hearing Officer, and to the Board why that's true?

16              A.     It's strictly a function of the cost of the  
17      components themselves.  The fabrication of cable with  
18      proper insulation qualities and levels to keep that  
19      conductor from going to ground and the electricity from  
20      going to ground is dramatically more expensive as compared  
21      to its equivalent overhead component.  And, frankly, the  
22      cost of construction, the labor cost of underground  
23      installation versus overhead is also significantly more.

24              Q.     Do underground transmission systems cost less



1 or more to operate and maintain than overhead systems?

2 A. Our experience is that underground  
3 transmission systems are -- cost slightly more to maintain  
4 than overhead systems as well as the initial installation  
5 cost.

6 Q. Can you tell the Board then why Com Ed ever  
7 builds an underground line?

8 A. Well, unfortunately, there are instances where  
9 an overhead transmission line simply will not fit.  
10 There's also other situations where our feasible routing  
11 would take an overhead transmission line past a facility  
12 that would concern us from a reliability standpoint. It  
13 may actually pose a danger to our line.

14 Q. Mr. Lorenz, have you been able to prepare an  
15 estimate of what it would cost Commonwealth Edison and its  
16 rate bearers to construct underground those portions of  
17 its existing overhead transmission system that physically  
18 could be built underground?

19 A. Yes. The cost of undergrounding the existing  
20 overhead circuits that we have would be approximately  
21 \$14.3 billion. This cost, though, does not include any  
22 additional right-of-way we may need or the cost of  
23 acquiring the rights to put even the overhead facilities  
24 that we have, replace them in place with underground

1 facilities. We are assuming no environmental issues that  
2 we would have to come across, so to speak, be they wet  
3 lands or rivers that we would have to traverse. It does  
4 not include any of those substation components that I  
5 described before such as the inductors.

6           There's also an issue with underground --  
7 underground transmission as well that it does have a much  
8 lower impedance than overhead and would cause a higher  
9 level of fault duties available at the various substations  
10 that we presently have and, frankly, it would have to  
11 cause us to upgrade those substation components as well.  
12 Those costs also are not included.

13           Q. I am not going to ask you to do a mini course  
14 in electrical engineering, but for the sake of  
15 completeness of the record, can you explain what a fault  
16 duty is?

17           A. Simply -- Not so simply. If an energized  
18 electrical component at no matter what voltage it is, if  
19 it was to accidentally contact ground such as I described  
20 before, if for some reason a conductor suspended on a  
21 transmission structure were to contact that structure,  
22 that would cause what we would describe as a fault. What  
23 happens during a fault condition is given the amount of  
24 generation we have available in the system and the amount

1 of other lines interconnecting at substations to that  
2 particular component, it could cause a large in-rush of  
3 current through that line to ground. It's a path of least  
4 resistance, so to speak.

5 Q. Mr. Lorenz, have you been able to estimate  
6 approximately how much it would cost in addition to the  
7 \$14.3 billion involving undergrounding the line to do the  
8 other ancillary functions that you've described, namely,  
9 acquiring land and upgrading substations and the like?

10 A. No. That would require a very detailed  
11 planning study in order to analyze exactly where  
12 substation upgrades would need to occur, where additional  
13 inductors may need to be added, et cetera, et cetera.

14 MR. BOGACZ: Excuse me, Hearing Officer.

15 May I object to the testimony and  
16 questions?

17 THE HEARING OFFICER: You may raise an  
18 objection.

19 What is your objection?

20 MR. BOGACZ: I object to these questions  
21 that are not directly or specifically  
22 addressed to transmission line emissions  
23 creating ozone.

24 THE HEARING OFFICER: Do you have a

1 response?

2 MR. RIPPPIE: The complaint seeks supposed  
3 mitigation of transmission line production of  
4 ozone in response to interrogatories; and as  
5 stated in the complaint, the remedy sought is  
6 undergrounding or other isolation from air.

7 Mr. Lorenz has commented on the technical  
8 feasibility of other methods of reducing  
9 corona, and he is now commenting on the cost  
10 and feasibility of undergrounding. It is  
11 directly relevant.

12 THE HEARING OFFICER: The objection is  
13 overruled.

14 I'm sorry. Can you continue with your  
15 response to that last question or should we  
16 have the question repeated?

17 THE WITNESS: No. I think I can  
18 continue.

19 THE HEARING OFFICER: Okay.

20 BY THE WITNESS:

21 A. The \$14.3 billion that I quoted before for  
22 just the actual undergrounding of the existing overhead  
23 circuits would most certainly be doubled by all the  
24 additional ancillary needs to support an entirely

1       undergrounded transmission system.

2               Q.     Aside from cost, are there any other reasons  
3       why Commonwealth Edison Company could not as a practical  
4       matter underground its 345 and 138 kV transmission  
5       systems?

6               A.     Well, there is one other issue, and I believe  
7       Ms. Manning described it yesterday, and that is the fact  
8       that -- and I mentioning it earlier -- to an underground  
9       system has a much lower impedance than an equivalent  
10      overhead system. And as such, our system, again, by the  
11      path of least resistance that I quoted before, our system  
12      would tend to want to absorb power from all of the other  
13      electrical systems around us. We would have -- We would  
14      frankly have no way of controlling power flow through our  
15      system from one utility to another.

16              Q.     Mr. Lorenz, are there sufficient -- Let me  
17      strike that question and start over, please.

18                     In view of the level of underground  
19      construction undertaken today, are there sufficient  
20      engineers, equipment, and trained construction personnel  
21      to accomplish the undergrounding of Com Ed's transmission  
22      system with any degree of speed?

23              A.     No. Again, assuming other resources besides  
24      cost, there simply are not enough underground transmission

1 engineers to design such a system. We would be putting  
2 quite a burden on the manufacturers of such underground  
3 components as cable, as manholes, as conduit systems.

4 And aside from cost, as I say, those resources  
5 would be extremely hard to come by to try to underground a  
6 transmission system as large as Commonwealth Edison's with  
7 any speed.

8 Q. Mr. Lorenz, I now want you to put aside all of  
9 the difficulties and possibilities you testified about.

10 And I ask you, if putting all those issues  
11 aside Com Ed was somehow able to underground all of its  
12 transmission lines, do you expect that that would reduce  
13 the amount of ozone produced by Com Ed's utility function?

14 A. Likely not. Some of the substation components  
15 that I described before just like a transmission line  
16 conductor or its support hardware, these items also have a  
17 tendency to cause corona. In a substation, there may be  
18 very many volted connections, electrical connections,  
19 between wires and supports, for example, or between  
20 inductors and transformers and conductors. And just by  
21 the nature of the sharp edges on these volted connections,  
22 for example, there would certainly be corona generated.

23 Q. Would the undergrounding of the transmission  
24 system require an increased number of substation

1 components and connections?

2 A. Absolutely.

3 Q. And those would be the inductors and the like  
4 that you have referred to earlier in your testimony?

5 A. Correct.

6 MR. RIPPIE: That's all the questions I  
7 have for Mr. Lorenz.

8 THE HEARING OFFICER: Okay. Do you have  
9 cross-examination of Mr. Lorenz?

10 CROSS-EXAMINATION

11 BY MR. BOGACZ:

12 Q. Mr. Lorenz, would you describe your testimony  
13 you just presented as basically a description of a private  
14 company's economic health?

15 A. Could I ask for a clarification? I'm not sure  
16 I understand the question.

17 Q. Well, all your testimony you just presented,  
18 okay, specifically describes Commonwealth Edison's  
19 capabilities or restrictions regarding transmission lines  
20 bearing underground and as opposed to building overhead or  
21 vice versa. And you mentioned various costs that would be  
22 related to building underground rather than putting  
23 overhead. It would be more expensive?

24 A. Yes, that's correct, bearing transmission

1 facilities is more expensive than building overhead  
2 facilities.

3 Q. So, basically, your testimony describes how a  
4 private company which Commonwealth Edison is more or less  
5 makes considerations regarding continuing their  
6 existence -- in other words, continuing their  
7 profit-making operation; right?

8 A. Well, I'd like to point out that Commonwealth  
9 Edison is not a private company. We are, in fact, a  
10 public utility. We are regulated by the Illinois Commerce  
11 Commission. The function that I described before of  
12 reviewing feasible routes or construction alternatives, if  
13 you will, of transmission facilities is something that we  
14 also present to the Illinois Commerce Commission before we  
15 undertake such a project to quite frankly satisfy the  
16 justification that what we propose to design and build is,  
17 in fact, the least cost alternative to satisfy the need.

18 Q. You said it's a public company. Is there such  
19 a legal designation?

20 A. Yes, I believe so.

21 Q. I mean --

22 A. We are a public utility.

23 Q. I don't quite understand how Commonwealth  
24 Edison is a public corporation.



1                   I mean, is it a government or is it a separate  
2                   entity provided in a constitution or could you explain  
3                   what you mean by that?

4                   MR. RIPPIE: I'm going to note an  
5                   objection, if I can.

6                   Mr. Bogacz and counsel for Com Ed are  
7                   perfectly capable of arguing about the  
8                   legalities of this. This exceeds the scope of  
9                   Mr. Lorenz's testimony considerably at this  
10                  point as well as his expertise to the extent  
11                  that Mr. Bogacz is asking questions about the  
12                  constitutional origins of public utilities.

13                  THE HEARING OFFICER: Do you have a  
14                  response?

15                  MR. BOGACZ: Mr. Lorenz is -- according  
16                  to his resume, is charged or responsible for  
17                  acquisition of property and permits and  
18                  presenting testimony to the ICC, and I'm just  
19                  trying to determine whether -- He mentioned  
20                  that it's a public corporation. I'm trying to  
21                  have him define to me what a public  
22                  corporation is or whether how -- how does  
23                  Commonwealth Edison apply to that.

24                  MR. RIPPIE: I believe -- and I don't

1 mean to get into any sort of a dispute -- but  
2 I believe Mr. Lorenz's words was that it was a  
3 public utility.

4 MR. BOGACZ: Oh, okay. Sorry for my ...

5 BY MR. BOGACZ:

6 Q. Mr. Lorenz, on that same line, though,  
7 Commonwealth Edison is concerned about basic -- primarily  
8 to continue as a profit-making corporation?

9 A. Within the limits that the Illinois Commerce  
10 Commission allows us.

11 Q. Right. In your site plans for these  
12 transmission lines, do you ever consider the effect they  
13 would have on property values?

14 MR. RIPPIE: Object to lack of relevance.

15 THE HEARING OFFICER: Any response?

16 MR. BOGACZ: Property values are affected  
17 by transmission lines, and I'm wondering if  
18 the Commonwealth Edison considers them in any  
19 way or -- and when they decide to acquire  
20 property and in its transmission line routing.  
21 Mr. Lorenz is responsible for that, rights of  
22 ways and everything that's related to  
23 presenting -- to presenting their case before  
24 the ICC.

1                   THE HEARING OFFICER: The objection is  
2                   sustained.

3           BY MR. BOGACZ:

4           Q.     Mr. Lorenz, do you know what the public  
5           convenience and necessity is --

6           A.     Yes.

7           Q.     -- in reference to Commonwealth Edison's  
8           applications before ICC?

9           A.     Yes, I do.

10          Q.     Do you know what -- Do you know if the ICC  
11          considers the public health in any way or the environment  
12          in their consideration of Commonwealth Edison's  
13          application?

14          A.     Yes, they do.

15          Q.     In what way?

16          A.     They are, as I stated before -- Part of my  
17          testimony to them describes line routing. And in the  
18          process of seeking the least cost reasonable route  
19          alternative for a proposed transmission facility, we  
20          review environmental impacts.

21          Q.     So environmental impacts are a consideration  
22          for other governmental agencies, say, regarding wet lands  
23          or some other environmental consideration?

24          A.     Yes, yes. If a proposed line route, for

1 example, would take us through a wet land area, we have an  
2 obligation to apply for a permit to cross through that wet  
3 land area from the Corps of Engineers.

4 Q. And -- So that would cost extra money to  
5 possibly divert the route or mitigation of the wet land in  
6 accordance with wet land laws?

7 MR. RIPPIE: I thought that this might be  
8 coming back to ozone, but it doesn't appear  
9 that it is; so I have a relevance objection  
10 again.

11 THE HEARING OFFICER: Do you have a  
12 response to the objection?

13 MR. BOGACZ: I object to your objection  
14 in that Mr. Lorenz testified that he is  
15 responsible for site planning and he is  
16 responsible for determining whether certain --  
17 the lines go in a certain direction and how  
18 they affect certain property, and a wet land  
19 and any other environmental factor is  
20 something that he considers and he has  
21 information on; and the cost involved in  
22 diverting that line because of an  
23 environmental consideration, he has  
24 information on that. So that's the question

1 I'm asking him to determine what, if any,  
2 difference in costs there are from his --  
3 their possible original plans or if that  
4 factor is even considered.

5 THE HEARING OFFICER: The objection as to  
6 the question that was asked previously,  
7 previous to the objection being made, and the  
8 objection is sustained.

9 BY MR. BOGACZ:

10 Q. You did testify about costs, didn't you,  
11 Mr. Lorenz on -- during your testimony on how much more  
12 expensive it would be regarding environmental issues?

13 A. No, I did not specifically.

14 Q. You did not?

15 A. I believe I stated the cost of undergrounding  
16 versus overhead to be a certain value; but as I then  
17 stated, I did not take into account necessarily what exact  
18 additional costs there would be due to environmental  
19 effects.

20 Q. But you did discuss environment  
21 considerations, didn't you?

22 A. Yes.

23 Q. In your opinion or with your experience in  
24 site planning for Commonwealth Edison, do you know of any

1 extra costs involved in accommodating environmental  
2 considerations?

3 A. Yes.

4 Q. And where was that?

5 A. Such as traversing a wet land as opposed to  
6 going around a wet land, we would weigh the cost of each  
7 alternative. To traverse a wet land requires us to  
8 perform our work in a very certain set way as described by  
9 a permit, which we would obtain from the Corps of  
10 Engineers, such as matting a wet land to avoid rutting it  
11 as we drive our trucks in different facilities in or  
12 through it in order to construct our own.

13 Q. Does the EPA -- United States Environmental  
14 Protection Agency or the Illinois Environmental Protection  
15 Agency have regulations concerning the site planning or  
16 construction of transmission lines?

17 A. Not that I'm aware of.

18 MR. BOGACZ: I believe that's all I have  
19 right now.

20 MR. RIPPIE: There is no redirect of  
21 this witness.

22 THE HEARING OFFICER: All right. Thank  
23 you very much, Mr. Lorenz.

24 Do we have a motion for the introduction

1 into evidence of the last exhibit?

2 MR. RIPPIE: Respondent moves into  
3 evidence Exhibit No. 17.

4 THE HEARING OFFICER: Is there any  
5 objection?

6 MR. BOGACZ: No.

7 THE HEARING OFFICER: All right.  
8 Exhibits -- Respondent's Exhibit 17 is entered  
9 into evidence.

10 (Respondent's Exhibit No. 17  
11 admitted into evidence.)

12 THE HEARING OFFICER: Does Respondent  
13 have any additional witnesses?

14 MR. RIPPIE: That would conclude the  
15 presentation of witnesses in the Respondent's  
16 direct case.

17 THE HEARING OFFICER: All right. Then at  
18 this time, I would like to ask the Complainant  
19 if they would like to make any further  
20 statements at the hearing in the form of a  
21 rebuttal case?

22 MR. BOGACZ: Could I take a break first?

23 THE HEARING OFFICER: Would you like to  
24 make such statements, Mr. Bogacz?

1 MR. BOGACZ: Oh, yes.

2 THE HEARING OFFICER: Okay.

3 MR. BOGACZ: But can I take a break  
4 first?

5 THE HEARING OFFICER: Can we come back in  
6 five minutes?

7 MR. BOGACZ: Yes.

8 THE HEARING OFFICER: Thank you.

9 (A short recess was taken.)

10 THE HEARING OFFICER: We are back on the  
11 record.

12 And at this point in time, we'll  
13 entertain Complainant's case in rebuttal at  
14 hearing.

15 The case in rebuttal is an opportunity,  
16 Mr. Bogacz, for you to contest any aspects of  
17 the Respondent's case-in-chief that  
18 Respondent's witnesses have made.

19 You may proceed if you would like to make  
20 a statement.

21 I think perhaps because you are your own  
22 witness in your own case, then we might have a  
23 re-swearing of the witness.

24 (Complainant sworn.)



1 THE HEARING OFFICER: Thank you.

2 You can proceed.

3 (Complainant's Case in Rebuttal.)

4 MR. BOGACZ: As I stated in my  
5 preliminary statement regarding this case,  
6 this is a case of air pollution. This is a  
7 case of air pollution caused by Commonwealth  
8 Edison by their emission of ozone from their  
9 transmission lines.

10 Their contention is that they are  
11 sacrosanct through arbitrary decisions or no  
12 decision from governmental officials,  
13 including the United States Environmental  
14 Protection Agency.

15 Their only evidence points to a  
16 self-interest on their part and/or those  
17 particular witnesses and the evidence that  
18 they presented.

19 None -- None of their evidence indicates  
20 an approval by the United States Environmental  
21 Protection Agency, which is the primary, the  
22 primary agency that governs pollution -- air  
23 pollution in the United States. It's not  
24 governed by the IEE, it's not governed by the

1           Bonneville Power Administration, it's not  
2           governed by the Illinois Institute of  
3           Technology, it's not governed by Dr. Vostal,  
4           it's not governed by Gary Johnson, it's not  
5           governed by Linda S. Manning, it's not  
6           governed by Mark J. Lorenz, and it's not --

7           MR. RIPPIE: Madam Hearing Officer, I  
8           think there may be some confusion. I  
9           certainly understand that Mr. Bogacz has a  
10          right to a closing statement or a brief which  
11          contains argument.

12          It is my understanding that this was an  
13          opportunity to introduce more factual  
14          testimony into the record as opposed to his  
15          opportunity to make his closing statement.

16          And it's my impression that what  
17          Mr. Bogacz is doing now, while appropriate for  
18          argument, is not factual testimony.

19          THE HEARING OFFICER: I will permit the  
20          Complainant to continue.

21          MR. BOGACZ: I was going to say that  
22          according to --

23          THE HEARING OFFICER: You may continue,  
24          Mr. Bogacz.

1 MR. BOGACZ: Okay.

2 THE HEARING OFFICER: The objection is  
3 overruled.

4 MR. BOGACZ: I wish to object to the  
5 interruption from the Respondent regarding the  
6 argument. Respondent's attorney -- or claims  
7 to be an attorney familiar with the legal  
8 procedures in these cases which are spelled  
9 out very specifically in the regulations of  
10 the IPCB, and I wish to note that this  
11 particular interruption is uncalled for and  
12 done to interrupt my argument, and I object  
13 strenuously.

14 Could you read me back or -- Can you read  
15 back or you can't?

16 MS. REPORTER: I can read back.

17 MR. BOGACZ: Where I stopped on my ...

18 MS. REPORTER: Sure.

19 (Record read as requested.)

20 MR. BOGACZ: Thank you.

21 Yes. It's not governed by these private  
22 individuals or companies or groups. It's  
23 governed by a public agency. An agency who  
24 has a duty and a responsibility to enforce the

1 air pollution laws in this country. It's an  
2 agency charged with determining whether  
3 certain individuals, companies, or even  
4 governmental agencies must abide by certain  
5 air pollution standards.

6 There is no evidence presented by the  
7 Respondent to prove that they have an  
8 exemption from the United States Environmental  
9 Protection Agency to continue emitting ozone  
10 from their transmission lines.

11 It appears that there is some sort of a  
12 gentleman's agreement between agencies  
13 possibly and Commonwealth Edison and the power  
14 industry. I really don't know what it is, but  
15 there is no evidence of any official exemption  
16 which has a duty and a responsibility of the  
17 United States Environmental Protection Agency  
18 administrator to issue to any person or  
19 company or group or party, whatever, who  
20 wishes to be exempt from any air standard  
21 pollution regulation.

22 Commonwealth Edison claims that there are  
23 no permits required. There are no regulations  
24 governing their ozone emissions. That is

1 true. But why is it true? They have not  
2 shown why that should be true. Why that  
3 should be -- Why should they have the special  
4 status to be immune from the air standard  
5 pollution regulation of the Clean Air Act.

6 THE HEARING OFFICER: Excuse me.

7 Let the record show there was some  
8 question as to that.

9 MR. BOGACZ: Huh?

10 THE HEARING OFFICER: Mr. Bogacz, you are  
11 asserting something as factual that you have  
12 not established as factual yourself. So I am  
13 stating let the record reflect that there was  
14 a question as to that.

15 MR. BOGACZ: Oh, okay, about the  
16 administrator. Is that my understanding of  
17 what you are --

18 THE HEARING OFFICER: About the  
19 exception.

20 MR. BOGACZ: Exception?

21 THE HEARING OFFICER: Yes. You mentioned  
22 an exception to regulations.

23 MR. BOGACZ: Yes. Oh, okay.

24 Yes. There is no exception. There is a

1 privilege existing for Commonwealth Edison and  
2 apparently the entire power industry in the  
3 whole country.

4 This privilege, immunity, exception,  
5 exemption, whatever you want to call it, can  
6 only be determined by United States  
7 Environmental Protection Agency and enforced  
8 by state agencies by their -- under direction  
9 from the U.S. EPA.

10 None of their witnesses provided any  
11 Environmental Protection Agency authorized  
12 studies. All these studies were provided by  
13 private groups or research organizations or  
14 persons. None of the studies, calculations  
15 were approved by the EPA. They are not looked  
16 at by the EPA. And yet the Respondent asserts  
17 these as some form of authority which is  
18 superior to the U.S. EPA or for that matter  
19 the IEPA or for that matter the IPCB.

20 There is definitely ozone being produced  
21 by Commonwealth Edison transmission lines.  
22 Ozone is an air pollutant. Their own  
23 witnesses testified to that fact. Because  
24 costs are involved which would possibly

1           undermine the profitability of Commonwealth  
2           Edison, they assumed that they have a right to  
3           continue in their old ways, their old ways  
4           going back to the Victorian age over a hundred  
5           years. They are still using the same  
6           technology of building overhead lines and  
7           spewing out this poison, this poison that  
8           everybody else in the country generally has to  
9           respond to and obey laws, including automobile  
10          emissions, myself included.

11                 I object alone on that basis as a citizen  
12          that I -- my equal protection rights are being  
13          deprived because other parties are being  
14          treated differently because they assume an  
15          immune status in this country, so they can  
16          continue making millions of dollars.

17                 It may be true that the construction of  
18          underground lines may be technically not  
19          feasible. It may be true. What has  
20          Commonwealth Edison and the power industry  
21          been doing for the last hundred years with  
22          their money regarding research? There is --  
23          Apparently, they haven't been doing anything.  
24          They want to continue spewing out this air

1 pollutant and making millions of dollars at  
2 the expense of the public interest.

3 Well, I say I think it's time that we  
4 stop it. There are apparently others maybe  
5 more responsible for their -- for Commonwealth  
6 Edison's failure to prevent pollution from  
7 their transmission lines. That may be down  
8 the line to be found out by other citizens or  
9 maybe myself.

10 I mean, the cavalier attitude of  
11 Commonwealth Edison regarding ozone and the  
12 cavalier attitude presented by their witnesses  
13 that ozone is something that's, well, you  
14 know, it's just a little tiny amount, well, I  
15 call that a lot of baloney because the U.S.  
16 EPA does not consider ozone a cavalier topic.

17 Everybody has to take their automobile  
18 vehicles into -- just about everybody has to  
19 take their vehicles in for emission control.  
20 Why? Because ozone. We have to go there and  
21 gravel and wait in line and get our test done  
22 with as a good citizen, but certain  
23 corporations like Commonwealth Edison can  
24 continue on without any regulation or control



1 to emit their ozone directly into the  
2 atmosphere. Why? They should be stopped.  
3 It's insanity. Just because they haven't done  
4 anything for the last hundred years regarding  
5 new technology. There is new technology to  
6 bury transmission lines. It can be found in  
7 Europe primarily. And they apparently don't  
8 want to do it. It may cost a few extra more  
9 bucks, maybe less for the stockholders.

10 A private company in this country does  
11 not have more rights than a public interest.  
12 I know that well. If it does, then we're --  
13 this country's in real deep do-do.

14 The environment is more important than  
15 company profits. The public interest is more  
16 important than company profits. Public  
17 convenience and necessity, that is, the  
18 bulwark rat battering ram used by Commonwealth  
19 Edison and the power industry. They feed on  
20 pollution actually. They create it. They  
21 follow it wherever it's spread in the sprawl  
22 of the country, in the Chicago area. They  
23 feed it.

24 I read an -- The article that I read

1           fairly recently described our society as a --  
2           as being in a mental situation where we are in  
3           a dilemma. We don't know what to do. On the  
4           one hand, we are asking for protection from  
5           pollution; on the other hand, we are running  
6           around like crazies wanting to make millions  
7           of more dollars. And it's time we bite the  
8           bullet. I think it's probably one of the  
9           foundations of drug addiction. That's  
10          probably why a lot of people are going to it  
11          to forget their problems.

12                 But Commonwealth Edison did not present  
13                 any evidence to support their case that they  
14                 should not abide by the Clean Air Act and the  
15                 IEPA and the Environmental Protection Act.

16                 My case, my documents, the evidence I  
17                 presented show that the air is being polluted  
18                 by ozone, which is an air pollutant. It is  
19                 confirmed by the witnesses from the Respondent  
20                 and the -- there are no regulations currently  
21                 regulating or controlling this emission, and  
22                 this particular pollution activity should be  
23                 stopped or regulated to protect the public  
24                 health.

1 Thank you.

2 THE HEARING OFFICER: Thank you very  
3 much, Mr. Bogacz.

4 MR. RIPPIE: There is no  
5 cross-examination of that statement.

6 THE HEARING OFFICER: All right. Then at  
7 this time, we have a couple of administrative  
8 matters to discuss prior to closing the record  
9 of the hearing.

10 MR. BOGACZ: Excuse me, Hearing Officer.

11 THE HEARING OFFICER: Yes.

12 MR. BOGACZ: I'm just looking at the  
13 order of enforcement hearings.

14 Was that considered my opening argument  
15 or letter G?

16 THE HEARING OFFICER: That was E,  
17 Complainant's case in rebuttal.

18 MR. BOGACZ: Oh, okay. I'm jumping  
19 ahead.

20 THE HEARING OFFICER: Now, at this point,  
21 the parties in the case determine whether  
22 they wish to brief or not.

23 I had the impression that you did wish to  
24 brief the issues in the case. Is that

1 correct?

2 MR. BOGACZ: Yes.

3 THE HEARING OFFICER: All right. That  
4 can occur after the conclusion of the  
5 collection of documents which are going to be  
6 a part of the case, and we had discussion  
7 yesterday about documents that will be entered  
8 into evidence once I have seen them and  
9 determined that they are relevant to the  
10 proceeding, and those are the documents we  
11 discussed that are a part of a FOIA request at  
12 this time.

13 MR. BOGACZ: Yes.

14 THE HEARING OFFICER: Mr. Bogacz, when  
15 you get those documents, if you would see that  
16 I receive a copy of those. Then we can  
17 discuss -- and also, Mr. Zibart -- then we can  
18 discuss perhaps in a phone conference the  
19 documents that have come in.

20 At that time, we will have the date on  
21 which they have come in since we do not know  
22 now what date we will obtain those documents;  
23 and, therefore, the case schedule for closing  
24 and briefing will not be determined here on

1 the record today. We will determine that once  
2 we receive the documents that will be the  
3 documents we will enter into the record.

4 All right.

5 MR. ZIBART: Would the Hearing Officer  
6 consider it prudent perhaps to set sort of an  
7 outside limit conference in case time drags on  
8 and we haven't heard anything from the U.S.  
9 EPA?

10 I assume they have some obligation to  
11 respond in a timely manner, but ...

12 THE HEARING OFFICER: What is the  
13 timeline, Mr. Bogacz; do you know?

14 MR. BOGACZ: I don't -- I don't think I  
15 brought it with me, a document I got the other  
16 day stating they have 14 days or something to  
17 respond to my request. I may have to specify  
18 more.

19 THE HEARING OFFICER: I would like to  
20 suggest that we have a phone conference call  
21 in about a month. We have done this for  
22 purposes of reporting status, and that's what  
23 we'll call it. We'll call it a status  
24 reporting phone conference.

1                   And you are welcome to contact me prior  
2                   to the date that we come to hearing --

3                   MR. BOGACZ: Oh, okay.

4                   THE HEARING OFFICER: -- if you receive  
5                   the materials sooner.

6                   MR. BOGACZ: Okay.

7                   THE HEARING OFFICER: But in case we do  
8                   not have any contact prior to that date due to  
9                   the receipt of materials on the FOIA request,  
10                  then perhaps -- Well, that takes us to  
11                  Christmas.

12                  Is there any date in that area of days  
13                  when you could agree to have a phone  
14                  conference.

15                  I plan to be in the office that week, but  
16                  for the holiday, and also the following week.

17                  MR. BOGACZ: The week of the 15th?

18                  THE HEARING OFFICER: The week of the  
19                  30th.

20                  MR. BOGACZ: Oh, the 30th. Right before  
21                  New Year's Eve you mean?

22                  THE HEARING OFFICER: Yes. Christmas is  
23                  on a Wednesday, the 25th.

24                  Mr. Zibart, are you in the office that

1 week in general?

2 MR. ZIBART: Yes. Perhaps we could try  
3 something like Monday, the 23rd?

4 THE HEARING OFFICER: Mr. Bogacz, would  
5 that be suitable for you for a phone  
6 conference?

7 MR. BOGACZ: Yes. I think it would be  
8 all right. I might be -- It might be  
9 something about going out of town, but I'm not  
10 quite sure yet. But it looks good now.

11 THE HEARING OFFICER: We can change that  
12 date if necessary.

13 MR. BOGACZ: Okay.

14 THE HEARING OFFICER: Just call to change  
15 it if necessary.

16 Then why don't we say Monday the 23rd of  
17 December at 10:00 a.m.

18 MR. BOGACZ: Okay.

19 MR. RIPPIE: That's fine with us.

20 THE HEARING OFFICER: All right. I have  
21 identified no issues of witness credibility.  
22 I am determined by the rules to make a  
23 statement as to witness credibility at the  
24 hearing. I identified no issues of witness

1           credibility at yesterday's hearing, and I am  
2           identifying no issues of witness credibility  
3           at the hearing today.

4           The closing schedule will be ordered  
5           after receipt of the documents from U.S. EPA  
6           requested by Mr. Bogacz on October 31, 1996, I  
7           believe was the date of your request that went  
8           with your subpoena.

9           MR. BOGACZ: Oh, yes.

10          THE HEARING OFFICER: And indications are  
11          that the U.S. EPA is processing the subpoena  
12          with respect to the documents as a FOIA  
13          requests.

14          Other administrative matters; Mr. Rippie,  
15          I would like is a separate written appearance  
16          for you, if you don't mind.

17          MR. RIPPIE: That will be prepared and  
18          filed with the clerk of the Board on Monday.

19          THE HEARING OFFICER: All right. Thanks  
20          very much. And be sure that you bring the  
21          proper number of copies.

22          And then with respect to the filing that  
23          occurred at the hearing, I will make sure that  
24          the clerk receives the proper number of copies



1 on that.

2 MR. ZIBART: Thanks very much.

3 THE HEARING OFFICER: Now, the closing  
4 schedule will be forthcoming.

5 And I want to thank all of the witnesses  
6 that are present today for coming to the  
7 Pollution Control Board's Hearing. I know  
8 that I appreciated your testimony very much,  
9 and I know that the Board will appreciate  
10 hearing from all of the individuals in this  
11 case and their testimony very much.

12 This concludes the hearing of this case.  
13 Thank you for your attendance and cooperation  
14 in our process.

15 Off the record.

16

17 (Which were all the proceedings  
18 had in this matter at this time.)

19

20

21

22

23

24

1 STATE OF ILLINOIS )  
 ) SS.  
2 COUNTY OF C O O K )

3

4

5 I, MICHELLE M. DOSE, C.S.R., do hereby state  
6 that I am a court reporter doing business in the City of  
7 Chicago, County of Cook, and State of Illinois; that I  
8 reported by means of machine shorthand the proceedings  
9 held in the foregoing cause, and that the foregoing is a  
10 true and correct transcript of my shorthand notes so taken  
11 as aforesaid.

12

13

\_\_\_\_\_  
MICHELLE M. DOSE, C.S.R.  
Notary Public, Cook County, IL

14

15

16

17

18

19

20 SUBSCRIBED AND SWORN TO  
before me this \_\_\_\_\_ day  
21 of \_\_\_\_\_, A.D., 1996.

22

\_\_\_\_\_  
Notary Public

23

24

