

BEFORE THE ILLINOIS POLLUTION CONTROL BOARD

JOSEPH BOGACZ, )  
 )  
 ) Petitioner, )  
 )  
 ) vs. ) No. PCB-96-47  
 )  
 ) COMMONWEALTH EDISON COMPANY, )  
 )  
 ) Respondent. )

The following is a transcript of a hearing held in the above-entitled matter taken stenographically by MICHELLE M. DOSE, C.S.R., a Notary Public within and for the County of Cook and State of Illinois, before JUNE C. EDVENSON, ESQ., Hearing Officer, at the Lake Zurich Village Hall, 70 East Main Street, Lake Zurich, Illinois, commencing at 10:00 a.m. on the 21st day of November, 1996.

1 HEARING TAKEN BEFORE:

2

3

ILLINOIS POLLUTION CONTROL BOARD, by  
MS. JUNE C. EDVENSON, ESQ., Hearing Officer  
James R. Thompson Center  
100 West Randolph Street, Suite 11-500  
Chicago, Illinois 60601  
(312) 814-6930

6

7

8 APPEARANCES:

9

MR. JOSEPH BOGACZ, Petitioner  
30432 North Highway 12  
Round Lake, Illinois 60073  
(815) 385-3264

10

11

Appearing Pro Se;

12

13

HOPKINS & SUTTER, by  
MR. CHRISTOPHER W. ZIBART  
MR. E. GLENN RIPPIE  
Three First National Plaza  
Chicago, Illinois 60602  
(312) 558-4214

14

15

16

Appearing on behalf of the Respondent.

17

18

19

20

21

22

23

24

1	I N D E X	
2	COMPLAINANT'S CASE-IN-CHIEF	
3		Page
4	Pro Se Case-in-Chief by Mr. Bogacz	15
5	Cross-Examination by Mr. Rippie	46
6	OPENING STATEMENTS	
7		Page
8	Opening Statement by Mr. Zibart	82
9	WITNESS	
10	JOSEPH BOGACZ	
11		Page
12	Direct Examination by Mr. Rippie	84
13	WITNESS	
14	LINDA S. MANNING	
15		Page
16	Direct Examination by Mr. Rippie	91
17	Cross-Examination by Mr. Bogacz	114
18	WITNESS	
19	GARY B. JOHNSON, Ph.D.	
20		Page
21	Direct Examination by Mr. Zibart	124
22	Cross-Examination by Mr. Bogacz	152
23	Redirect Examination by Mr. Zibart	165
24	Recross-Examination by Mr. Bogacz	167
25	E X H I B I T S	
26	(Complainant's Exhibits marked for identification.)	
27		Page
28	Complainant's Exhibit No. 1	21
29	Complainant's Exhibit No. 2	22
30	Complainant's Exhibit No. 3	26
31	Complainant's Exhibit No. 4	27
32	Complainant's Exhibit No. 5	29
33	Complainant's Exhibit No. 6	33

1	E X H I B I T S	
2	(Continuing.)	
3	(Complainant's Exhibits marked for identification.)	
4		Page
5	Complainant's Exhibit No. 7	34
6	Complainant's Exhibit No. 8	35
7	Complainant's Exhibit No. 9	40
8	Complainant's Exhibit No. 10	41
9	Complainant's Exhibit No. 11	44
10	Complainant's Exhibit No. 12	79
11	(Complainant's Exhibits admitted into evidence.)	
12		Page
13	Complainant's Exhibit Nos. 1-12	81
14	(Respondent's Exhibits marked for identification.)	
15		Page
16	Respondent's Exhibit No. 1	48
17	Respondent's Exhibit No. 2	51
18	Respondent's Exhibit No. 3	53
19	Respondent's Exhibit No. 4	54
20	Respondent's Exhibit No. 5	57
21	Respondent's Exhibit No. 6	85
22	Respondent's Exhibit No. 7	94
23	Respondent's Exhibit No. 8	95
24	Respondent's Exhibit No. 9	100
25	Respondent's Exhibit No. 10	102
26	Respondent's Exhibit No. 11	104
27	Respondent's Exhibit No. 12	126
28	Respondent's Exhibit No. 13	130
29	Respondent's Exhibit No. 14	138
30	Respondent's Exhibit No. 15	148
31	(Respondent's Exhibits admitted into evidence.)	
32		Page
33	Respondent's Exhibit Nos. 1-6	90
34	Respondent's Exhibit Nos. 7-11	114
35	Respondent's Exhibit Nos. 12-15	151
36		

1           THE HEARING OFFICER: Okay. Good morning  
2           and welcome. This is a contested case hearing  
3           conducted by the Illinois Pollution Control  
4           Board, Case No. PCB-96-47 entitled Joseph  
5           Bogacz, the Plaintiff, versus Commonwealth  
6           Edison Company, the Respondent.

7           The proceeding is in the nature of an  
8           enforcement action. My name is June  
9           Edverson. I'm the Board's Hearing Officer for  
10          this case.

11          I will now request that the Complainant  
12          party and counsel for the Respondent party  
13          identify themselves for the record.

14          Would you state your name, please?

15          MR. BOGACZ: Joseph Bogacz. I'm the --  
16          pro se.

17          THE HEARING OFFICER: Thank you very  
18          much.

19          MR. ZIBART: Christopher Zibart,  
20          Z-i-b-a-r-t, of Hopkins & Sutter for the  
21          Respondent, Commonwealth Edison Company.

22          MR. RIPPIE: And Glenn Rippie, also of  
23          Hopkins & Sutter for the Respondent,  
24          Commonwealth Edison.

1           THE HEARING OFFICER: All right. Thank  
2 you.

3           Let the record reflect that a number of  
4 additional persons are here in attendance at  
5 our hearing. And for those that are not  
6 witnesses, I would like to request that they  
7 sign in on a pad of paper, which I will pass  
8 around.

9           All right. I believe we have some  
10 preliminary activities to discuss, and the  
11 first one is a request that we received this  
12 morning from Mr. Bogacz related to the use of  
13 his personal tape recorder.

14           Mr. Bogacz, would you like to state your  
15 request for the record?

16           MR. BOGACZ: Yes. Pursuant to Rules  
17 101 -- I lost it here -- oh, pursuant to  
18 the -- a rule within the Rules and Regulations  
19 of the Illinois Pollution Control Board, there  
20 is an allowance for tape recording of the  
21 hearing providing it does not disrupt the  
22 hearing itself and that it not be broadcast in  
23 any way to the news media and so forth. I,  
24 therefore, request to be allowed to tape

1 record the hearing.

2 THE HEARING OFFICER: All right. And --

3 MR. BOGACZ: Can I get a glass of water  
4 or something? I've got a dry throat or  
5 something.

6 THE HEARING OFFICER: Off the record.

7 (A short recess was taken.)

8 THE HEARING OFFICER: Back on the  
9 record.

10 All right. Is there a response from the  
11 Respondent related to the request?

12 MR. RIPPIE: The Respondent has no  
13 objection to the request with two provisos.

14 First of all, it's our understanding that  
15 the request is to tape those portions of the  
16 proceedings which are the official  
17 proceedings, that is, the portions that are on  
18 the record.

19 Secondly, under state statute and  
20 pursuant to the purposes of the Board's rule,  
21 the company believes that it is inappropriate  
22 to tape record, to audio tape record, portions  
23 of the testimony of a witness that personally  
24 objects to being taped. I have not instructed

1           our witnesses to object, I have not advised  
2           them to object; however, I think it's  
3           appropriate that each witness be asked whether  
4           they are personally objecting to having their  
5           testimony being taped at the time they take  
6           the stand.

7           THE HEARING OFFICER: Thank you,  
8           Mr. Rippie. I agree. I would like to permit  
9           the taping to occur; however, if a witness who  
10          is coming onto the stand objects to that, then  
11          we will go off the record to discuss whether  
12          the witness should be in a position to be  
13          forced to have themselves taped.

14          I have asked the witnesses preliminarily  
15          when we discussed this subject off the record  
16          if they wouldn't make themselves available for  
17          taping in this manner under the conditions set  
18          forth, and so let the record reflect that.

19          The second matter we have preliminary to  
20          starting the hearing has to do with a motion  
21          which is being filed by the Complainant, and  
22          the motion is entitled Motion to Include  
23          Evidence from Absent Subpoenaed Witness. I  
24          received a fax copy of this motion yesterday



1           afternoon -- excuse me -- two afternoons prior  
2           to the hearing, and the motion has been mailed  
3           to the clerk of the Board for filing at the  
4           Board.

5           I believe Respondent has also received a  
6           copy of the motion and have prepared for our  
7           receipt today a response to the motion. That  
8           response will be filed by me with the clerk of  
9           the Board when I return to the Board  
10          offices.

11          The Respondent opposes the motion to  
12          include evidence from the absent witness. The  
13          Complainant requests that the hearing officer  
14          rule on this motion today at the hearing.

15          The motion proposed by the Complainant  
16          requests that information that he will be  
17          receiving as the result of a FOIA request to  
18          the U.S. EPA be included with other evidence  
19          that he is presenting in this case. It  
20          appears that the evidence would be what he  
21          calls documentary evidence in the nature of  
22          documents which he has not yet obtained. The  
23          evidence is related to a FOIA request which is  
24          being processed by U.S. EPA as the result of a

1 subpoena request that Mr. Bogacz served on  
2 U.S. EPA.

3 The Respondent opposes the motion on the  
4 grounds that the evidence that would be  
5 received would not give the Respondent an  
6 opportunity to respond, which would be a  
7 violation of the hearing process, and would  
8 not give them the opportunity to cross examine  
9 any witness for whom the evidence was  
10 admitted. The Respondent makes other  
11 arguments.

12 Now, what I would like to propose is a  
13 case schedule which would permit the documents  
14 that Mr. Bogacz would be receiving from U.S.  
15 EPA to be entertained for inclusion in the  
16 record of this case as he would like and would  
17 also give the Respondent an opportunity to  
18 respond to those documents in writing by  
19 filing with the Board.

20 I also would like to suggest that the  
21 granting of the motion by Mr. Bogacz be  
22 limited in certain ways. Mr. Bogacz requests  
23 that, quote, any documentary evidence obtained  
24 in accordance with a FOIA request to the U.S.

1 EPA, end quote, be included with the other  
2 evidence that he presents in the case.

3 I must be assured that that evidence is  
4 material that is relevant to the subject of  
5 this proceeding, and, therefore, I would need  
6 to review it to identify its relevancy to this  
7 specific proceeding before I would be  
8 interested in including it in the record of  
9 the case.

10 If the evidence appears to be relevant to  
11 this proceeding and to the subject matter of  
12 this proceeding, I would be interested in  
13 having that be a part of the record of the  
14 proceeding for consideration by the Board.  
15 This evidence would be in the form of  
16 documents. I would not be interested in  
17 entertaining witnesses' testimony that are off  
18 the record of a hearing, in other words.  
19 Therefore, I am considering permitting  
20 documents that you received from U.S. EPA be  
21 entered into evidence in this proceeding, but  
22 not statements by witnesses that did not  
23 appear at the hearing.

24 Various forms of documents are admissible

1 as evidence in technical proceedings and in  
2 enforcement proceedings, and the Board  
3 appreciates the ability to review these in  
4 their consideration of the cases. Therefore,  
5 I will permit such documents to be entered  
6 into evidence if they are received by  
7 Mr. Bogacz with respect to his FOIA request  
8 from U.S. EPA.

9 Now, because we do not know when these  
10 items will be received, it will be difficult  
11 for us to develop a case schedule that will  
12 identify the date when the record is closed  
13 until we have further information on this.  
14 However, at the time that we finish receiving  
15 documents from U.S. EPA related to the FOIA  
16 request, I would like to give counsel for  
17 Commonwealth Edison an opportunity to respond  
18 to those documents in writing. Therefore, any  
19 briefing schedule we develop would have to be  
20 developed around the conclusion of the receipt  
21 of documents that the Complainant wishes to  
22 propose as admissible evidence in the case.

23 I believe this answer is Respondent's  
24 chief concern as noted in the response, and

1           that it also accommodates the Complainant's  
2           interest in submitting documents that have not  
3           yet been received at this point in time.

4           All right. Thank you. At this point,  
5           let's proceed with the order of the hearing.

6           MR. ZIBART: Madam Hearing Officer, can  
7           I ask a question about the ruling or ask for a  
8           clarification?

9           THE HEARING OFFICER: Yes.

10          MR. ZIBART: First, could it be clear  
11          that there would be no more FOIA requests to  
12          EPA; that the documents that are covered by  
13          the Hearing Officer's ruling would cover the  
14          FOIA request that's already been filed?

15          THE HEARING OFFICER: Yes, that can be a  
16          condition of the ruling.

17          MR. ZIBART: And my other clarification  
18          would be Commonwealth Edison Company would  
19          like to take a look at the documents that are  
20          received by Mr. Bogacz, all of the documents.  
21          And in the interest of completeness, we would  
22          ask that we too be allowed to submit some of  
23          those same documents into the record; in other  
24          words, we would be allowed to see the

1 documents that U.S. EPA produces to Mr. Bogacz  
2 and make sure that all of the ones that we are  
3 interested in are also submitted into the  
4 record as well.

5 THE HEARING OFFICER: I believe it would  
6 be appropriate for you to be permitted to  
7 submit responsive documents as well as submit  
8 copies of those other documents in your  
9 filing.

10 MR. BOGACZ: I see no problem with that.

11 THE HEARING OFFICER: All right. Then at  
12 this point in time, we will, I hope, be able  
13 to accomplish today the aspects of the case  
14 that need to be heard in a hearing situation,  
15 and we are gathered for that purpose today.

16 In the order of the hearing, we will  
17 first hear from the Complainant who proposes  
18 to testify himself in this case.

19 And will the Complainant be sworn.

20 (Complainant sworn.)

21 THE HEARING OFFICER: Mr. Bogacz, if you  
22 would like to sit at the table there with your  
23 documents, that would be fine.

24 MR. BOGACZ: Okay. Thank you.

1                   (Whereupon the following is the  
2                   Complainant's Case-in-Chief, pro se.)

3                   MR. BOGACZ: I appreciate the time that  
4 you are providing a citizen to present his  
5 case regarding pollution.

6                   My case concerns air pollution caused by  
7 ozone being produced by high voltage  
8 transmission lines from the Respondent.

9                   Currently, there are no permits or  
10 regulations and so forth covering the  
11 Respondent's high voltage lines as they relate  
12 to the Clean Air Act or the Illinois Pollution  
13 Control Board or the U.S. EPA or the Illinois  
14 EPA.

15                   I'll show a need for controlling the  
16 ozone from these high voltage lines, and that  
17 the ozone is an air pollutant, and that the  
18 Respondent has caused or contributed to or  
19 sustained the air pollution at its immediate  
20 locations and/or the ambient air in the  
21 surrounding area of Chicago.

22                   The Respondent should stop polluting the  
23 atmosphere just like everybody else is being  
24 controlled in one way or another by permits

1 and regulations. It appears that the  
2 Respondent is operating without any -- or the  
3 Respondent is operating arbitrarily in all its  
4 operations as far as they apply to the high  
5 voltage lines. And they are being  
6 uncontrolled at the moment, and the Board  
7 should initiate, consider, and adapt the  
8 appropriate regulations applicable to the  
9 Respondent; and along with that because of  
10 their causing air pollution in the atmosphere,  
11 penalties should be assessed against the  
12 Respondent for polluting the air during the  
13 period that the high voltage lines have been  
14 in operation and at least until -- or from the  
15 point of inception of the Clean Air Act.

16 That basically is my case. That's my  
17 preliminary statement.

18 THE HEARING OFFICER: All right. I did  
19 not propose opening statements.

20 MR. BOGACZ: Oh, I'm sorry.

21 THE HEARING OFFICER: Perhaps at this  
22 point I would ask if Commonwealth Edison has  
23 an opening statement.

24 MR. ZIBART: We can make an opening



1 statement now or perhaps as Mr. Bogacz's case  
2 is narrative in nature, perhaps we should  
3 defer the opening statement to the beginning  
4 of our case-in-chief.

5 THE HEARING OFFICER: All right. That's  
6 fine.

7 All right, then, Mr. Bogacz, you may  
8 proceed. We would be interested in seeing any  
9 documents that you have that propose evidence  
10 of this, and we would also be interested in  
11 any evidentiary testimony that you have to  
12 give of a factual or scientific nature.

13 MR. BOGACZ: Okay. I'll start off  
14 basically with documents I have submitted in  
15 response to the interrogatories from the  
16 Respondent and also my Answers to  
17 Interrogatories from the Respondent.

18 Basically, I'd start off with  
19 establishing that ozone is an air pollutant.

20 THE HEARING OFFICER: Can you refer us to  
21 documents in the record as you proceed?

22 MR. BOGACZ: Yes. I'm going to try. I  
23 don't know how -- I think there's a list that  
24 I provided to the Respondent of all the

1 documents that I had supplied them.

2 Well, let me start off with newspaper  
3 articles, this large ad that I provided the  
4 Respondent that was in reply to something in  
5 the nature of documents describing whether  
6 ozone was an air pollutant or something to  
7 that effect. This article is --

8 THE HEARING OFFICER: Can you give the  
9 title and the date of the article?

10 MR. BOGACZ: Yes. This is an article  
11 published in the Northwest Herald in McHenry  
12 County, and it's titled "Ozone Poses New  
13 Challenge."

14 THE HEARING OFFICER: Let the record  
15 reflect that this is a document that was in  
16 response to Respondent's document request  
17 No. 1.

18 MR. BOGACZ: It's dated July 23, 1995.  
19 I'll read certain excerpts from the article  
20 rather than going through all the -- Some of  
21 the material in here is really not relevant,  
22 but --

23 MR. RIPPIE: Madam Hearing Examiner, if  
24 it is the Complainant's intention to read this

1 article into the record and/or to offer this  
2 newspaper article into evidence, the Company  
3 does have an objection to it. I don't know  
4 exactly what the Complainant's intention is,  
5 whether he just intends to read it as  
6 reference or as the basis of something else or  
7 whether it's his intention to offer this as  
8 substantive evidence.

9 MR. BOGACZ: My intention is to offer it  
10 as substantive evidence, and --

11 MR. RIPPIE: We obviously don't have any  
12 objection to the Complainant or any other  
13 party submitting written materials of a  
14 scientific or technical nature, studies,  
15 reports and the like of scientific and  
16 technical nature. This falls far short of  
17 that criteria. And I might add that much of  
18 what the Complainant did provide to us was  
19 material that may qualify under that standard.

20 This, however, is a newspaper article by  
21 an individual named Karen Rivedal. We don't  
22 know what Ms. Rivedal's qualifications are.  
23 She's not available to be cross-examined nor  
24 are any of the other individuals named or

1 unnamed which are referred to in the articles  
2 available for cross-examination. She is  
3 certainly -- The author is certainly not an  
4 air pollution expert. She has no  
5 qualifications stated in the article nor has  
6 the Complainant attempted to offer any  
7 qualifications for it nor has the Complainant  
8 attempted to offer any evidence that this type  
9 of material is authoritative, peer reviewed,  
10 scientific, technical or is the kind of  
11 material that policy makers and others rely on  
12 in examining the appropriate courses of action  
13 to take in regulating ozone.

14 THE HEARING OFFICER: Thank you, Counsel.

15 MR. BOGACZ: May I respond?

16 THE HEARING OFFICER: I would like to ask  
17 the Complainant not to read from the article,  
18 and I will accept the article into evidence.  
19 The Board will determine the voracity and  
20 reliability of newspaper articles. The Board  
21 members are frequently reading articles on  
22 topics of interest to their areas of concern.

23 Mr. Bogacz, you are welcome to make  
24 observations about the article --

1 MR. BOGACZ: Right.

2 THE HEARING OFFICER: -- without reading  
3 the article.

4 MR. ZIBART: Will that -- Excuse me.  
5 Will that exhibit be marked or numbered in  
6 some way for reference?

7 THE HEARING OFFICER: We can identify  
8 that as Complainant's Exhibit 1.

9 (Complainant's Exhibit No. 1  
10 marked for identification.)

11 THE HEARING OFFICER: You may continue,  
12 Mr. Bogacz.

13 MR. BOGACZ: This particular article  
14 explains how ozone is an air pollutant. It is  
15 technical in nature in that it quotes  
16 authorities from the EPA and other individuals  
17 within governmental units in the Chicago area  
18 and McHenry County specifically that they are  
19 working on programs to resolve the ozone air  
20 pollution problem because of the nonattainment  
21 mandate provided to various governments and  
22 companies and individuals by the U.S. EPA.

23 And, essentially, it states that -- or  
24 the article covers air pollutant -- or ozone

1 as an air pollutant in that it's harmful, it  
2 affects people with lung problems and asthma,  
3 and that there are certain ozone alert days  
4 designated when ozone is at a very high level  
5 in the Chicago area. And it is information  
6 given to the general public through a  
7 newspaper, and the quotes within the article  
8 are made by individuals who are technical  
9 specialists in their agency or company who  
10 handle air pollution problems and know about  
11 ozone being a very bad air pollutant.

12 The next document I'd like to submit for  
13 evidence is a brochure entitled, "Is There  
14 Anything I Can Do To Protect Myself From  
15 Harmful -- Harmful Effects of Air Pollution."  
16 This is distributed by the Lake County Health  
17 Department, and it's published by the Lake  
18 County Lung Association, Lake County,  
19 Illinois.

20 THE HEARING OFFICER: And we will number  
21 this as Exhibit No. 2.

22 (Complainant's Exhibit No. 2  
23 marked for identification.)

24 THE HEARING OFFICER: Are there any

1 observations you would like to make about this  
2 document?

3 MR. BOGACZ: Within the document, it  
4 describes certain pollution standards index  
5 charts showing various levels of index values  
6 which affect the health of persons in the  
7 Chicago area.

8 It states that the Illinois Environmental  
9 Protection Agency uses the highest air level  
10 to -- or measured by monitors in each -- in  
11 certain sectors of the Chicago area to publish  
12 to the public and the news media to alert them  
13 of harmful levels of air pollution; in other  
14 words, ozone.

15 The article states that the air  
16 pollutants measured in Illinois are -- one of  
17 them is ozone. And the highest reading for  
18 ozone is at a certain very high level. It  
19 describes how they determine the index value  
20 as described in this brochure.

21 Also within the brochure, it describes  
22 people who should -- who are affected by this  
23 pollution as described by these index values  
24 of pollution; the elderly, infants and

1 children, asthmatics, people with lung  
2 problems, heart problems, persons with their  
3 cardiovascular diseases and so forth. And  
4 then there is certain characteristics that are  
5 described in here that are the symptoms of  
6 high pollution levels, eye and ear, throat  
7 irritation and headaches, coughing, wheezing.  
8 In fact, there may be air pollution in here  
9 right now. I don't know.

10 But, anyway, that basically describes  
11 this particular brochure.

12 The next --

13 THE HEARING OFFICER: Mr. Bogacz, I would  
14 like to ask you not to describe the items.  
15 The items are themselves in the record. I  
16 asked you if you had any comments about them.  
17 I would like to ask you not to describe them  
18 for the record.

19 MR. BOGACZ: Any comments?

20 THE HEARING OFFICER: Yes. Did you have  
21 any testimony of your own that you wish to add  
22 to the introduction of the document?

23 MR. BOGACZ: Well, I am basically adding  
24 my own testimony.



1 THE HEARING OFFICER: Proceed.

2 MR. BOGACZ: There is another document  
3 entitled, "What's in the Air" published by the  
4 Chicago Area Transportation Study in Chicago,  
5 Illinois.

6 THE HEARING OFFICER: Do I have a copy of  
7 that?

8 MR. BOGACZ: You should have. The  
9 subtitle of the document is, "The Ozone  
10 Problem in Northeastern, Illinois."

11 MR. RIPPIE: Madam Hearing Officer, we  
12 don't see that document in the materials we  
13 have either.

14 THE HEARING OFFICER: Okay.

15 MR. RIPPIE: If we could just perhaps go  
16 off the record for just a second and take a  
17 look at it.

18 THE HEARING OFFICER: All right. We'll  
19 go off the record so we can share the document  
20 with the Respondent.

21 (Discussion off the record.)

22 THE HEARING OFFICER: Let the record  
23 reflect that neither Respondent nor Hearing  
24 Officer have received the brochure item which

1 Mr. Bogacz identified.

2 Mr. Bogacz, you are welcome to discuss  
3 that if copies of it are made available to the  
4 parties prior so that they can look at it.

5 MR. BOGACZ: Okay.

6 THE HEARING OFFICER: Since that has not  
7 been done, are you going to forego entering  
8 that document?

9 MR. BOGACZ: Am I going to what?

10 THE HEARING OFFICER: Forego entering  
11 that document?

12 MR. BOGACZ: Yes.

13 THE HEARING OFFICER: Okay.

14 MR. BOGACZ: The next document I have is  
15 a brochure entitled, "Ozone Action Days: A  
16 Special Alert for People with Asthma and Other  
17 Respiratory Problems."

18 THE HEARING OFFICER: This will be  
19 numbered Exhibit 3.

20 (Complainant's Exhibit No. 3  
21 marked for identification.)

22 MR. BOGACZ: This is a document published  
23 by the U.S. EPA in Chicago, Illinois. It  
24 basically describes the ozone pollution in the

1 area of Chicago and the difference in  
2 stratospheric ozone and ground level ozone.  
3 And it describes how ozone is a problem and  
4 particular -- and of particular concern to  
5 people of -- who have certain illnesses and  
6 the general public, also people that have  
7 asthma problems and lung problems, and  
8 describes also how people can protect themselves  
9 or what they should do to protect themselves  
10 from this pollution.

11 The next document I have is "What You Can  
12 Do To Reduce Air Pollution."

13 Maybe to move things along, could the  
14 Respondent indicate whether that is something  
15 that was on the list? I don't have my list  
16 right here. If you object to it --

17 MR. RIPPIE: Yes. We have that one.

18 MR. BOGACZ: Okay.

19 THE HEARING OFFICER: That will be  
20 Exhibit 4.

21 (Complainant's Exhibit No. 4  
22 marked for identification.)

23 MR. BOGACZ: This is an Internet document  
24 which I obtained, and it's from the United

1 States Environmental Protection Agency.  
2 It's -- Let's see. The document number is  
3 EPA450-K-92-002.

4 On the front page, the first page, it  
5 lists what you will learn about by reading  
6 this document, and one of them is the health  
7 effects of air pollution. It lists six  
8 pollutants that the U.S. EPA considers their  
9 responsibility, and one of them is ozone.

10 And it states basically that there are  
11 health problems associated with breathing in  
12 of ozone via the atmosphere. It basically  
13 describes various characteristics and symptoms  
14 people may obtain from breathing in the ozone  
15 which involve coughing and hard breathing,  
16 headaches and so forth.

17 This document also describes how the  
18 plant life on earth is of harm by ozone. And  
19 it also says that ozone is the most harmful  
20 pollutant to plant life.

21 MR. RIPPIE: Madam Hearing Officer, if I  
22 may, I would just like to note two things.

23 First of all, the portion of the document  
24 which is being offered states on its face that

1           it is the first four pages of twenty. The  
2           Respondent doesn't object to admission of  
3           these four pages as opposed to the complete  
4           twenty, but we do want to make it clear on the  
5           record that this is not the complete document  
6           that the Complainant is offering.

7           THE HEARING OFFICER: Thank you, Counsel.

8           MR. BOGACZ: The next document I have is  
9           a document -- or pages from a book titled, The  
10          Green Encyclopedia. The authors are Irene  
11          Frank and David Brownstone, 1992.

12          THE HEARING OFFICER: This will be  
13          numbered Exhibit 4 -- 5. Excuse me.

14                                 (Complainant's Exhibit No. 5  
15                                 marked for identification.)

16          THE HEARING OFFICER: Do you have any  
17          observations to make about this document  
18          without describing it?

19          MR. BOGACZ: The document basically  
20          describes ozone as an air pollutant and that  
21          it is very injurious -- injurious to human  
22          beings and plant life on earth.

23                                 Respiratory problems are prevalent by  
24          breathing in the ozone, and it also describes

1 various bad effects on lung tissue which ozone  
2 apparently affects.

3 THE HEARING OFFICER: I show a  
4 three-page document; is that correct?

5 MR. BOGACZ: Well, yeah. The document --  
6 or the book in one of the pages describes how  
7 ozone is a very virulent gas.

8 THE HEARING OFFICER: Are you discussing  
9 a page that is here in this document?

10 MR. BOGACZ: Yes.

11 THE HEARING OFFICER: Okay. Thank you.

12 Do you have any observations about this  
13 document?

14 MR. BOGACZ: Yes. This particular  
15 document describes how ozone is a very  
16 poisonous or virulent gas and is --

17 THE HEARING OFFICER: Mr. Bogacz, do you  
18 have any comments about the document itself?

19 MR. BOGACZ: Do I have any -- the  
20 comments -- As far as describing the  
21 pollution, air pollution, and the fact that  
22 ozone is an air pollutant, it is a very good  
23 document.

24 THE HEARING OFFICER: And do you know

1 anything about the authors of the document?

2 MR. BOGACZ: Not really, no.

3 THE HEARING OFFICER: Okay.

4 MR. BOGACZ: And the -- one of the --  
5 some of the information within this document  
6 describes how ozone is more poisonous than  
7 mustard gas, which was used in World War I as  
8 a combat -- during combat.

9 THE HEARING OFFICER: Mr. Bogacz, I have  
10 to ask you not to make statements about what  
11 the document says without referring to the  
12 specific piece of the document that says that.

13 MR. BOGACZ: Oh, you want the page  
14 number?

15 THE HEARING OFFICER: Otherwise, we are  
16 in a position where we cannot verify that what  
17 you are saying is correct.

18 MR. BOGACZ: Okay. You want me to refer  
19 to the page number then?

20 THE HEARING OFFICER: For instance, you  
21 made a statement about mustard gas. Where is  
22 that statement in this document?

23 MR. BOGACZ: It's listed on page 8 or  
24 sheet 8. I don't know if it's the third sheet

1 or --

2 THE HEARING OFFICER: I have three pages  
3 here, and none of them are numbered page 8.  
4 All right. The first page appears to have an  
5 eight in the upper corner.

6 MR. BOGACZ: 231. I'm sorry.

7 THE HEARING OFFICER: Okay. Where on  
8 page 231?

9 MR. BOGACZ: At the very top.

10 THE HEARING OFFICER: All right. Thank  
11 you.

12 MR. RIPPIE: I would also note for the  
13 record, again, that this appears to be not  
14 even a complete excerpt. As Mr. Bogacz just  
15 noted, the first page of his submission  
16 appears to terminate with an eight, and then  
17 it proceeds to page 231 --

18 MR. BOGACZ: Right.

19 MR. RIPPIE: -- and an unnumbered page.

20 Also, the text on the first page does not  
21 flow over to the text on the second page.

22 THE HEARING OFFICER: Okay. Thank you,  
23 Counsel.

24 MR. BOGACZ: The next document is a



1 technical publication from the United States  
2 Environmental Protection Agency. This was  
3 obtained on the Internet. The title of it is  
4 "Ozone, Good Up, High Bad, Nearby."

5 THE HEARING OFFICER: That would be  
6 Exhibit 6.

7 MR. BOGACZ: What?

8 THE HEARING OFFICER: That will be  
9 Exhibit 6.

10 (Complainant's Exhibit No. 6  
11 marked for identification.)

12 MR. BOGACZ: Oh, okay.

13 This is a very good document in that it  
14 describes the health and environmental effects  
15 of ground level ozone. It basically describes  
16 the same information that was described  
17 previously in the documents about ozone being  
18 an air pollutant and that it's very harmful to  
19 the environment and to human beings.

20 The next document I'd like to present is  
21 another technical publication from NASA,  
22 National Aeronautical Space Administration.  
23 The title of it is "Ozone, What Is It and Why  
24 Do We Care About It."

1 THE HEARING OFFICER: That will be  
2 numbered item 7.

3 (Complainant's Exhibit No. 7  
4 marked for identification.)

5 MR. BOGACZ: This is another Internet  
6 document. It too is a very good document in  
7 that it alerts the public to ozone as being a  
8 very big problem on earth and the various  
9 health effects such as affecting the lungs and  
10 asthma and the heart are one of the -- is one  
11 of the byproducts of breathing in ozone, and  
12 ozone is a bad type of gas to have in the  
13 atmosphere and that it is an air pollutant.

14 The next document I have is a document  
15 titled "Target Summary Air Quality Health and  
16 Risk Assessment." This is a document from the  
17 Electric Power Research Institute, EPRI. It  
18 was obtained on the Internet.

19 MR. RIPPIE: Madam Hearing Examiner, I  
20 think we have -- if we could go off the record  
21 again to see if we can locate a copy of this  
22 document. I cannot find it on the schedule.

23 THE HEARING OFFICER: Off the record to  
24 find the document.

1 (Discussion off the record.)

2 THE HEARING OFFICER: Let the record  
3 show that we have looked at this document  
4 which was not previously shared with the  
5 Hearing Officer and Respondent.

6 Could you give the title of the document  
7 again, Mr. Bogacz?

8 MR. BOGACZ: This is a document from the  
9 EPRI, Electric Power Research Institute. It's  
10 titled "Target Summary Air Quality Health and  
11 Risk Assessment." This was obtained on the  
12 Internet.

13 THE HEARING OFFICER: That will be  
14 Exhibit 8.

15 (Complainant's Exhibit No. 8  
16 marked for identification.)

17 MR. RIPPIE: Mr. Bogacz, because we don't  
18 have a copy of that document, could you  
19 provide us with the Internet address so that  
20 we could look at the full document?

21 I also, as long as we are noting this,  
22 just want to note that the last two Internet  
23 documents that have been marked as Exhibits 6  
24 and 7 have been incomplete collections of

1 pages.

2 THE HEARING OFFICER: That is correct.

3 I will also have to take the copy that  
4 you have here today with me.

5 MR. BOGACZ: Okay.

6 I don't know. For some reason, this one  
7 does not have the Internet address on here,  
8 but I'll -- It might be.

9 THE HEARING OFFICER: We can make sure  
10 that Respondent receives a copy of this.

11 MR. BOGACZ: Somewhere on the EPRI.

12 THE HEARING OFFICER: You may proceed.

13 MR. BOGACZ: Okay. This document is  
14 published by a Research Institute, the EPRI,  
15 which provides advice as to environmental and  
16 other factors to the electric power industry  
17 which includes the Respondent. It's a very  
18 good document in that it describes various  
19 criteria of established air pollutants, and  
20 one of them is ozone, and that the industry  
21 should be concerned about it and do everything  
22 in their --

23 THE HEARING OFFICER: If you would not  
24 repeat what the document states.

1           MR. BOGACZ: No, no. I mean, not word by  
2 word, no.

3           THE HEARING OFFICER: Mr. Bogacz, do you  
4 have any comments about the document?

5           MR. BOGACZ: Well, the document is an  
6 apparent advisement to the electric power  
7 industry, and it's very good and it describes  
8 the responsibilities of the electric power  
9 industry to minimize or eliminate air  
10 pollution in their operations.

11           The next document I have is a few pages  
12 from what is called -- the title of the  
13 document is entitled "Air Quality Criteria for  
14 Ozone and Related Photochemical Oxidants."  
15 This is a United States EPA document.

16           THE HEARING OFFICER: Has that document  
17 been given to the Respondent and the Officer?

18           MR. BOGACZ: I believe so, yes.

19           MR. RIPPPIE: There is an additional  
20 matter which I should bring to your attention,  
21 Madam Hearing Officer.

22           This is a -- This is not from the actual  
23 document. It is from a preliminary draft.  
24 And if you will look on the face of the

1 document --

2 THE HEARING OFFICER: I don't have the  
3 document.

4 MR. RIPPIE: There isn't -- There isn't a  
5 title, ma'am. And it's -- I think it was  
6 attached to the copy --

7 MR. BOGACZ: I think I wrote in there,  
8 you know, the title on it on the second page.

9 MR. RIPPIE: Right.

10 MR. BOGACZ: Some notes on, yeah, that  
11 it's a draft.

12 THE HEARING OFFICER: Oh, okay. This is  
13 the document which on its face simply  
14 identifies itself by a series of alphabet  
15 letters, AQCFOARPOII.

16 MR. RIPPIE: The Agency has, as you will  
17 see, on both the pages marked 2-5 and 3-127,  
18 which the Complainant has included. I believe  
19 it's the second and third pages of these  
20 documents. It makes it clear that what the  
21 Complainant is offering are pages from a  
22 preliminary review draft under the Agency's  
23 designation. This draft is not for quotation  
24 or citation, and I on that basis object to

1           it's admission.  If he cares to admit the  
2           final report, I wouldn't have any objection.

3                   THE HEARING OFFICER:  Do you have any  
4           response?

5                   MR. BOGACZ:  Well, it is a document  
6           being considered or ultimately adopted, in  
7           essence, by U.S. EPA.  I have no evidence that  
8           it's not going to be -- it wasn't adopted or  
9           it's not going to be adopted, but I'm offering  
10          it as a -- as evidence that the subject of  
11          ozone is being considered by the U.S. EPA.

12                   MR. RIPPIE:  Would -- I'm sorry.

13                   MR. BOGACZ:  Okay.

14                   MR. RIPPIE:  I would have -- Well, the  
15          purpose of offering this exhibit is for more  
16          than just proving that the subject of ozone is  
17          under consideration by U.S. EPA.  We all know  
18          that to be true.

19                   Administrative agencies charged with  
20          enforcement of pollution regulations and  
21          indeed agencies charged with all manner of  
22          technical and scientific issues regularly  
23          release preliminary drafts of documents for  
24          review by other agencies and by the scientific

1 community. Those documents are customarily  
2 designated as this one is and not for citation  
3 or quotation, and the reason for that is  
4 apparent.

5 If they could be cited and quoted as much  
6 as the Complainant is doing here, the  
7 agency's positions would be attributed to the  
8 agency that were not its final position, and  
9 that's why the agencies designate these drafts  
10 not for quotation and citation; and on that  
11 basis, we object to its use.

12 THE HEARING OFFICER: Thank you,  
13 Counsel.

14 The Board regularly sees drafts of  
15 documents from the IEPA and the U.S. EPA, and  
16 the Board can also determine the voracity and  
17 the reliability of the information provided in  
18 those documents.

19 I am going to permit the introduction of  
20 this document into evidence, but I am going to  
21 forbid its photocopying by the public. This  
22 will be Exhibit 9.

23 (Complainant's Exhibit No. 9  
24 marked for identification.)





1           then all its characteristics and as to whether  
2           it's harmful to human beings or the  
3           environment. It's just one of many  
4           definitions available to the public, and that  
5           finishes that.

6           The next portion of my presentation, I'd  
7           like to offer evidence of Commonwealth Edison  
8           producing ozone, the air pollutant, and I'd  
9           like to offer all these -- all the documents  
10          that I received from the Respondent in  
11          response to my interrogatory. I'd like to  
12          have that entered as evidence.

13          THE HEARING OFFICER: Is there any  
14          objection to the introduction of those  
15          documents into evidence?

16          MR. RIPPIE: There are supplemental  
17          responses to those as well.

18          MR. BOGACZ: Right.

19          MR. RIPPIE: Is it your intention,  
20          Mr. Bogacz, to offer both the original and  
21          supplemental responses?

22          MR. BOGACZ: Yes.

23          MR. RIPPIE: Then we have no objection.

24          THE HEARING OFFICER: Okay. I believe

1 the filings that we are referring to were  
2 identified by the following titles; and if you  
3 will assist me in identifying whether I  
4 inadvertently fail to mention one, I will  
5 appreciate it.

6 The first one being Commonwealth Edison's  
7 Answers to Complainant's Interrogatories,  
8 comma, Requests for Admissions of Fact and  
9 Documents. I received that on April 2nd.

10 The second being Respondent's  
11 Supplemental Answers to Complainant's  
12 Interrogatory No. 2. I received that on  
13 August 13th.

14 The third being Respondent's Supplemental  
15 Answers to Complainant's Interrogatory  
16 No. 20. I received that on October 15th.

17 And I forgot to mention one I received  
18 earlier, Respondent's Supplemental Answers to  
19 Complainant's Interrogatories Nos. 24 and 25,  
20 which I received April 9th.

21 Are there any others I have not  
22 mentioned?

23 MR. RIPPIE: That's a complete  
24 identification.

1           THE HEARING OFFICER: All right. Thank  
2 you, very much.

3           Those will be entered into evidence as  
4 Complainant's Exhibit 11.

5                                 (Complainant's Exhibit No. 11  
6                                 marked for identification.)

7           MR. BOGACZ: Now, all those documents not  
8 only show that Commonwealth Edison produces  
9 ozone by their generating electricity through  
10 their high voltage transmission lines, but it  
11 causes air pollution and sustains air  
12 pollution and contributes to air pollution.

13                                 That essentially is my particular  
14 case-in-chief right now.

15           THE HEARING OFFICER: All right. At this  
16 point in time then, Mr. Bogacz, you are  
17 subject to cross-examination by Respondent's  
18 counsel.

19           MR. BOGACZ: I didn't quite hear you.  
20 I'm sorry.

21           THE HEARING OFFICER: I said at this  
22 point in time, Mr. Bogacz, you would be  
23 subject to cross-examination by Respondent's  
24 counsel --

1 MR. BOGACZ: Okay.

2 THE HEARING OFFICER: -- on statements  
3 that you have been made as part of your  
4 testimony.

5 Before we do that, why don't we take  
6 about five minutes, and then we'll come back  
7 and do that.

8 And then it appears that our schedule  
9 today will mean that we will take a lunch  
10 break and we will come back after the lunch  
11 break and have Respondent's case-in-chief.

12 And I do appreciate the fact that you  
13 have a number of individuals with you today.  
14 The Board is very interested in this topical  
15 area, and thank you.

16 We'll come back on the record in five  
17 minutes.

18 (A short recess was taken.)

19 THE HEARING OFFICER: All right. Back  
20 on the record.

21 We will proceed now with the  
22 cross-examination of Mr. Bogacz on his  
23 testimony by counsel for the Respondent. And  
24 if I have the need to ask any clarifying

1           questions after that, then I will take that  
2           opportunity for the Board.

3           So, Counsel, you may proceed.

4           MR. RIPPIE: Mr. Bogacz, my name is Glenn  
5           Rippie. We've met before several years ago.  
6           I'll be asking you a few questions about your  
7           case on behalf of my client.

8                                   CROSS-EXAMINATION

9           BY MR. RIPPIE:

10          Q.     It's correct, is it not, that prior to filing  
11          your complaint before the Pollution Control Board, you  
12          sought the advice of some other agencies on the question  
13          of transmission lines and ozone?

14          A.     Yes, I did.

15          Q.     One of those agencies was the United States  
16          Environmental Protection Agency?

17          A.     I believe so. I don't know if I really sought  
18          advice. I don't -- I don't understand what you mean by  
19          advice.

20          Q.     Well --

21                   THE HEARING OFFICER: Could you clarify  
22          your question?

23          MR. RIPPIE: Certainly.

24

1 BY MR. RIPPIE:

2 Q. Mr. Bogacz, am I correct that you wrote to  
3 the administrator of the U.S. EPA informing her of your  
4 concerns and asking U.S. EPA to provide you with  
5 information and/or measurements of ozone levels that you  
6 contend that were related to the transmission lines?

7 A. I believe I did, yes.

8 Q. And you also contacted the Illinois  
9 Environmental Protection Agency?

10 A. Yes.

11 Q. And you contacted those agencies because you  
12 believe that they were authoritative?

13 A. Yes.

14 Q. Now, U.S. EPA didn't respond to your letter  
15 within 19 days, after which time you wrote a letter to  
16 U.S. Senator Paul Simon; am I correct?

17 THE HEARING OFFICER: Can we be more  
18 specific about the dates of the letters in  
19 question?

20 MR. RIPPIE: Sure.

21 BY MR. RIPPIE:

22 Q. Mr. Bogacz, you contacted Administrator  
23 Browner in writing on July 28, 1995; is that correct?

24 A. I believe so, yeah.





1 Q. And that is page 68 of a larger document?

2 A. Right, yes.

3 THE HEARING OFFICER: Counsel, what is  
4 the relation of this avenue of inquiry to  
5 Mr. Bogacz's case-in-chief testimony or isn't  
6 this part of your own case-in-chief?

7 MR. RIPPIE: Well, Mr. Bogacz, I believe,  
8 expressed the testimony and would be required  
9 to express the testimony that ozone was  
10 produced in material quantities by the  
11 activities of the Respondent of which he is  
12 complaining, and this goes to that question.  
13 It also goes to -- Well, it goes to that  
14 element of the Respondent's case.

15 THE HEARING OFFICER: All right. I'll  
16 let you proceed then.

17 BY MR. RIPPIE:

18 Q. Mr. Bogacz, have you had an opportunity to  
19 review the study that the U.S. EPA referred to in its  
20 September 15, 1995 letter to Mr. Simon, to Senator Simon,  
21 that was forwarded on to you in response to your inquiry?

22 A. I don't quite understand. Are you asking if I  
23 have reviewed all these studies that are listed on this  
24 page or just this particular page?

1 Q. Okay. You had an opportunity to review the  
2 study of which this was a part, of which the third page is  
3 a part?

4 A. The study. That they list? No.

5 Q. Let me try to be even clearer.

6 The third page of their response is page 68 of  
7 a study, of a report. Have you reviewed that report?

8 THE HEARING OFFICER: I believe the  
9 report is referred to in the letter on the  
10 previous page; am I correct?

11 MR. RIPPIE: Yes.

12 THE HEARING OFFICER: The report you're  
13 referring to is entitled "Electrical and  
14 Biological Effects of Transmission Lines, A  
15 Review."

16 MR. RIPPIE: That's the study I am  
17 referring to.

18 MR. BOGACZ: Wait a minute.

19 THE HEARING OFFICER: Mr. Bogacz, have  
20 you reviewed the study entitled --

21 MR. BOGACZ: No, I haven't reviewed that  
22 other than this page, which is part of that  
23 report apparently.

24

1 BY MR. RIPPPIE:

2 Q. Mr. Bogacz, I'm going to show you a document  
3 which I'm going to mark Commonwealth Edison Exhibit  
4 No. 2.

5 (Respondent's Exhibit No. 2  
6 marked for identification.)

7 BY MR. RIPPPIE:

8 Q. Can you tell the Hearing Officer and the Board  
9 whether that is the study that's referred to in U.S. EPA's  
10 response in your inquiry?

11 A. It appears to be.

12 Q. Now, you -- I'm sorry.

13 A. Let me check the page here.

14 Yes. It appears to be the study they refer  
15 to.

16 Q. And it is fair to say that the conclusion in  
17 the portion of the U.S. EPA study that the Agency referred  
18 to in responding to your inquiry concluded that ozone  
19 concentrations produced by transmission lines appear to be  
20 too low to have any significant effects on humans, animals  
21 or plants. That was the --

22 THE HEARING OFFICER: Can you identify  
23 the page you are reading from, Mr. Rippie?

24 MR. RIPPPIE: Certainly. That is the last

1 sentence on page 68. That was the excerpt  
2 that the Agency sent.

3 THE HEARING OFFICER: Thank you.

4 BY MR. BOGACZ:

5 A. Yes. That's what it appears to say, yes.

6 Q. Mr. Bogacz, there were also some studies that  
7 U.S. EPA's document referred to. I'm, again, referring to  
8 the second to the last paragraph on that page 68 that was  
9 sent to you by the Agency -- the third to the last  
10 paragraph. I'm sorry.

11 Do you see the paragraph I'm referring to?

12 A. Which one is that, in the joint study?

13 Q. It's the paragraph that begins -- It's the  
14 third to the last paragraph of the page that the Agency  
15 sent to you in response to your inquiry. It begins when  
16 this review was first prepared in 1975. And then it  
17 identifies some studies that were prepared in response to  
18 questions about this subject.

19 A. Oh, okay. I was looking at the letter. Yes.

20 Q. Have you reviewed those studies at any time?

21 A. Other than knowing about them by this  
22 document, I haven't really studied it, no.

23 Q. You were made aware of them, though, because  
24 they were referred to by the U.S. EPA's response?

1 A. Yeah.

2 Q. I will show you a copy of a document I'm  
3 going to mark Commonwealth Edison Company Exhibit No. 3.  
4 It's a study of the principal author of which is Barry  
5 Scott-Walton, United States Department of Energy.

6 (Respondent's Exhibit No. 3  
7 marked for identification.)

8 BY MR. RIPPPIE:

9 Q. I ask you, Mr. Bogacz, if that is one of the  
10 studies that the United States Environmental Protection  
11 Agency referred to in response to your inquiry?

12 A. The United States Department -- or United  
13 States Environmental Protection Agency did not refer to  
14 this document. The Department of Energy did.

15 Q. Let me be clearer then.

16 U.S. EPA sent you a page of a report that  
17 references this as one of the studies on the subject?

18 THE HEARING OFFICER: Are you referring  
19 again to the page you were referring to  
20 previously --

21 MR. RIPPPIE: Yes.

22 THE HEARING OFFICER: -- Mr. Rippie?

23 MR. RIPPPIE: The third to the last  
24 paragraph that I've referred Mr. Bogacz to

1           that identifies studies on this subject.

2   BY THE WITNESS:

3           A.     Would you repeat that last question again?

4           Q.     Sure.  Is this one of the studies that are  
5   referred to --

6           THE HEARING OFFICER:  Let the record  
7           reflect that this appears to be one of the  
8           studies that is referred to on page 68, slash,  
9           69 of the document.

10   BY MR. RIPPIE:

11           Q.     Mr. Bogacz, I'm going to show you a second  
12   document -- or a third document, which I will mark  
13   Commonwealth Edison Company Exhibit No. 4.

14   (Respondent's Exhibit No. 4  
15   marked for identification.)

16   BY MR. RIPPIE:

17           Q.     And I ask you, is this also one of the studies  
18   identified in the paragraph of U.S. EPA's response that we  
19   have been discussing?

20           A.     I don't see any of these, other than the  
21   names -- there's a name on there.  Potential environmental  
22   effects -- You're referring to this paragraph, right, when  
23   this review was prepared?

24           Q.     Uh-huh.  And one of the studies identified in

1 there is Janes' from 1980.

2 A. Yeah.

3 Q. It says the study prepared by David E. Janes  
4 in June of 1980 on ozone production -- well, on a variety  
5 of environmental effects, if any, on transmission lines.

6 A. Well, I presume that they are referring to  
7 Mr. David -- or David E. Janes, but I really can't confirm  
8 whether those are the documents. I mean, there's nothing  
9 really identifying -- I mean, there's no number or  
10 anything.

11 Q. Well, Mr. Bogacz --

12 A. Other than the name on the one document and  
13 another name on another document.

14 Q. Okay. Can we at least agree that it's the  
15 same name and same date?

16 A. Yes. The same dates are there.

17 Q. Okay.

18 A. Whether they are the same documents or refer  
19 to the same documents, I'm not quite sure.

20 Q. It's the same name, the same date, and it's  
21 also the same subject; right?

22 A. Well, the title's not listed on -- for either  
23 one of these documents in this page 68 paragraph, so I  
24 can't say that those -- these documents are listed in

1 this -- on page 68.

2 Q. Okay. Mr. Bogacz, please, I'm trying to do  
3 this as quickly as I can. It's a very precise question.  
4 It's the same --

5 A. And I'm asking for a precise description.

6 Q. It's the same author, the same date, and the  
7 same subject matter, namely, environmental effects, if  
8 any, of high voltage transmission lines; correct?

9 A. No.

10 Q. Can you --

11 A. There is nothing in this paragraph that says  
12 that whatsoever.

13 Q. Well, EPA was responding to your inquiry about  
14 environmental effects of high voltage transmission lines;  
15 am I correct?

16 A. Yes.

17 Q. And Com Ed Exhibit 4 is a study by Mr. David  
18 Janes published in 1980 on environmental effects of high  
19 voltage transmission lines, right?

20 A. I believe so, yes.

21 Q. And the EPA's response to you identifies a  
22 1980 study by Mr. Janes on this subject in their response  
23 to your inquiry?

24 A. I, again, must correct you. U.S. EPA did not



1 identify. The Department of Energy has identified these  
2 documents.

3 Q. The page attached to that response identifies  
4 it?

5 A. The page obtained from the Department of  
6 Energy and given to the United States Environmental  
7 Protection Agency describes those documents.

8 Q. Okay. Thank you.  
9 I'm going to show you a document that's been  
10 marked Com Ed Exhibit No. 5.

11 THE HEARING OFFICER: I will be happy to  
12 label the exhibits, Counsel.

13 MR. RIPPIE: Oh, I'm -- Whatever is  
14 simplest. I'm sorry.

15 (Respondent's Exhibit No. 5  
16 marked for identification.)

17 BY MR. RIPPIE:

18 Q. Mr. Bogacz, would you agree that Com Ed  
19 Exhibit 5 is a study conducted in 1991 by Drs. Bracken and  
20 Gabriel, and that such a study is referred to in the U.S.  
21 EPA response to your inquiry?

22 A. It appears that that's the document that is  
23 referred in the Department of Energy document which was  
24 provided to the U.S. EPA.

1           Q.     Mr. Bogacz, is there any doubt in your mind  
2     that these four studies, Com Ed Exhibits 2 through 5, are  
3     scientific or technical reports on the effects, if any, of  
4     high voltage transmission lines?

5           A.     It appears that they are some sort of  
6     technical research and/or engineering studies.

7           Q.     Mr. Bogacz, it's true, is it not, that the  
8     United States Environmental Protection Agency has never  
9     sent you a document that states that high voltage  
10    transmission lines produce material quantities of ozone?

11          A.     Well, what do you mean by material?

12          Q.     The word material or significant appears in  
13    their statement.

14                 THE HEARING OFFICER:   You can answer that  
15    to the best of your ability, Mr. Bogacz.

16                 MR. BOGACZ:   Yeah.  I'm just reading  
17    something.

18                 THE HEARING OFFICER:   You need to be  
19    responsive to the question.

20    BY MR. BOGACZ:

21          A.     As to material production, no.

22          Q.     In fact, everything that U.S. EPA has ever  
23    sent you is consistent with the conclusion on the last  
24    sentence of Com Ed Exhibit 1, namely, that ozone

1 concentrations produced by transmission lines appear to be  
2 too low to have any significant effects on an animals,  
3 plant, or humans?

4 A. I would have to object to -- I'm not -- That's  
5 a conclusion at this point.

6 THE HEARING OFFICER: Would you please  
7 state that as a question?

8 MR. RIPPIE: Sure.

9 BY MR. RIPPIE:

10 Q. Isn't it true that U.S. EPA has never sent  
11 you any materials that are inconsistent with the statement  
12 made on the last sentence of their response, namely, that  
13 ozone concentrations produced by transmission lines appear  
14 to be too low to have any effect on humans, plants or  
15 animals?

16 A. That they haven't sent me? I don't -- I  
17 didn't quite get that again.

18 Q. I'll try to make it simpler.

19 U.S. EPA has never sent you any document -- I  
20 will phrase it as a question.

21 Has U.S. EPA ever sent you any document that  
22 states that ozone produced by transmission lines has any  
23 significant effect on humans, plants or animals?

24 A. That's correct.

1 Q. They have not?

2 A. They have not specifically, no.

3 Q. Now, you also asked the Illinois EPA to come  
4 out and make some measurements of ozone around your  
5 property; correct?

6 A. Yes.

7 Q. And two environmental protection specialists  
8 from the Air Monitoring Section of the IEPA Bureau of Air  
9 came out and visited your property; am I correct?

10 A. Yes.

11 Q. And they conducted ozone measurements on your  
12 property?

13 A. Yes. It appears that they did.

14 Q. And the IEPA environmental protection  
15 specialists were unable to find any elevated levels of  
16 ozone on your property or near the transmission lines  
17 whatsoever?

18 A. I have no information to indicate that they  
19 didn't or did.

20 Q. They did not -- Mr. Bogacz, you met those two  
21 individuals; am I correct?

22 A. Yes.

23 Q. And you spoke with them?

24 A. Yes.

1 THE HEARING OFFICER: Would you please  
2 make your statements questions, Counsel?

3 BY MR. RIPPIE:

4 Q. And did you speak with them?

5 A. Yes.

6 Q. Did you speak with them both before and after  
7 they completed their measurements?

8 A. To a certain extent.

9 Q. Did those individuals tell you that they were  
10 able to measure any elevated concentrations of ozone on  
11 your property or near the transmission lines?

12 A. They indicated to me indefinite results and  
13 that they'd probably have to come back again to verify and  
14 make some other studies to come up with a final report.

15 Q. Mr. Bogacz, isn't it a fact that they told you  
16 that when they were out measuring on your property, they  
17 were unable to detect any elevated levels of ozone?

18 A. No.

19 THE HEARING OFFICER: Let's pursue this  
20 line of inquiry by best evidence, if you wish  
21 to do that at a later time. I think we are  
22 talking about the statements of individuals  
23 that are not before us, and we are talking  
24 about an event that Mr. Bogacz did not refer

1 to in his case-in-chief.

2 MR. BOGACZ: I know. That's -- I'll  
3 object to his line of questioning because I  
4 didn't mention anything at all about testing  
5 or anything, so -- I thought his questions  
6 were to ask me questions referring to what I  
7 presented thus far. I haven't heard anything  
8 yet.

9 MR. RIPPIE: Well, Mr. Bogacz made  
10 allegations in his complaint to the Board  
11 about levels of ozone produced by transmission  
12 lines, and I am certainly entitled to question  
13 him on that subject. I appreciate --

14 THE HEARING OFFICER: And you are entitled  
15 to call him during your case-in-chief.

16 MR. RIPPIE: If that's your preference, I  
17 will consider pursuing this line of  
18 questioning further on our case.

19 THE HEARING OFFICER: That would be more  
20 proper from the standpoint of the order of  
21 hearing.

22 MR. BOGACZ: I mean, this line of  
23 questioning is -- has nothing to do anything  
24 with anything I presented specifically. Each

1 document -- You're supposed to have a  
2 question, you know, that I can respond to that  
3 refers to the document.

4 THE HEARING OFFICER: Mr. Bogacz --

5 MR. BOGACZ: I'm going off onto  
6 completely different subjects here.

7 THE HEARING OFFICER: Mr. Bogacz, your  
8 objection has already been noted.

9 MR. BOGACZ: Thank you.

10 BY MR. RIPPPIE:

11 Q. Mr. Bogacz, you admitted into evidence a  
12 packet of brochures and other Web page materials as  
13 Exhibits 1 through 10; am I correct?

14 A. Yes.

15 Q. Do any of those materials mention high voltage  
16 transmission lines as a source of ozone?

17 A. No.

18 Q. Do any of them mention high voltage  
19 transmission lines at all?

20 A. Not specifically.

21 Q. I take it then your answer is that they do not  
22 mention high voltage transmission lines?

23 A. My answer --

24 THE HEARING OFFICER: To the best of your

1           knowledge.

2       BY MR. BOGACZ:

3           A.     To the best of my knowledge from the  
4       information that I have seen in here, they indicate that  
5       the phenomena of ozone being produced by electrical  
6       discharge is within some of these documents.

7           MR. RIPPIE:  It's very -- Madam Hearing  
8       Officer, I'll try to pose the question again.

9       BY MR. RIPPIE:

10          Q.     I'm not asking you about sparking,  
11       Mr. Bogacz.  I'm asking you whether any of the documents  
12       that you submitted as Exhibits 1 through 10 mention  
13       transmission lines at all?

14          A.     Not that I can recall.

15          Q.     Now, Mr. Bogacz, you also provided some  
16       additional materials to us in discovery which you didn't  
17       admit into evidence or didn't offer into evidence; am I  
18       correct?

19          A.     Could you be a little more specific?

20          Q.     Sure.  You provided us with some other  
21       Internet pages that identify some other --

22          A.     It's quite possible.

23          Q.     -- sources of ozone?

24          A.     Right.



1           MR. RIPPIE: Let me ask the Hearing  
2           Officer whether you would prefer that we, for  
3           procedural purposes, pursued this as part of  
4           the Company's case? It's -- I think it's  
5           probably within the limits of what the  
6           Complainant's burden of proof is in testing  
7           the appropriateness of the relief the  
8           Complainant requests; but if the Board is  
9           going to have any procedural discomfort with  
10          this at all, I am happy to do this as part of  
11          the Company's case.

12          THE HEARING OFFICER: Well, what do you  
13          propose to inquire about at this time,  
14          Mr. Rippie?

15          MR. RIPPIE: Well, I intend to inquire of  
16          the witness about the emission of ozone by  
17          other sources and how the allegations of his  
18          complaint that he is in some way injured by  
19          what he terms to be pollution caused by  
20          transmission lines relates to those other  
21          sources.

22          THE HEARING OFFICER: Well, I'll let you  
23          proceed.

24

1 BY MR. RIPPPIE:

2 Q. Mr. Bogacz, you are aware that ozone can be  
3 produced both directly and by the action of sunlight on  
4 other chemicals in the air?

5 A. Yes.

6 Q. And amongst the direct sources of ozone are,  
7 for example, the use of ozone gas as a means of purifying  
8 drinking water?

9 A. Yes.

10 Q. And that, in fact, was a document that you  
11 produced to Commonwealth Edison in discovery. There was a  
12 document that referred to the use of ozone as a water  
13 purification agent?

14 A. If could you show me that.

15 Q. Sure. I'll be happy to. It's a document  
16 entitled "Bommersbach Marketing International, Ozone Point  
17 of Entry Water Purification Systems."

18 A. Yeah.

19 Q. And you are aware that ozone is also produced  
20 by photocopying machines, laser printers, and other  
21 electrostatic devices?

22 A. Yes.

23 Q. Is ozone also produced by arc welding?

24 A. I believe so.

1 Q. And is ozone produced in the manufacture of  
2 white paper in the bleaching process?

3 A. I'm not quite familiar with that one.

4 Q. Okay. Putting aside white paper, are you also  
5 familiar with some of the indirect sources of ozone,  
6 namely, the sources of chemicals that when exposed to  
7 sunlight can produce ozone in the atmosphere?

8 A. Are you speaking of the photochemical process?

9 Q. Sure, sources of --

10 A. Yeah.

11 Q. -- common --

12 A. Yes.

13 Q. Okay. And those would include -- do those  
14 include both household products such as automotive  
15 cleaners, waxes, polishes, hair spray, and health and  
16 beauty products? If you don't know, you --

17 A. I'm not quite sure whether I'm familiar with  
18 that part of it.

19 Q. Are you familiar with the fact that fireplaces  
20 and wood burning stoves produce ozone precursors?

21 A. It quite possibly might.

22 Q. How about barbecue pits?

23 A. Possible.

24 Q. Small --

1           A.     You mean the burning of barbecue charcoal and  
2     so forth?

3           Q.     Yes.

4           THE HEARING OFFICER:   Mr. Bogacz, just  
5           answer the question directly whether you are  
6           or are not familiar with that.

7           MR. BOGACZ:   Okay.

8     BY MR. RIPPPIE:

9           Q.     How about lawn mowers and other small gasoline  
10    engines?

11          A.     Oh, yes.

12          Q.     Now, Mr. Bogacz, do you propose that  
13    Commonwealth Edison as a result of your complaint in this  
14    case be directed to -- and I believe I'm using your  
15    words -- underground or otherwise keep their transmission  
16    lines from having contact with air?

17          A.     Am I proposing that essentially?

18          Q.     Is that the relief you're asking of the Board?

19          A.     It's a possible request, although there might  
20    be others that they might -- the Board may think of or  
21    somebody else.

22          Q.     I'm just asking you, Mr. Bogacz, whether that  
23    is the relief that you request from the Board?

24          A.     Well, it's the most obvious relief at the

1 moment.

2 Q. And, in fact, that was the relief that you  
3 identified in response to interrogatory No. 7 of  
4 Commonwealth Edison which inquired what you asked the  
5 Board to do. If I'm correct, your answer was burial of  
6 lines or other methods to prevent direct exposure to air.  
7 Is that your answer?

8 A. I believe so, yes.

9 Q. Now, do you propose -- Let me ask the question  
10 this way, Mr. Bogacz.

11 Do you believe that the use of ozone as a  
12 water purification device should be prevented by the  
13 Pollution Control Board?

14 A. I think I'm going to have to object to that  
15 question. I mean, it has nothing to do with --

16 MR. RIPPIE: If I can respond.

17 THE HEARING OFFICER: Please.

18 MR. RIPPIE: Mr. Bogacz has asked the  
19 Board to take specific remedial action both in  
20 his complaint and his responses. It is the  
21 Company's contention that there exists, and we  
22 will demonstrate this in our case-in-chief,  
23 studies on the subject of ozone plans and how  
24 it should best be controlled and that those

1 plans for the cost effective control of ozone  
2 do not include transmission lines.

3 I am entitled to inquire of the  
4 Complainant as to whether or not it is his  
5 position that any source of ozone, no matter  
6 how beneficial and no matter what the costs of  
7 control are, should be regulated, and that's  
8 all I'm trying to do.

9 THE HEARING OFFICER: Do you have a  
10 response, Mr. Bogacz?

11 MR. BOGACZ: What?

12 THE HEARING OFFICER: Do you have a  
13 response to counsel's argument?

14 MR. BOGACZ: Well, I don't see how that  
15 relates to the -- my complaint in that I'm --  
16 I have nothing in my complaint about other  
17 sources of ozone. I specifically mention high  
18 voltage transmission lines as the polluter of  
19 the atmosphere and -- by producing ozone and  
20 other sources of possible ozone creation.  
21 Whether it be a precursor or direct or  
22 otherwise, I really can't answer anything to  
23 that.

24 THE HEARING OFFICER: The objection is

1           sustained.

2           MR. RIPPIE: May I inquire of the Hearing  
3           Officer whether that ruling is a function of  
4           the fact that Mr. Bogacz's -- Mr. Bogacz is on  
5           cross-examination?

6           THE HEARING OFFICER: Yes, it is.

7           In other words, Counsel, you are welcome  
8           to bring evidence of this nature up in your  
9           case-in-chief.

10          MR. RIPPIE: Madam Hearing Officer, at  
11          this point then, I would like to terminate my  
12          cross-examination of Mr. Bogacz.

13          Just so no one is surprised, it's my  
14          intention then to also call him as a witness  
15          in the Company's case-in-chief to inquire  
16          briefly on the regulatory policy issues.

17          THE HEARING OFFICER: Did you intend to  
18          do that today?

19          MR. RIPPIE: Yes.

20          THE HEARING OFFICER: Okay. Mr. Bogacz,  
21          would you mind being asked questions again  
22          today by counsel for Commonwealth Edison?

23          MR. BOGACZ: No. If that's the way it  
24          works out, fine.

1           THE HEARING OFFICER: Procedurally, that  
2 would be more correct for us to do that.

3           MR. BOGACZ: Right. I mean, let's see.  
4 Well, I don't know what's next there.

5           THE HEARING OFFICER: What is next is any  
6 further witnesses that you might have here  
7 today, which -- Do you have any further  
8 witnesses here today?

9           MR. BOGACZ: Not at this time.

10          THE HEARING OFFICER: Okay. Then we have  
11 discussed your inquiry about receipt of  
12 documents related to your FOIA request with  
13 U.S. EPA, and we ruled on that this morning.

14          So, at this time, I think we will take a  
15 recess for lunch, and we'll assume at this  
16 time that Complainant's case-in-chief is  
17 concluded. Is that correct?

18          MR. BOGACZ: Is it possible to introduce  
19 more evidence -- or documents rather --

20          THE HEARING OFFICER: The documents that  
21 we discussed, yes.

22          MR. BOGACZ: -- I may think of or --

23          THE HEARING OFFICER: The documents that  
24 we discussed, yes.



1           MR. BOGACZ: I don't recall -- Let's  
2 see. I entered in all the documents and  
3 information regarding interrogatories from me;  
4 all the Respondent's answers, in other words.

5           THE HEARING OFFICER: Those are now part  
6 of the record.

7           MR. BOGACZ: Huh?

8           THE HEARING OFFICER: Those are now part  
9 of the record.

10          MR. BOGACZ: Okay. Now, all the  
11 documents that I provided in response to the  
12 Respondent I wish to enter as evidence.

13          MR. RIPPIE: I'm not sure which documents  
14 Mr. Bogacz is referring.

15          THE HEARING OFFICER: He's referring to  
16 his responses to your interrogatories.

17          MR. RIPPIE: There is material in those  
18 interrogatories which is calculated to lead to  
19 the revelation of relevant and admissible  
20 evidence, but which is not in and of itself  
21 relevant.

22          MR. BOGACZ: Well, some of those document  
23 I've -- I have been -- I presented earlier  
24 this morning.

1           MR. RIPPIE: And we had no objection to  
2 the admission of relevant documents.

3           THE HEARING OFFICER: Excuse me. Some of  
4 the documents you presented earlier this  
5 morning were not the documents that you are  
6 talking about right now, Mr. Bogacz.

7           What you just asked about was the  
8 documents that you gave to the Company in  
9 response to their questions of you.

10          MR. BOGACZ: Right.

11          THE HEARING OFFICER: The documents that  
12 were entered as Exhibit 11 were the Company's  
13 responses to your questions, not your  
14 responses to their questions. Those are two  
15 separate sets of documents.

16          MR. BOGACZ: Right.

17          THE HEARING OFFICER: What are you now  
18 asking?

19          MR. BOGACZ: Well, the -- Essentially,  
20 that's what I've been using, some of the  
21 documents that I presented to the Respondent  
22 in answer to their interrogatory.

23          THE HEARING OFFICER: We have not had  
24 those documents referred to in the hearing

1           until now.

2                        Would you like to have those documents  
3           entered into the record of the hearing as an  
4           exhibit number?

5                        MR. BOGACZ:  I don't know exactly how  
6           many there are, but is there a way of  
7           generalizing, you know, from one number to  
8           another or all of the documents that were  
9           submitted?

10                      THE HEARING OFFICER:  Could you answer  
11           the question?  Would you like to have those  
12           documents entered into the record --

13                      MR. BOGACZ:  Yes.

14                      THE HEARING OFFICER:  -- at the hearing  
15           as an exhibit number?

16                      MR. BOGACZ:  Yes.

17                      THE HEARING OFFICER:  All right.  
18           Counsel, would you have an objection to  
19           entering these into the evidence of the  
20           hearing?

21                      And I am referring to several documents  
22           which I will try to identify here on the  
23           record.

24                      First, Complainant's Answers to

1 Respondent's Interrogatories. I received that  
2 on April 4th. It appears that I received with  
3 that a group of documents covered by a sheet  
4 that says Documents in Response to  
5 Respondent's Document Request No. 4, and in  
6 addition a document entitled Complainant's  
7 Response to Respondent's Request for  
8 Documents, which I received July 1, 1996.

9 MR. RIPPIE: Madam Hearing Officer, there  
10 are a few -- Well, the problem with admitting  
11 these documents in bulk is the Respondent --  
12 or the Complainant has provided documents  
13 which are relevant to his case along with a  
14 number of documents which aren't and along  
15 with some documents which I do not believe  
16 under the Board's rules are admissible, for  
17 example, pages out of IICLE law books on  
18 environmental law.

19 There are also Web pages that do not  
20 appear to be from any established  
21 environmental source. They are not even  
22 identified what the source of those documents  
23 are. And there are certain calculation sheets  
24 that have been prepared by the Complainant

1           that the Complainant has not testified to nor  
2           has he attempted to establish any  
3           qualifications to prepare.

4           I am concerned and object to the  
5           inclusion of those documents in the record as  
6           substantive evidence. If there are specific  
7           documents, if there are any specific documents  
8           that the Complainant feels he has not already  
9           included in the list of 10 or 11 documents  
10          that he has offered, we would be happy to have  
11          him identify them and we will in all  
12          likelihood not have any objection.

13          I do, though, believe that the Rules of  
14          Evidence as applied by the Board have to at a  
15          minimum provide for the admission of only  
16          evidence which is relevant material and in the  
17          case of these calculations and law books have  
18          to have some authority.

19          THE HEARING OFFICER: Mr. Bogacz, do you  
20          have a response?

21          MR. BOGACZ: Well, all those documents  
22          were submitted as -- in response to  
23          interrogatories from the Respondent. So I  
24          don't see any difference in doing that again

1 as evidence at the hearing here. I mean,  
2 there was -- other than some of the documents  
3 possibly being unacceptable in some way, but I  
4 don't know if you can make a ruling on that  
5 right now or --

6 MR. RIPPIE: I'm sorry. That's the  
7 problem with doing them in bulk.

8 I suggest seriously that the way to  
9 resolve this issue is perhaps even over lunch  
10 to -- if Mr. Bogacz feels that there is any  
11 document in here that's relevant and material  
12 that he wants to have admitted into evidence,  
13 to offer that document individually.

14 We must remember that our responses were  
15 admissible -- our responses to his requests  
16 were admissible on his offer because we  
17 provided that information. But admitting his  
18 responses to our request in bulk means that  
19 anything he chose to send in a discovery  
20 response, regardless of its actual propriety  
21 or relevance, would come into the record.

22 Any legitimate document that he wishes to  
23 have admitted he can offer.

24 THE HEARING OFFICER: Thank you,

1 Counsel.

2 I am going to permit the Complainant's  
3 Answers to the Respondent's Interrogatories to  
4 be entered into evidence as Complainant's  
5 Exhibit 12. I do that based on the Board's  
6 general practice which is to permit the  
7 parties to make the case they seek to make and  
8 to judge for themselves the voracity,  
9 reliability, and materiality of the documents  
10 that are put before them.

11 (Complainant's Exhibit No. 12  
12 marked for identification.)

13 The Hearing Officer is also encouraged  
14 when there is an arguable interpretation as to  
15 the admissible of evidence in Board  
16 proceedings to admit that evidence.

17 Now, the documents I referred to  
18 previously will be admitted into evidence as  
19 Complainant's Exhibit 12; and if there is any  
20 question as to what those documents are, they  
21 are the documents that I now hold in my hand.  
22 Respondent may check to see that the documents  
23 we are discussing are, in fact, the same  
24 documents Respondent did receive from

1 Complainant.

2 MR. BOGACZ: Okay.

3 THE HEARING OFFICER: At this time, the  
4 Complainant's case-in-chief at hearing has  
5 been concluded in oral testimony, and we are  
6 at a point where we have several exhibits  
7 identified that we have not entertained a  
8 motion for admission into evidence of, I don't  
9 believe. I would like to do that at this time  
10 for Complainant's Exhibits 1 through 12.

11 Is there any objection to the  
12 admissibility of these exhibits into  
13 evidence? These have previously been  
14 identified. We have heard some objections on  
15 the content of some of these documents from  
16 Respondent; however, I am entertaining a  
17 formal admission of these documents into  
18 evidence at this time.

19 MR. RIPPIE: Madam Hearing Officer, if I  
20 may, we have no objections other than those  
21 which have already been addressed and  
22 memorialized for the record at the time the  
23 documents were first marked for  
24 identification.



1           THE HEARING OFFICER: All right. Thank  
2           you.

3           Then Complainant's Exhibits Nos. 1  
4           through 12 will be entered into evidence, and  
5           the objections of Respondent's counsel  
6           pertaining to those are preserved for the  
7           record.

8                           (Complainant's Exhibit Nos. 1-12  
9                           admitted into evidence.)

10          THE HEARING OFFICER: At this time, then  
11          we will go off the record for lunch, and we  
12          will return for Respondent's case-in-chief.

13          Off the record.

14                           (A lunch recess was taken.)

15          THE HEARING OFFICER: On the record.

16          We are back from our lunch recess, and we  
17          will proceed now with the Respondent's  
18          case-in-chief.

19          MR. ZIBART: If it would please the  
20          Hearing Officer, I would like to offer a brief  
21          opening statement at this time.

22          THE HEARING OFFICER: Please.

23

24



1 Dr. Johnson will report to the Board on his calculations  
2 of how much ozone is created by Com Ed's transmission  
3 system. Because ozone decays almost as fast as it is  
4 created, Dr. Johnson has also calculated the total amount  
5 of ozone present in the atmosphere due to Com Ed's  
6 transmission lines.

7 We will also present the testimony of  
8 Dr. Jaroslav Vostal, a medical doctor and specialist in  
9 public health issues, who has spent many years  
10 investigating the health effects of ozone on people.  
11 Dr. Vostal has reached the conclusion that the amount of  
12 ozone created by transmission lines is not a danger to  
13 public health.

14 We will present the testimony of Mr. Mark  
15 Lorenz, Com Ed's siting and estimating engineer, who will  
16 discuss the feasibility and cost of attempting to bury Com  
17 Ed's entire transmission system underground as the  
18 Complainant has requested. Mr. Lorenz will demonstrate  
19 that it is neither technically nor economically feasible  
20 to do so.

21 Finally, we will put into the record for the  
22 Board's reference copies of the studies mentioned earlier  
23 that the U.S. EPA referred Mr. Bogacz to when he made his  
24 inquiries.



1 cross-examination; and in particular, do you recall that I  
2 asked you whether a variety of other industrial activities  
3 and household activities produced ozone?

4 A. Yes, I do.

5 Q. Okay. And I don't want to go over the same  
6 ground again, but let me briefly summarize.

7 We agreed, did we not, that ozone is produced  
8 by drinking water purification, Xerox and photocopying  
9 machines, laser printers, and arc welding?

10 A. I believe it is true.

11 Q. And we also agreed, I believe, did we not,  
12 that precursors of atmospheric ozone are produced by such  
13 things as barbecue pits, fireplaces, wood burning stoves,  
14 and small gasoline engines?

15 A. I believe so, yes.

16 Q. I am going to show you a document, which I'm  
17 going to also present a copy to the Hearing Officer.

18 MR. RIPPIE: It's a Department of  
19 Commerce National Technical Information  
20 Service Study.

21 I believe we are on Exhibit 6.

22 THE HEARING OFFICER: Correct.

23 (Respondent's Exhibit No. 6  
24 marked for identification.)

1 BY MR. RIPPIE:

2 Q. Now, Mr. Bogacz, this is actually an excerpt  
3 from the study which I'm going to ask you to, first of  
4 all, just take a look at the front cover.

5 Can we agree that this is a portion of a  
6 United States Department of Commerce National Technical  
7 Information Service Report on identification and  
8 characterization of missing or unaccounted for area source  
9 categories?

10 A. Yes.

11 Q. Mr. Bogacz, I ask you whether we can also  
12 agree that this report categorizes and identifies some of  
13 the sources of atmospheric ozone? And probably the  
14 easiest way to do this would be to refer you to the table  
15 of contents that summarizes what the purpose of the  
16 studies are, what the sources are.

17 THE HEARING OFFICER: What is your  
18 question, Counsel?

19 MR. RIPPIE: I'm just trying to establish  
20 with the witness that we can agree that this  
21 study, in fact, identifies and characterizes a  
22 variety of other sources of ozone. That will  
23 be the last foundation question I have for the  
24 witness.

1 BY THE WITNESS:

2 A. It appears it does.

3 Q. Now, Mr. Bogacz, you have asked the Pollution  
4 Control Board to direct that certain things be done to Com  
5 Ed's existing transmission system based on your  
6 allegations that that transmission system produces ozone;  
7 am I correct?

8 A. Partially, I agree to that. There may be  
9 other methods of accomplishing that request.

10 Q. The methods that you identified, however, in  
11 response to our interrogatories was to bury the lines or  
12 to remove them from having any contact with air?

13 A. Yes.

14 Q. Now, Mr. Bogacz, do you believe that -- is it  
15 your -- Strike that.

16 Is it your contention that the Pollution  
17 Control Board must direct Commonwealth Edison to either  
18 bury or remove its lines from air or take other action to  
19 eliminate the production of ozone from its transmission  
20 lines?

21 A. Is it my contention that they do that?

22 Q. That's correct.

23 A. If it's within their authority, I guess I am  
24 asking them to do that.

1           Q.     Do you -- Should the Pollution Control Board  
2     also prevent the production of atmospheric ozone by water  
3     purification, Xerox machines, laser printers, arc welding,  
4     barbecue pits, fireplaces, wood burning stoves, lawn  
5     mowers, and the like?

6           A.     What was the first part?

7           Q.     Should the Pollution Control Board also  
8     prevent the production of ozone by purification drinking  
9     water, Xerox machines, laser printers, arc welding,  
10    barbecue pits, fireplaces, wood burning stoves, lawn  
11    mowers, and the like?

12          A.     I'm not sure that this line of questions  
13    really applies to the Illinois Pollution Control Board.  
14    It may apply to the U.S. EPA primarily.

15          Q.     Okay. Well, then let me ask you whether or  
16    not you think that the U.S. EPA and/or the Pollution  
17    Control Board should require the elimination of the  
18    production of ozone from that list of sources?

19          A.     If it's given the authority by the  
20    environmental -- the relative or respective Environmental  
21    Protection Acts, yes, I do.

22          Q.     Is it your contention that the Pollution  
23    Control Board or the U.S. or Illinois EPA should also look  
24    at the benefits of those activities and the costs of



1 eliminating that ozone?

2 A. I guess it's within their prerogative to do  
3 that.

4 Q. Is it your contention that they should?

5 A. Oh, they should. If it's specified within  
6 their authority, I guess they should.

7 Q. Okay. Thank you very much. That's all the  
8 questions I have for you.

9 THE HEARING OFFICER: Okay.

10 MR. RIPPIE: At this point, Madam Hearing  
11 Officer, I would offer into evidence Company  
12 Exhibits -- Com Ed -- Respondent Com Ed's  
13 Exhibits 1 through, I believe, 6.

14 THE HEARING OFFICER: Is there any  
15 objection to the introduction of these  
16 exhibits into evidence?

17 MR. BOGACZ: The exhibits that -- You  
18 mean the questions or -- that he was just  
19 presented?

20 THE HEARING OFFICER: No, the exhibits  
21 identified as Respondent's Exhibits 1 through  
22 6.

23 MR. BOGACZ: Oh, the ones that -- The  
24 exhibits that were presented earlier; is that

1           what you're talking about?

2           MR. RIPPIE: Yes, sir.

3           THE HEARING OFFICER: Exhibit 6 was just  
4 presented.

5           MR. BOGACZ: Okay.

6           THE HEARING OFFICER: Exhibits 1 through  
7 5 were presented before lunch.

8           MR. BOGACZ: No. I have no problem.

9           THE HEARING OFFICER: Exhibits 1 through  
10 6 of Respondent's will be entered into  
11 evidence.

12   (Respondent's Exhibit Nos. 1-6  
13   admitted into evidence.)

14           MR. RIPPIE: Madam Hearing Officer,  
15 Respondent's next witness is Ms. Linda  
16 Manning.

17           THE HEARING OFFICER: Will Ms. Manning  
18 come forward?

19           Okay. You can arrange the witness chair  
20 appropriately. Perhaps you would like to put  
21 it on this side.

22   Will the witness be sworn?

23

24

1 (Witness sworn.)  
2 LINDA S. MANNING,  
3 called as a witness herein, having been first duly sworn,  
4 was examined upon oral interrogatories and testified as  
5 follows:

6 DIRECT EXAMINATION

7 BY MR. RIPPIE:

8 Q. Could you please state and spell your full  
9 legal name for the court reporter?

10 A. Yes. My name is Linda, S is the middle  
11 initial, Manning, M-a-n-n-i-n-g.

12 Q. Ms. Manning, can you tell me who your  
13 employer is?

14 A. My employer is Commonwealth Edison Company.

15 Q. And what is your position with Com Ed?

16 A. I am the transmission system vice-president  
17 for our company.

18 Q. And what in general is Commonwealth Edison  
19 Company's business?

20 A. Commonwealth Edison is in the business of  
21 producing and transmitting, distributing energy to  
22 approximately 3 million residential, commercial, and  
23 industrial customers in the northern one-third of  
24 Illinois.

1           Q.     And what, Ms. Manning, are your duties and  
2 responsibilities as Com Ed's transmission system  
3 vice-president?

4           A.     I am responsible for the design, construction,  
5 maintenance, and operation of all of our transmission  
6 lines overhead and underground as well as our substations  
7 and our system protection activities.

8           Q.     Could you summarize for the Hearing Officer,  
9 please, what your educational background is?

10          A.     Yes. I'm an electrical engineer since 19 -- I  
11 graduated as an electrical engineering degree BSEE in  
12 1972, and I am a licensed professional engineer in the  
13 State of Illinois since 1976.

14          Q.     Could you briefly summarize your background  
15 and experience in electric utility engineering and  
16 particularly in transmission engineering and operations?

17          A.     Yes, I can.

18                   I began with the company in 1971 and held  
19 positions as an electrical project engineer in our fossil  
20 generating stations. After that, I had a number of  
21 positions in engineering and operations.

22                   I was an equipment specialist for several  
23 years with product line responsibility for large power  
24 transformers, inductors, resters, bushings, and ancillary

1 apparatus to large power transformers.

2 I had a number of positions in supervision and  
3 in engineering departments.

4 I was the operations manager of our western  
5 division, which included the responsibility of  
6 construction forces as well as engineering and relay  
7 testing and commissioning.

8 I was a commercial manager in one of our city  
9 divisions.

10 I was the manager of our system electrical  
11 engineering department. That department had the  
12 responsibility for the design of substation and  
13 transmission lines.

14 I was the division vice-president for one of  
15 our city divisions. And just -- That was my most previous  
16 position. And in 1993, I became the transmission system  
17 vice-president for the company.

18 Q. Could you identify, please, any special  
19 experience or participation in these special engineering  
20 activities relating to the design or construction of high  
21 voltage transmission lines?

22 A. Yes, I can.

23 I have been an advisor representing  
24 Commonwealth Edison to the Electric Power Research

1 Institute. Beginning in 1995, I served on the  
2 transmission business unit, business council, if you will.  
3 And I also served as the vice-chairman of the underground  
4 working group for that industry committee.

5 Q. Have you arranged for the preparation of a CV  
6 or resume that identifies in more detail your educational  
7 and professional background and experience?

8 A. Yes, I have.

9 THE HEARING OFFICER: We would identify  
10 this as Respondent's Exhibit 7.

11 MR. RIPPIE: Thank you.

12 (Respondent's Exhibit No. 7  
13 marked for identification.)

14 BY MR. RIPPIE:

15 Q. Ms. Manning, is Respondent's Exhibit No. 7 a  
16 copy of your curriculum vitae?

17 A. Yes, it is.

18 Q. Ms. Manning, can you explain for the Hearing  
19 Officer and the Board what the major components are for a  
20 modern electric utility system?

21 A. Yes, I can.

22 It is primarily for fully integrated utility.  
23 There are generating stations or production equipment, if  
24 you will. There are substations. There are transmission

1 elements, transmission lines. There are part of the  
2 system referred to as the distribution system. And then  
3 there are the service and meter equipment that is closest,  
4 if you will, to the ultimate consumer of the electric  
5 energy.

6 Q. Have you arranged for the preparation of a  
7 chart or a diagram that would help you explain in greater  
8 detail the role of the transmission system on delivery of  
9 electric power?

10 A. Yes, I have.

11 THE HEARING OFFICER: Thank you. This  
12 will be identified as Respondent's Exhibit 8.

13 (Respondent's Exhibit No. 8  
14 marked for identification.)

15 BY MR. RIPPIE:

16 Q. Ms. Manning, is Respondent's Exhibit 8 the  
17 chart to which I have just referred to?

18 A. Yes, it is.

19 Q. Referring to the chart as necessary, could you  
20 explain in greater detail what the function and role of  
21 the transmission system is in the operation of the  
22 utilities you just described?

23 A. Yes, I can.

24 I had sort of -- I had started my discussion a

1 little earlier about the generation aspects of a utility  
2 system, and it's represented as a power station on this  
3 particular chart.

4 As a matter of fact, Commonwealth Edison has  
5 15 power stations. They are really remotely located for  
6 the most part away from heavy population centers. There  
7 are a few of those stations that are in the Metropolitan  
8 Chicago area, but primarily they are located in more  
9 distant counties from the City of Chicago.

10 So as we go up this chart, you'll see a  
11 typical voltage that the electricity is generated at. It  
12 is at 13.8 kV. And what that really represents is one is  
13 one thousand -- excuse me -- it's 13,800 volts. That's  
14 what the K stands for is for a thousand. So at 13,800  
15 volts, the electricity is generated.

16 It goes then usually to a substation that is  
17 right outside the generating station where the voltage is  
18 increased. And in our example here, the substation  
19 transformer in this case, the main power transformer,  
20 would increase the voltage from 13,800 to 138,000 or  
21 345 kV or 765 kV. It raises the voltage because there are  
22 certain economics for transmitting the electric energy at  
23 a higher voltage.

24 In a way, I think the overhead transmission



1 system you can kind of think of as the interstate highway  
2 system. It is bringing the power from long distance.  
3 It's bringing it in bulk. It brings it to -- from a  
4 distance remote from population centers. It brings it  
5 closer to those population centers to be distributed.

6 So as we go along past the transmission line  
7 portion of the chart, you'll see voltage reduced at  
8 distribution substation. This is another substation. It  
9 would contain substation transformers. It reduces the  
10 voltage now.

11 Our typical distribution voltage is 12,500  
12 volts. We do have a 4,000 volt system in the City of  
13 Chicago. There are some variations of that voltage  
14 level.

15 But then it brings it closer. It is -- I  
16 would like in that distribution substation to -- perhaps a  
17 distribution warehouse, if you will, because it now -- it  
18 takes and breaks up the electricity into parcels that get  
19 moved closer to the ultimate consumers.

20 So the electricity now moves along the  
21 distribution system, and it will take -- it will have one  
22 more transformation of voltage to a usable voltage for the  
23 intended purpose.

24 And on our chart, we see it made to -- we see

1 it changed to 480 to 277 volts for industrial plants, and  
2 we see it at 12208 for commercial customers; 12240  
3 residential.

4 So that's -- There's a number of different  
5 variations the way the product can be consumed, a number  
6 of different variations of the voltage. So, essentially,  
7 those are the elements with respect to this chart.

8 Q. Would it be possible for a utility like Com Ed  
9 or any other electric utility to provide electric power to  
10 its customers without the use of a transmission system?

11 A. Generally, no.

12 Q. Now, the transmission lines that you have  
13 described that Com Ed maintains at 765 kV, 345 kV, and  
14 138 kV, are transmission lines of that same type  
15 maintained by other utilities around the United States and  
16 around the world?

17 A. Yes, they are.

18 Q. Does Commonwealth Edison also maintain  
19 transmission interconnections between its own transmission  
20 system and the systems of neighboring utilities?

21 A. Yes, we do.

22 Q. Why do you do that?

23 A. We really do that for several reasons. I  
24 would say three distinct reasons.

1           First of all, it's for reliability of the  
2 Edison system. If we should have some unplanned outage of  
3 one of the elements, whether it's a power station or  
4 another transmission line, it provides some redundancy and  
5 paths to bring electricity into our service territory. So  
6 from a reliability standpoint, it's very handy to be  
7 connected with one's neighbors.

8           The second reason would be one of economic  
9 dispatch, and I can give you an example of that. For  
10 instance, if one of our stations is generating at a higher  
11 cost than a neighboring -- a neighboring utility station,  
12 we can, in fact, elect not to dispatch our own unit, but,  
13 in fact, buy from a neighboring utility. So we need those  
14 interconnections to transport the purchase.

15           And then finally, the third major reason that  
16 you would need a transmission system, is to engage in  
17 interstate -- interstate transport, if you will,  
18 electricity across our system from one -- from a buyer to  
19 a -- excuse me -- from a seller to a buyer.

20           So those would really be the three main  
21 reasons.

22           Q.     Are the systems of the utilities that neighbor  
23 Com Ed in turn interconnected with the systems of other  
24 utilities around the country?

1           A.     Yes, they are.

2           Q.     Is it -- How would you sort of describe or sum  
3 up in a couple sentences the interconnected system  
4 throughout the country?

5           A.     Well, it is -- I guess for a layman, it  
6 looks -- it probably looks like a spider's web, if you  
7 could depict it on a diagram. There are really three  
8 major system connections. There's the western system.  
9 And we actually have a natural barrier of the Rocky  
10 Mountains that really prevent too many interconnections  
11 across the mountains. And then we have the eastern  
12 interconnections which Edison is a part of. And Texas, as  
13 in many cases, are sort of stand alone. They have their  
14 own interconnections.

15                         So there are really three major interconnected  
16 systems in the United States.

17           Q.     I want to now show you some diagrams, if I  
18 can, which I hope will clarify that a little further.

19                         THE HEARING OFFICER: Would you like to  
20 enter this into evidence?

21                         MR. RIPPIE: I thought I would enter them  
22 all at the end of the witness' testimony.

23                         Whatever your preference.

24                         THE HEARING OFFICER: All right. We'll

1 identify this as Respondent's Exhibit 9.  
2 (Respondent's Exhibit No. 9  
3 marked for identification.)

4 BY MR. RIPPPIE:

5 Q. Ms. Manning, can you tell us what  
6 Respondent's Exhibit 9 is?

7 A. Yes. This is a map that depicts all of the  
8 transmission lines that are -- the interconnections, the  
9 utilities, that comprise the Mid-America Interconnected  
10 Network or MAIN as it's well-known, MAIN.

11 Q. And is MAIN a formal regional association of  
12 utilities that engage in joint transmission planning and  
13 operations?

14 A. Yes, they are.

15 Q. And can you explain, just so we are clear,  
16 does MAIN also then maintain interconnections to other  
17 similar organizations on its borders?

18 A. Yes, they do. I can spend a little time -- If  
19 you can see in Illinois and Wisconsin, the portion in  
20 yellow is really -- is really the portion that is MAIN.  
21 Some of these others as it spills into other states are  
22 part of other interconnection associations, if you will.

23 It's interesting -- the reason the -- there is  
24 such -- there is such a good reason or good reasons to be

1 a part of one of these mutual planning associations, if  
2 you will, is it allows the -- a much greater piece of -- a  
3 much greater portion of electric systems to be planned as  
4 a whole as opposed to individuals.

5 For instance, the part in yellow, the MAIN  
6 interconnected network, Mid-America Interconnected  
7 Network, plans for reserved margin in both generation and  
8 in transmission of 17 -- excuse me -- 18 percent, and they  
9 recently have changed that downward to 17 percent.

10 But if, for instance -- if Edison -- if the  
11 Commonwealth Edison Company planned for generation of  
12 transmission contingencies, if you will, by itself, it  
13 would have to plan in excess of 40 percent of reserved  
14 margin in generation and transmission. So there's an  
15 enormous -- there's an enormous economic incentive as well  
16 as reliability for planning a larger system as opposed to  
17 a smaller system.

18 Q. And I'll come back to that in more detail in a  
19 main.

20 Does Com Ed also maintain maps of its own of  
21 the transmission system?

22 A. Yes, it does.

23 THE HEARING OFFICER: This will be  
24 Respondent's Exhibit 10.

1 (Respondent's Exhibit No. 10  
2 marked for identification.)

3 BY MR. RIPPIE:

4 Q. Ms. Manning, is Respondent's Exhibit 10 a  
5 true and correct diagram of Commonwealth Edison's own  
6 transmission system as well as indications of its  
7 interconnections with its neighbors?

8 A. Yes, it is.

9 Q. Now, I'm going to refer to a state agency  
10 called the Illinois Commerce Commission. Are you familiar  
11 with that agency?

12 A. Yes, I am.

13 Q. What in a sentence does the Illinois Commerce  
14 Commission do with respect to Commonwealth Edison?

15 A. The Illinois Commerce Commission is the  
16 regulating -- regulating body for the utility operations  
17 of Commonwealth Edison. So we have many opportunities to  
18 appear before the Illinois Commerce Commission in the  
19 course of our utility business.

20 Q. Now, I'm going to show you the last map I'm  
21 going to show you today.

22 Before I do that, let me ask you, does the  
23 Illinois Commerce Commission also maintain similar  
24 transmission maps of the facilities that it regulates

1 within the State of Illinois?

2 A. Yes, it does.

3 MR. RIPPIE: Madam Hearing Officer, I  
4 have to apologize to you. I only have one  
5 copy of this map. The Commerce Commission  
6 printed these a number of months ago, actually  
7 a number of years ago, and they are somewhat  
8 stingy about the number they will hand out,  
9 so I only have one copy. Let me first show it  
10 to Mr. Bogacz, and then I'll ...

11 MR. BOGACZ: Okay.

12 THE HEARING OFFICER: Did you want to  
13 add that into evidence?

14 MR. RIPPIE: Yes, I will. I tried to  
15 have copies made, but because it's so large,  
16 it's difficult to copy.

17 THE HEARING OFFICER: All right. Did you  
18 want to enter a copy into evidence?

19 MR. RIPPIE: The copies might not come  
20 out well. I will give you my original.

21 THE HEARING OFFICER: All right. This  
22 will be Respondent's Exhibit No. 11.

23 (Respondent's Exhibit No. 11  
24 marked for identification.)



1 BY MR. RIPPIE:

2 Q. Ms. Manning, is Respondent's Exhibit No. 11  
3 the most recent Illinois Commerce Commission map of the  
4 transmission systems in the State of Illinois?

5 A. Yes, it is.

6 Q. Ms. Manning, could you summarize for the  
7 Hearing Officer and for the Board, please, how the  
8 Illinois Commerce Commission regulates the construction  
9 and operation of its electric transmission lines?

10 A. Yes, I will.

11 In order to build a transmission line in the  
12 State of Illinois, the utility must file an application  
13 for a certificate of convenience and necessity with the  
14 Illinois Commerce Commission, at which time the Commission  
15 will hold a series of public hearings; they will  
16 accumulate the evidence; there actually will be a whole  
17 formal administrative process where members of the public  
18 and interested parties can involve themselves in the  
19 case.

20 The Commission looks at all aspects of the  
21 proposed project. They really need to determine several  
22 things. They need to determine that it's in the public  
23 interest of the State of Illinois' residents to build that  
24 facility, and they also need to determine that it is --

1 it is going to be the least cost proposal, the least cost  
2 alternative, in which to build a transmission line.

3 Q. Ms. Manning, is it unlawful for Commonwealth  
4 Edison Company to construct a new transmission line  
5 without a certificate from the Commission?

6 A. That would be unlawful, that's correct.

7 Q. What types of things about the transmission  
8 line does the Commerce Commission specify in the  
9 certificate?

10 A. As far as the physical things, as I mentioned  
11 earlier, they are looking at the question -- really the  
12 questions of is it in the public's interest to build it,  
13 No. 1; is there a need for it. That is really one of the  
14 major items.

15 But from a physical standpoint, they look at  
16 the routing of the line; they are looking at the siting of  
17 where the -- where the line is actually going to go; and  
18 primarily it looks at the physical construction details of  
19 the line, is it overhead, is it underground, what type of  
20 structures we are using, is it double circuit, is it  
21 single circuit.

22 So they really look at all aspects of the  
23 siting and the physical construction of the line.

24 Q. Let me ask you specifically for one more item

1 on that list.

2 Does the Commerce Commission also consider the  
3 voltage law?

4 A. Absolutely. That is one of the design  
5 elements of the project, yes.

6 Q. Is Commonwealth Edison Company's transmission  
7 system also regulated by any federal agencies?

8 A. It is. It is regulated by the Federal Energy  
9 Regulatory Commission because, as I mentioned earlier, it  
10 is an element of interstate commerce as you conduct  
11 interstate sales of electricity.

12 Q. Could you please describe to the Hearing  
13 Officer and to the Board what the benefits are in the  
14 State of Illinois of Commonwealth Edison's operation of  
15 its existing transmission system and the provisional  
16 electric service through it?

17 A. Well, we have done some interesting market  
18 research and some interesting research in the public  
19 opinion area. And believe it or not, electricity has been  
20 heightened to the same level of air and water in view of  
21 most of our customers. It has become so a part of modern  
22 life that you take for granted that you could flip on a  
23 light switch and you could light your home, you can heat  
24 your home.

1                   So it has -- Having a transmission system  
2 where we could actually bring the power from its source  
3 and bring it near the ultimate consumer where they can use  
4 it in their homes, their schools, their places of  
5 employment is absolutely essential to modern living as we  
6 know it.

7           Q.     Is the operation of an adequate, reliable, and  
8 efficient electric transmission system essential of  
9 Commonwealth Edison to continue to provide this electric  
10 service?

11          A.     Absolutely.

12          Q.     Can you tell us what the effect would be of an  
13 order requiring Commonwealth Edison Company to place  
14 underground all of its transmission system?

15          A.     Yes. And there would be several reasons.  
16 Actually, the effect of the order would be one that it  
17 might not even be able to be carried out from a technical  
18 standpoint.

19          Q.     Can you tell us why it would be impossible to  
20 underground the entire system?

21          A.     Well, there are some of the elements of our  
22 system at -- that are 765 kV transmission lines. There  
23 really is some question as to whether there's an adequate  
24 technology to do that in an underground fashion.

1                   But even beyond that, there's a more  
2 fundamental issue, and it's -- I'm afraid I'm going to  
3 have to take a minute and just talk about several physical  
4 properties of operating an AC, alternating current,  
5 system. There is a physical property known as  
6 capacitance. And really what that is is if you have two  
7 conductors that are insulated, and they could even be  
8 insulated by air or they can be insulated by some  
9 insulating material or even an insulating fluid, you  
10 actually can generate a charge that -- between those two  
11 conductors. And, typically -- So it is a phenomena  
12 referred to as capacitance.

13                   And when you look at the elements of a  
14 transmission system, underground transmission lines have a  
15 much higher level of capacity of -- of capacity of  
16 reactance -- excuse me -- capacity of effect on the  
17 operation of the system than overhead transmission lines.  
18 And by the nature of that, you have to take some  
19 mitigating steps. You have to introduce a corresponding  
20 inductance in order to operate the system.

21                   I'm not convinced that we would really be able  
22 to regulate the power flow of our system and get power in  
23 an underground transmission system to the ultimate  
24 consumers if we had to underground the entire transmission

1 system. I know it would be extremely expensive, and I  
2 think another witness is going to talk about that a little  
3 bit later. It would be a very expensive proposition to do  
4 as well.

5 Q. Now, Ms. Manning, would it be possible if --  
6 given the discussion of capacitance that you have just  
7 given, would it be possible to regulate Commonwealth  
8 Edison's system's role in the regional transmission grid  
9 if its system was underground and the remainder of the  
10 systems were designed as they are now?

11 A. It would pose tremendous challenges. I'm  
12 fairly convinced it would not be possible. If you could  
13 think of it this way; the Edison system would almost  
14 become a giant sink hole, and we'd be trying to suck all  
15 of the energy and the electricity from all of our  
16 surrounding neighbors into that giant sink hole because of  
17 the high capacitance effect, and I'm fairly certain that  
18 our neighbors would not stand still for it.

19 Q. If Commonwealth Edison had to drop its  
20 interconnections as a result of it not being feasible to  
21 maintain an underground system on its own, what would be  
22 the effect on the state of Com Ed?

23 A. Any -- There would be an economic effect  
24 because we would now have to plan for our own reserve

1 capacity. It would affect reliability if we had any  
2 unplanned or unscheduled outage of system elements. In  
3 fact, we may have blackouts of our own customers as a  
4 result of that. So it would be a very significant  
5 effect.

6 We have as a company 31 transmission lines at  
7 138,000 volts and above connected to neighbors around us.  
8 So we are -- We enjoy the very best reliability because we  
9 can count on those neighbors in an unplanned situation.

10 Q. Two very brief questions to follow-up.

11 When you talked about needing to build more  
12 capacity, what we're talking about, to make it simple, is  
13 building a bunch of more generating stations; right?

14 A. Yes. I'm talking about building more  
15 generating stations, but also building more transmission  
16 lines to bring -- to connect those elements to our  
17 transmission system. So we could easily be building both  
18 generation as well as transmission elements.

19 Q. Given the number of generating stations that  
20 we have now, would Com Ed have an adequate reliable  
21 transmission system if its interconnections had to be  
22 terminated?

23 A. I think not.

24 Q. Now, you've talked about interconnections,

1 you've talked about cost, and you've talked about  
2 reliability.

3 Is there any other reason why it would be  
4 difficult or impossible for Com Ed to underground its  
5 transmission system?

6 A. Well, as we had discussed before, before we  
7 could do that, we would have to obtain regulatory approval  
8 to do it. We could not alter our overhead transmission  
9 line to an underground transmission line to take its place  
10 without obtaining authorization from the Illinois Commerce  
11 Commission.

12 Q. Does Commonwealth Edison have the real estate  
13 rights necessary to underground its transmission system?

14 A. Probably not in all cases; probably not even  
15 in most cases. All of those issues would have to be  
16 revisited on a transmission line by transmission line  
17 basis.

18 Q. Are you aware, Ms. Manning, in your experience  
19 on other committees, other industry committees, of any  
20 utility transmission grid anywhere in the world that has  
21 been constructed all or a substantial part underground  
22 because of air pollution?

23 A. No.

24 Q. Are you aware of any single transmission line



1 anywhere in the world that's been constructed underground  
2 because of air pollution concerns?

3 A. No, I'm not.

4 Q. Are you aware of any utility that's  
5 constructed its transmission grid underground for any  
6 reason when it passes through rural and suburban areas  
7 such as we have in Northern Illinois where land for an  
8 overhead system is available?

9 A. Not my knowledge, no.

10 MR. RIPPIE: That's all the questions I  
11 have for Ms. Manning.

12 At this time, the Company would offer  
13 into evidence Exhibits 7 through 11.

14 THE HEARING OFFICER: Is there any  
15 objection to the introduction of Respondent's  
16 Exhibits 7 to 11 into evidence?

17 Mr. Bogacz?

18 MR. BOGACZ: Ms. Manning --

19 THE HEARING OFFICER: No. Mr. Bogacz --

20 MR. BOGACZ: Yeah.

21 THE HEARING OFFICER: -- is there any  
22 objection to the introduction of Respondent's  
23 Exhibits --

24 MR. BOGACZ: Oh, no. I'm sorry.

1 THE HEARING OFFICER: -- 7 to 11 into  
2 evidence?

3 MR. BOGACZ: No.

4 THE HEARING OFFICER: All right.  
5 Respondent's Exhibits 7 to 11 are entered into  
6 evidence.

7 (Respondent's Exhibit Nos. 7-11  
8 admitted into evidence.)

9 THE HEARING OFFICER: At this time,  
10 Mr. Bogacz, you may address any questions you  
11 have to Ms. Manning which are specifically  
12 related to the questions and answers that have  
13 been heard here today.

14 CROSS-EXAMINATION

15 BY MR. BOGACZ:

16 Q. Ms. Manning, have you ever heard of the  
17 National Environmental Policy Act?

18 A. Yes, I have.

19 Q. Do you know if Commonwealth Edison is required  
20 to abide with that act in any way?

21 A. I know Commonwealth Edison is required to  
22 follow the law as is any corporate citizen.

23 Q. Well, I mean, that's not what I asked you. I  
24 asked you if Commonwealth Edison is -- do you know if

1 Commonwealth Edison is required to abide by that specific  
2 act?

3 MR. RIPPIE: Ms. Manning is not a  
4 lawyer. She has answered the question to the  
5 best of her ability given the Complainant has  
6 not referred her to any provision of the  
7 statute and given that her testimony has not  
8 been directed to that subject.

9 THE HEARING OFFICER: Objection  
10 sustained.

11 BY MR. BOGACZ:

12 Q. On these maps, they list Commonwealth  
13 Edison's lines in various circuits and multi-circuit.  
14 Just exactly what is a multi-circuit?

15 A. A multi-circuit would generally indicate that  
16 there is a structure that has more than one three-phase  
17 alternating current transmission line installed on that  
18 structure. So you may have four transmission lines on the  
19 same -- on the same structure.

20 Q. Do you know how many miles of transmission  
21 lines there are within the control of Commonwealth Edison?

22 A. Yes, I do. There are in total above 69,000  
23 volts. When you add both overhead and underground,  
24 there's approximately 5,500 miles of transmission --

1 circuit miles of transmission lines.

2 Q. 5,000 -- What was that?

3 A. Approximately 5,500.

4 Q. Now, is that the total lineage of lines or is  
5 that just the total path of, say, four or six lines  
6 running together?

7 A. It is the total lineage of the lines, but what  
8 it is not is our lines -- We have a three-phase  
9 alternating current system. So each transmission line is  
10 comprised of three phases.

11 So if you wanted to know how many miles of  
12 wire, for instance, you'd take 5,500 figure and multiply  
13 by three. But the 5,500 mile figure is the -- is the  
14 number of circuit miles, not the structure miles, which is  
15 the other issue that you would ask about.

16 Q. I still don't quite understand that.

17 THE HEARING OFFICER: Mr. Bogacz, where  
18 are you going with your questioning?

19 MR. BOGACZ: I'm asking how many -- what  
20 is the total line -- linear length of lines in  
21 the system.

22 THE HEARING OFFICER: What is the purpose  
23 of your question then?

24 MR. BOGACZ: Well, in their response to

1           the -- to my interrogatory, they specified  
2           that there are about 3,000 miles of lines, but  
3           there was no explanation as to whether that's  
4           one line or 3,000 miles of six lines running  
5           together or 12 lines running together or --  
6           You know, if it's 3,000 miles of six lines,  
7           then it's 18,000 miles. That's what I'm  
8           getting at.

9           BY MR. BOGACZ:

10           Q.     So what is the linear -- the line -- the  
11           linear length of the total line?

12           A.     5,500 because the 3,000 number that you quoted  
13           is counting the structure miles. That number is lower  
14           than the 5,500 miles because it would count one mile of  
15           four circuits on the same structure as one mile. So it is  
16           a lower number. If you -- The 5,500 mile figure is the  
17           circuit miles of the transmission lines.

18           Q.     So that includes the towers that are running  
19           parallel to each other that have six lines on each path  
20           running parallel with each other?

21           A.     I don't believe we have any towers that have  
22           six lines necessarily. But if we did --

23           Q.     You have them near -- right next to my home.

24           A.     Six individual wires or --

1 Q. Yes.

2 A. Okay. That would be in our terminology a  
3 double circuit line. It would have two three-phase lines  
4 on those structures.

5 So the larger number, the 5,500, counts for a  
6 mile of that, counts each one of those lines as one mile,  
7 so you'd have two miles. If on the structure mile, the  
8 one that was provided as an answer by the Company, that  
9 would count that mile as one mile. That explains the  
10 difference in figures.

11 Q. So you're saying that the total miles then is  
12 approximately 5,200 miles?

13 A. Approximately 5,500, yes.

14 Q. Or 5,500.

15 A. Including the overhead and underground for  
16 all voltages at 69,000 volts and above, yes.

17 Q. When did the overhead line construction  
18 method begin to your knowledge, the best of your knowledge?

19 A. We've had it for about 95 to 100 years. We --  
20 We certainly have lower voltages, but overhead  
21 transmission technology has existed for a long time.

22 THE HEARING OFFICER: I'm sorry. I'm  
23 going to interrupt at this point and ask  
24 Mr. Bogacz, when you have questions to ask on

1 cross-examination, they need to be directly  
2 related to this case.

3 I can't -- We do not have the time to  
4 expound on the history of electric utility  
5 generation in the United States or in the  
6 Midwest. We simply don't have that time.

7 This must be directly related to this  
8 case or we will never conclude.

9 MR. BOGACZ: Well, I have to disagree  
10 with you. I mean, what am I going to ask  
11 her? She just described information about and  
12 I've been writing notes here about her  
13 testimony.

14 THE HEARING OFFICER: I want you to  
15 refer --

16 MR. BOGACZ: And you're saying I can't  
17 ask questions about what she discussed?

18 THE HEARING OFFICER: I want you to refer  
19 directly to the statements that she's made in  
20 your question when you ask her the question.  
21 I want you to refer directly to the statement  
22 she made then. If you are going to ask  
23 questions based on what she said, then I want  
24 you to tell her what it is she said and ask

1 her the related question.

2 MR. BOGACZ: You mean verbatim?

3 THE HEARING OFFICER: No, sir.

4 MR. BOGACZ: I don't understand what  
5 you're trying to explain.

6 THE HEARING OFFICER: On  
7 cross-examination, you are required to limit  
8 your questions to the manner which was  
9 discussed.

10 MR. BOGACZ: Right.

11 THE HEARING OFFICER: Our witness has not  
12 made it her specialty to discuss the history  
13 of electric generation in the United States or  
14 in the Midwest.

15 MR. BOGACZ: I'm very sorry, but I  
16 disagree with you.

17 What are all these maps for? She's the  
18 vice-president of transmission within the  
19 company.

20 THE HEARING OFFICER: Would you please  
21 limit your questions to the statements that  
22 she has made which are specifically related to  
23 your complaint?

24 MR. BOGACZ: I'm asking a question



1 regarding this map.

2 THE HEARING OFFICER: What does it have  
3 to do with her testimony and with your  
4 complaint? Let's try to be --

5 MR. BOGACZ: She testified regarding this  
6 map.

7 THE HEARING OFFICER: Let's try to be as  
8 specific as possible, sir.

9 MR. BOGACZ: I am being specific.  
10 You're not going to allow me to enter  
11 anymore test -- asking her questions regarding  
12 the maps that they submitted?

13 THE HEARING OFFICER: I am asking you to  
14 proceed as specifically as possible with your  
15 questions.

16 MR. BOGACZ: I am doing it right now.

17 THE HEARING OFFICER: I also am going to  
18 ask you to lower your voice and not to shout.

19 MR. BOGACZ: Well, I'm asking you to  
20 explain your position further and in a more  
21 specific way so I can understand it.

22 Now, I don't understand why I can't ask  
23 her questions regarding a matter she just  
24 testified to.

1 THE HEARING OFFICER: Proceed.

2 MR. BOGACZ: All these -- All these maps  
3 relate to what she testified to.

4 THE HEARING OFFICER: Proceed.

5 MR. BOGACZ: I'm asking her questions  
6 about the map.

7 THE HEARING OFFICER: Proceed.

8 MS. REPORTER: I'm going to change my  
9 paper real quick.

10 (A short recess was taken.)

11 BY MR. BOGACZ:

12 Q. Have you any knowledge regarding the ozone  
13 production of transmission lines, Ms. Manning?

14 A. Yes.

15 Q. Can you explain them to me?

16 A. It's very --

17 Q. For us.

18 A. It's a result of partial discharge of our  
19 transmission lines. It is a very small number.

20 Q. By small number, are you -- I mean, do you --  
21 did you do any calculations to that effect or is this  
22 something that you obtain through company engineers?

23 A. My staff have made those calculations.

24 Q. The Federal Energy Commission is also a

1 regulatory body responsible for Commonwealth Edison  
2 lines --

3 A. Yes.

4 Q. -- you mentioned?

5 A. Yes.

6 Q. What specifically does Commonwealth Edison  
7 have to adhere to or comply with regarding the FEC?

8 A. Primarily, the ability for the interstate  
9 commerce and electric energy.

10 The Federal Regulatory Energy Commission  
11 approves rates for using the transmission system as it is  
12 essentially a common carrier. So they have the ability to  
13 set those rates, approve those tariffs, and primarily  
14 provide for the interstate commerce in electric energy  
15 sales.

16 Q. Well, the interconnection system between Com  
17 Ed and other power companies throughout the country,  
18 what -- primarily, they -- to the best of your knowledge,  
19 would you say that they were constructing overhead lines  
20 for the same period that you mentioned about Com Ed, 95 to  
21 a hundred years ago they had started that construction  
22 method?

23 A. I think it was available to them in that time  
24 frame as well, yes.

1                   MR. BOGACZ: I believe that's all I have  
2                   for Ms. Manning right now.

3                   THE HEARING OFFICER: Do you have any  
4                   redirect?

5                   MR. RIPPIE: No, ma'am.

6                   THE HEARING OFFICER: All right. Thank  
7                   you, Ms. Manning.

8                   The Respondent can call its next witness.

9                   MR. ZIBART: Madam Hearing Officer, the  
10                  Respondent would call Dr. Gary Johnson at this  
11                  time.

12                  THE HEARING OFFICER: Dr. Johnson, would  
13                  you be sworn?

14   (Witness sworn.)

15   GARY B. JOHNSON, Ph.D.,  
16                  called as a witness herein, having been first duly sworn,  
17                  was examined upon oral interrogatories and testified as  
18                  follows:

19   DIRECT EXAMINATION

20                  BY MR. ZIBART:

21                  Q.     Dr. Johnson, are you presently employed?

22                  A.     Yes.

23                  Q.     And what is your position?

24                  A.     I am the -- essentially, the owner/operator of

1 the company Power Research which does consulting on  
2 various power industry systems and phenomena.

3 Q. And before you were at Power Research  
4 Engineering, what did you do in your career?

5 A. Prior to that, for 16 years I was at the High  
6 Voltage Transmission Research Center located in  
7 New Lenox, Massachusetts, where we did a variety of  
8 studies involved with transmission systems and  
9 distribution systems basically focusing on the field and  
10 corona impacts of those systems.

11 Q. And would you briefly summarize what your  
12 educational background is?

13 A. I received my bachelor of science degree in  
14 physics from the University of Illinois in 1974, master's  
15 in physics from the University of Illinois in '76, and  
16 then electrical engineering doctor of philosophy in 1979  
17 from the University of Illinois.

18 Q. Dr. Johnson, have you prepared a curriculum  
19 vitae which goes into more detail as to your professional  
20 qualifications?

21 A. Yes, I have.

22 MR. ZIBART: I have just one copy of  
23 this. You can use it. I just want it ...

24 Madam Hearing Officer, I have just one

1           copy of the CV at this time. If I could use  
2           it with the witness, certainly I would provide  
3           it to Mr. Bogacz if he'd like to go over it  
4           with the witness.

5                     THE HEARING OFFICER: And to me also at  
6           the conclusion.

7                                     (Respondent's Exhibit No. 12  
8                                     marked for identification.)

9   BY MR. ZIBART:

10           Q.     Dr. Johnson, showing you what's been marked  
11           now as Respondent's Exhibit 12, is that a copy of your  
12           curriculum vitae?

13           A.     Yes, it is.

14           Q.     And if I were to ask you more detailed  
15           questions about your qualifications, would you testify  
16           consistently with what's on this document?

17           A.     Yes, I would.

18           Q.     Dr. Johnson, during your work at EPRI and in  
19           the research labs, have you had an occasion to look at the  
20           corona effects of high voltage transmission lines?

21           A.     Yes. We've looked at several phenomena  
22           associated with both high voltage AC and high voltage DC  
23           transmission systems, including the electric fields, the  
24           magnetic fields, and various products due to corona on

1 those lines such as audible noise, radio noise, and ozone.

2 Q. And have you been involved in the development  
3 of any mathematical models for the prediction of how much  
4 corona or ozone is produced by a high voltage transmission  
5 line?

6 A. One of the endpoints of our research was to  
7 produce various predictive models such as the fields in  
8 corona, and we produced computer code, prediction code  
9 that went into a product known as the TL work station  
10 which, I believe, EPRI provides that calculates along with  
11 many other things the ozone levels.

12 Q. And did you have occasion to verify the  
13 accuracy of those models based on imperical research?

14 A. Basically, we looked at the measured  
15 quantities of ozone that we were able to detect and in  
16 many cases weren't able to detect and also went back to in  
17 some cases laboratory situations that were testing ozone  
18 production and used all of that information in developing  
19 these models.

20 Q. I'd like to ask you a few questions about some  
21 background of the science of ozone.

22 We've heard some testimony earlier that ozone  
23 can be created by electrical discharge in the air. Is  
24 that true?

1           A.     That is true.  If there is a sufficiently  
2 strong electric field, it will dissociate an oxygen  
3 molecule or two atoms of oxygen freeing the oxygen into  
4 individual atoms.  Those atoms will then react with other  
5 oxygen molecules to form what's called ozone.  As I said,  
6 if the electric field is strong enough, that can occur.

7           Q.     Is there a chemical formula that's associated  
8 with that process?

9           A.     You are basically having a single oxygen atom  
10 along with a certain amount of energy such as 69  
11 kilocalories going into molecular oxygen, which is the two  
12 oxygen atoms, and that results in the ozone atom.

13          Q.     Is ozone a stable compound?

14          A.     Ozone is a fairly reactive molecule.  It  
15 quickly will decay and interact with other constituents in  
16 the atmosphere.  So many times after a few minutes, it  
17 will react with other atmospheric quantities and basically  
18 it will disappear and dissociate with the other compounds.

19          Q.     Do scientists have a way of describing the  
20 rate at which ozone decays?

21          A.     There are different decay half-lives or time  
22 constants.  Typically, in terms of the transmission  
23 system, we might look at those in terms of half-lives  
24 under wet foul weather conditions and fair weather



1 conditions, and that would describe how quickly the ozone  
2 is going to decay into other products.

3 Q. Dr. Johnson, are you familiar with typical  
4 levels of ozone that are found in the absence of  
5 transmission lines?

6 A. As part of our monitoring, we would often  
7 measure the -- we call them ambient background levels of  
8 ozone with all of our transmission test lines turned off,  
9 and there were no other transmission lines within the area  
10 that would be affecting those measurements. So we had  
11 direct recordings of the ozone levels in the absence of  
12 transmission lines. We also received records periodically  
13 from other monitoring stations within the area of the  
14 ozone levels that they were tracking.

15 In general terms of the levels, those would  
16 vary oftentimes between about 10 parts per billion at  
17 night to daytime levels ranging from 40 or 50 parts per  
18 billion to about 90 to a hundred parts per billion during  
19 the sunny daytime hours.

20 Q. And would you rely on any treatise or other  
21 document to document the levels that you're talking about?

22 A. In addition to our own direct measurements, as  
23 I said, there were some measurements by some of the local  
24 monitoring stations which, I think, are run by the

1 Atmospheric Science Center.

2 There is also some documentation provided in a  
3 standard utility reference which is the -- oftentimes  
4 referred to as the red book or the 345 kV transmission  
5 line design book.

6 THE HEARING OFFICER: Are you just  
7 introducing this now?

8 MR. ZIBART: Yes.

9 THE HEARING OFFICER: Okay. It is  
10 entitled Transmission Line Reference Book.

11 And this is part of that book?

12 MR. ZIBART: Yes. It's an excerpt. I  
13 have the full -- I have the full book here if  
14 anyone would like to look at it.

15 THE HEARING OFFICER: Okay. The excerpt  
16 will be entitled -- will be numbered  
17 Respondent's Exhibit No. 12 -- excuse me --  
18 Exhibit 13.

19 (Respondent's Exhibit No. 13  
20 marked for identification.)

21 BY MR. ZIBART:

22 Q. Dr. Johnson, looking at what's now been marked  
23 as Respondent's Exhibit 13, is that an excerpt from the  
24 reference book to which you just referred?

1           A.     Yes.  It's the section of the reference book  
2 that deals with ozone.

3           Q.     Okay.  And was there any particular page of  
4 that book that specifically described the levels of ozone  
5 in the absence of transmission lines?

6           A.     Okay.  On what is labeled page 200 in that  
7 excerpt, there are two graphs there; the bottom one known  
8 as figure 4.7.2 is a measure of the ambient ozone  
9 variations over roughly a 10-day period.

10                   What can be seen in looking at the graph, it  
11 varies essentially in a diurnal cycle or a daily cycle  
12 with nighttime lows in the range actually getting down to  
13 about five parts per billion to about ten parts per  
14 billion.  Then the peaks up at around 80 to 90 parts per  
15 billion are essentially during the daylight hours when the  
16 sun is out.

17                   There's also toward the latter half of the  
18 graph three days when the ozone concentrations are only in  
19 the roughly 35 to 45 parts per billion range during the  
20 daylight hours or daytime.  On those days, it was  
21 basically overcast and you did not have sunny conditions.  
22 At no time was there a transmission line on during this  
23 period.

24           Q.     And so what explains why the cloudy days would

1 have different levels than the sunny days?

2 A. It's my understanding that the interaction of  
3 the sunlight with other atmospheric particles, basically  
4 volatile organic compounds in the atmosphere -- you get  
5 into a wide range of sources -- interact with the sunlight  
6 to form ozone. And what you are seeing is that daily  
7 cycle between sunshine interacting with these volatile  
8 organic compounds producing ozone and the nighttime hours  
9 where you don't have that sunlight; and, therefore, the  
10 ozone decays, goes away, and you have very low levels.

11 Q. Now, I'd like to ask you some questions about  
12 transmission lines and corona.

13 What is transmission line corona?

14 A. Transmission line corona is basically an  
15 electrical discharge that forms at the surface of the  
16 conductor for the very high voltage transmission lines.  
17 Essentially, the transmission lines are designed so that  
18 they are corona free; however, atmospheric conditions,  
19 basically bugs, debris, nicks in the conductor, scratches  
20 on the conductor, essentially small protrusions on the  
21 conductor when they are at this high voltage can produce  
22 points and form corona at the surface.

23 Now, in fair weather, that generally is not a  
24 problem. However, in foul weather conditions when you

1 have the raindrops, if you think of the conductor, the  
2 raindrops form on it and produce nice little droplet  
3 points on it, and those will grow into corona.

4 So basically corona phenomena transmission  
5 lines basically occur during these foul weather  
6 conditions; and the higher the voltage the line, in some  
7 respects it's a little more likely to occur in foul  
8 weather.

9 Q. You mentioned voltage. Do other -- other  
10 electrical features of a line such as the load on the line  
11 or the amperage on the line, do those affect the corona?

12 A. No, not -- not the corona. The corona is  
13 basically a surface phenomena on the conductor due to its  
14 voltage.

15 The other things that are important is the  
16 exact geometry of the line, how far above ground it is,  
17 how far it is from the other conductors, but not the load  
18 or the current through the conductor.

19 Q. And how is ozone created by the corona?

20 A. When you have the corona discharge or the  
21 small electrical discharge into the surrounding air, you  
22 have what can be thought of as like a small amount of sort  
23 of leakage current into the air which then is sufficient  
24 with the high electric field strength on the surface of

1 the conductor to split the oxygen molecule, and then it  
2 recombines to form the ozone.

3 So, first, you go through the corona process.  
4 You can measure the amount of certain energy that's being  
5 lost from the corona as a corona loss. You then have a  
6 factor that relates that corona loss produced by a  
7 transmission line to the amount of ozone that's going to  
8 produce.

9 Q. How efficient is corona at creating ozone?

10 A. Very inefficient. A rough estimate as far as  
11 in terms of the corona loss to ozone produced, it's maybe  
12 about anywhere from .04 percent to -- oh, under sort of  
13 ideal laboratory conditions, you might get up to about, I  
14 believe, .7 percent; typically, about .15 percent.

15 Q. And do scientists and engineers have formulas  
16 for calculating the amount of ozone that would be  
17 associated with the particular transmission line in a  
18 particular condition?

19 A. Given the geometry and the voltage of the  
20 transmission line, we can calculate the corona loss it  
21 would produce under various weather conditions and then  
22 from that the amount of ozone that would be produced.  
23 That's one of the things that we put into some of the  
24 calculating predictive formulas.

1           Q.     And could you describe without giving us all  
2 of the numbers and details because I know they will be in  
3 some of the documents -- can you sort of describe the  
4 formula, how the formula works doing that calculation?

5           A.     Well, starting at the beginning, as I said, if  
6 you have the geometry of the line, basically the height of  
7 the conductors, the size of the conductors, the voltage on  
8 the conductors, that is then used to calculate the corona  
9 loss from that particular transmission line.

10                     Once you have the corona loss, you have a  
11 conversion where you predict the number of grams of ozone  
12 produced per kilowatt hour of corona loss. That will give  
13 you the grams of ozone. Then you can calculate from that  
14 how that ozone will disperse from the conductor down to  
15 ground and put it in terms of the ozone concentration at a  
16 ground level and parts per billion.

17           Q.     Given these formulas and the variables that go  
18 into them, is there anything that an electric utility like  
19 Commonwealth Edison can do to significantly reduce the  
20 ozone from corona losses?

21           A.     As I said, it's basically a foul weather  
22 phenomena and the number of raindrops. The lines are  
23 already designed so that in fair weather, they are  
24 essentially corona free.

1                   When you have these raindrops hanging on the  
2 conductor, that's the point that's going into corona.  
3 One -- I guess one obvious way would be to take the  
4 transmission lines and remove them from the weather. It's  
5 already been mentioned here today; underground it.  
6 Another possibility might be to make the conductors  
7 extremely big; so big that even with the raindrops, they  
8 wouldn't go into corona. But instead of conductors maybe  
9 an inch or two in diameter, my guess might be it would  
10 require conductors 10 times that size.

11           Q.     And in your experience, would that be  
12 practical?

13           A.     No. It would be -- you'd have to have much  
14 larger towers; much larger right-of-way; the questions of  
15 supporting the conductors would be a problem; along with  
16 all the questions of, I suppose, visual impact.

17           Q.     I'd like you to discuss now some of the  
18 calculations you performed regarding the ozone from  
19 Commonwealth Edison's transmission lines.

20                   Can you tell us and tell the Board where  
21 you -- sort of what the starting point was for those  
22 calculations?

23           A.     Okay. Essentially, the calculations that were  
24 performed looked at the question of -- tried to address



1 the question of what was the ozone produced by the  
2 Commonwealth transmission system. In that regard, the  
3 system was broken up into voltage classes for the three  
4 voltage levels of lines in the transmission system, 765 kV  
5 transmission lines, 345 kV transmission lines, and 138 kV  
6 transmission lines.

7 It was then recognized that these transmission  
8 lines, at least for the 138 kV and 345 kV, would occur in  
9 typically two different configurations, either a single  
10 circuit where you had the three main conductor bundles or  
11 in some cases a double circuit where you had two circuits  
12 within the same structure.

13 So calculations were done for single circuit  
14 138 kV lines, double circuit 138 kV lines, single circuit  
15 345 kV lines, double circuit 345 kV lines, and then just a  
16 single circuit 765 kV line since that's all they have in  
17 their system at the moment.

18 So the calculations were done to determine the  
19 corona loss for these five different classes of lines and  
20 structures.

21 Q. And what did you -- What did you use in terms  
22 of a computer model to calculate that corona loss?

23 A. To determine the corona loss, we used what's  
24 called the TL work station, specifically the AC/DC line

1 module which part of the output of that does determine the  
2 corona loss for the various line designs.

3 THE HEARING OFFICER: Let the record show  
4 we are referring to what I'm going to number  
5 as Respondent's No. 14.

6 (Respondent's Exhibit No. 14  
7 marked for identification.)

8 MR. ZIBART: Okay. I will show that to  
9 the witness.

10 THE HEARING OFFICER: Corona Loss Results  
11 of AC/DC Line Program, Corona.

12 MR. ZIBART: I believe there's -- As part  
13 of that same package, Madam Hearing Officer,  
14 it goes on to show the rest of Dr. Johnson's  
15 calculations. So perhaps the name of the  
16 document could be the Corona Loss and Ozone  
17 Calculations.

18 THE HEARING OFFICER: Okay. Thank you.

19 BY THE WITNESS:

20 A. Once we have the corona loss calculated for  
21 essentially three weather conditions, fair weather,  
22 typical average rain conditions, and heavy rain  
23 conditions, we went to a model that's used by the EPA and  
24 as referred to in their document which specifies a method

1 for going from corona loss to both the amount of ozone and  
2 the concentration of ozone, maximum concentration of ozone  
3 at ground level on an annual basis.

4           Within that model then, we took the corona  
5 loss in fair weather and foul weather, applied the factor  
6 that goes from kilowatt hours of corona loss to grams of  
7 ozone. Under those two weather conditions, the EPA  
8 prescribes a mix of weather conditions with 20 percent  
9 foul weather, 80 percent fair weather. From that, we  
10 determined the basically pounds of ozone per hour being  
11 produced for a certain voltage class of line and the  
12 number of miles for that type of line.

13           Q.     Dr. Johnson, if I could show you what's been  
14 previously marked Respondent's Exhibit No. 6, I believe it  
15 is -- and I'm referring to pages 226 and 227 of that  
16 document -- are those the -- My question to you, sir, is  
17 are those the EPA formulas to which you were referring?

18           A.     Essentially, the example and the procedures  
19 that the EPA refers to those are outlined on page 227 is  
20 the same example and method that we use in going from our  
21 corona loss to the ozone concentration at ground level.

22           MR. BOGACZ: Excuse me. Where -- Where  
23 is this in reference to, which document?

24           MR. ZIBART: This was Respondent's

1 Exhibit No. 6, which was previously admitted  
2 into evidence. And it was on page -- I  
3 believe the witness said 227.

4 THE WITNESS: 227.

5 MR. BOGACZ: Transmission line reference  
6 book?

7 MR. ZIBART: No. Here.

8 (A brief pause.)

9 BY MR. ZIBART:

10 Q. Dr. Johnson, I think you were describing how  
11 you calculated the concentration of ozone at ground level;  
12 is that right?

13 A. Right. Once we had the amount of ozone  
14 produced per hour, that then acted as what we call the  
15 source term in a diffusion model to describe how that  
16 ozone diffuses out away from the conductor and is  
17 transported down to the ground level.

18 Now, in the EPA model, it basically prescribes  
19 a somewhat simplification of the more complex diffusion  
20 formula so that what you end up is simply the maximum  
21 concentration. So it simply solves the equation looking  
22 for the maximum ground level concentration. We took our  
23 ozone source being produced at the conductor, took the --  
24 a typical height of the conductor, a wind speed of one

1 mile per hour which is also described in the EPA  
2 documents, and then used that to calculate the  
3 concentration of the ozone at ground level.

4 In the case of the 765 kV line, the average  
5 annual mix of weather conditions resulted in an annual  
6 ozone level at ground of about .56 parts per billion.

7 Q. Can you tell us to what page of Respondent's  
8 Exhibit 14 you are referring?

9 A. It's about the seventh page in. It's the page  
10 labeled page 1, 8-9-96. And it's the page in the upper  
11 left-hand corner also as identified by the 765 kV.

12 Q. And on the following pages, did you do a  
13 similar calculation for the other voltages common in  
14 Commonwealth Edison's transmission system?

15 A. Yes, we did. We then looked at the other line  
16 configurations and voltage levels. Page 2 of that  
17 document -- what's labeled as page 2 of that document is  
18 the 345 kV double circuit configuration in the case where  
19 we had two 345 lines on the same tower configuration.

20 Q. And what was the result of your calculation?

21 A. The maximum ground level concentration for the  
22 year results at about .34 parts per billion.

23 The next page is for the 345 kV single circuit  
24 situation going through the same procedures that resulted

1 in about a .13 part per billion maximum ground level for  
2 the year.

3 Q. What about the 138 kV double circuit  
4 information?

5 A. Okay. Going on to the next page, on page 4 of  
6 that document, what's labeled page 4 of that document, for  
7 138 kV, double circuit, that resulted in a .0024 parts per  
8 billion ozone level.

9 As I said, as we get into the lower voltage  
10 lines, there is less voltage and also much less corona and  
11 ozone being produced.

12 For the single circuit 138 kV line, an even  
13 lower level of ozone; the calculated amount being .0009  
14 parts per billion.

15 Q. And to clarify, do these calculations that you  
16 did as to the concentrations, these parts per billion --  
17 do those calculations take into account the constant decay  
18 of ozone that you described earlier?

19 A. No, they don't. In a somewhat simplified EPA  
20 model, the decay of the ozone is not considered. And,  
21 again, it is simplified just to determine the maximal  
22 level of ozone at ground level.

23 Q. Okay. What would you conclude about the  
24 actual amount of ozone that one would experience at ground

1 level?

2 A. That, if anything, these numbers are somewhat  
3 higher than what the actual levels would be for these line  
4 configurations.

5 Q. Dr. Johnson, have you done any other  
6 calculation regarding the total amount of ozone from  
7 Com Ed's transmission lines?

8 A. Yes, I have.

9 Since these calculations really did not take  
10 into the question of the ozone decay, and that would be a  
11 strong factor in foul weather conditions since the typical  
12 half-life of ozone in foul weather precipitation type  
13 conditions is only about five minutes compared to about an  
14 hour or so in fair weather.

15 What we did was went back and looked at the  
16 situation considering the ozone decay to determine what  
17 would be the total amount of ozone in the atmosphere due  
18 to the entire Commonwealth Edison system at any one time  
19 for different weather conditions, fair weather and foul  
20 weather and then extreme foul weather, very heavy rain  
21 conditions. Those calculations are shown later on in  
22 Exhibit 14.

23 Q. Okay. What was -- What was your result for  
24 the fair weather condition?

1           A.     Essentially, there would be no contribution in  
2 fair weather. The lines would not be in corona and  
3 producing ozone.

4           Q.     And what about foul weather?

5           A.     In foul weather, because of the ozone decay,  
6 we would essentially hit an equilibrium level of ozone.  
7 And looking at the entire Commonwealth Edison system and  
8 using a decay of the ozone in these foul weather  
9 precipitation type conditions of 10 minutes, the total  
10 amount of ozone existing in the atmosphere at any one time  
11 was about 154 pounds.

12          Q.     And that would be the entire Com Ed system all  
13 over Northern Illinois?

14          A.     Right. That was considering census, all the  
15 circuit miles of 765, 345, and 138 kV transmission lines.

16          Q.     Did you also do a calculation for that heavy  
17 rain situation?

18          A.     Yes, we did. That's considering very heavy  
19 rain, also assuming that those same conditions would be  
20 present over the entire system at the same time, which is  
21 extremely unlikely.

22                     But for those calculations for the entire  
23 Commonwealth Edison system, the total amount of ozone  
24 existing would be about 156 pounds. In those heavy rain



1 conditions, we had an ozone half-life of about five  
2 minutes.

3 Q. Okay.

4 A. So it was more intense corona, but a shorter  
5 half-life; and the end result was that it stabilized at  
6 about 156 pounds.

7 Q. So which of the three scenarios had the  
8 highest ozone levels?

9 A. The extremely heavy rain conditions.

10 Q. Okay. And what would be the least?

11 A. Fair weather.

12 Q. Okay. Can you compare those numbers to when  
13 you would expect the ambient levels not due to  
14 transmission lines to typically be their highest and  
15 lowest?

16 A. Okay. As I mentioned earlier when I referred  
17 to the one figure showing the daily variation of the  
18 ozone, you had peak levels without transmission lines of  
19 about 80 to 90 parts per billion essentially on very  
20 clear, sunny days.

21 On days when it was overcast, but not raining,  
22 your levels dropped down about 40 to 50 parts per billion,  
23 and that compares with the different transmission line  
24 scenarios occurring under rain and foul weather conditions

1 where the levels were less than one part per billion.

2 Q. Dr. Johnson, based on your studies, would you  
3 conclude that someone living near a right-of-way, a  
4 transmission line right-of-way, a Commonwealth Edison  
5 transmission line right-of-way, would experience  
6 significantly increased ozone exposure?

7 A. No.

8 Q. And do you conclude that the Commonwealth  
9 Edison transmission lines are significantly increasing  
10 overall ozone in the Chicago area?

11 A. Just to make sure I understood that correctly,  
12 could you repeat it again?

13 Q. Okay. Actually, I'll rephrase it.

14 Do you conclude that Commonwealth Edison's  
15 transmission lines are significantly increasing overall  
16 ozone in the Northern Illinois area?

17 A. No.

18 Q. Dr. Johnson, I want to go back to your  
19 calculation on the highest concentrations at ground level,  
20 that first calculation that you did.

21 A. All right.

22 Q. I just want to be clear on what that  
23 calculation results in in terms of a maximum  
24 concentration.

1                   Is that the -- Could you describe what that  
2 means, the distance from the line, or what the -- what the  
3 maximum concentration means of that calculation?

4           A.     What the diffusional equation that the EPA is  
5 discussing, what it is set up to determine is, in  
6 actuality, if you have a transmission line and you're  
7 looking at a wind transverse to it, the ozone will diffuse  
8 out from the transmission line; and if you can envision it  
9 as sort of a plume moving out from the conductor.

10                   As that moves out and downwind at ground  
11 level, if you're moving along, you will at the first as  
12 you move away from the line see nothing because the ozone  
13 is not diffused down to it.

14                   As you go further and further away from the  
15 line, you finally reach a distance at which the ozone is  
16 just beginning to reach the ground. And so then you see  
17 the ozone concentration due to the line start to increase  
18 from zero.

19                   As you go further downwind, essentially more  
20 of that ozone is reaching the ground; your concentration  
21 will go up. At some point, you hit your highest value  
22 downwind of the line. If you go down even further, by  
23 that point, the ozone has dispersed even more, and the  
24 concentrations start dropping.

1                   So the model that the EPA uses in its approach  
2 is determine the position downwind where that highest  
3 level of diffuse ozone will be reached and what that level  
4 will be. So it's a -- essentially the maximal level of  
5 that profile of the ozone as you move downwind.

6                   Now, it's for the conditions also -- that  
7 level is then figured for the various weather conditions  
8 in terms of the fair and foul weather.

9                   THE HEARING OFFICER: This will be  
10                   Respondent's Exhibit No. 15.

11   (Respondent's Exhibit No. 15  
12   marked for identification.)

13 BY MR. ZIBART:

14                   Q.     Dr. Johnson, I'm showing you what's been  
15 marked now as Respondent's Exhibit 15. Do you recognize  
16 that document?

17                   A.     Yes, I do.

18                   Q.     And what is it?

19                   A.     It's a document describing the ozone levels  
20 that were measured downwind of a transmission line  
21 basically adjacent to the 765 kV line. I believe this is  
22 here part of the Commonwealth Edison system, study  
23 commission with Commonwealth Edison and IITRI.

24                   Q.     And what is IITRI?

1           A.     Illinois Institute of Technology Research  
2     Institute.

3           Q.     Is it fair to say this is a technical research  
4     or -- I guess it's a technical research paper?

5           A.     Yes.  It is a technical paper by its markings.  
6     It was submitted to the IEEE Transmission and Distribution  
7     Committee as part of the -- essentially peer review  
8     literature.

9           Q.     And --  
10           THE HEARING OFFICER:  Can you identify  
11           the date of the document?

12           THE WITNESS:  From the information that's  
13           on it, it was made available for printing in  
14           December of -- Actually, I believe December of  
15           '73 and was presented at the IEEE Power  
16           Engineering Society winter meeting in  
17           January/February of 1974.

18           THE HEARING OFFICER:  Thank you.

19     BY MR. ZIBART:

20           Q.     Based on your review of this document, would  
21     you agree with the conclusions that it reaches?

22           A.     Yes.

23           MR. ZIBART:  Madam Hearing Officer, I  
24     have no further questions for Dr. Johnson at

1 this time on direct examination.

2 At this time, I would move for the  
3 admission of Respondent's Exhibits 12 through  
4 15.

5 THE HEARING OFFICER: Okay. With respect  
6 to the exhibits --

7 MR. ZIBART: Oh, I'm sorry.

8 THE HEARING OFFICER: -- I have a  
9 question on Respondent's Exhibit 13.

10 What is the date of that exhibit? That  
11 is the one entitled Transmission Line  
12 Reference Book, and it includes a short  
13 number of pages from that book.

14 MR. ZIBART: I am handing Dr. Johnson at  
15 this time the original of his dog-eared red  
16 book.

17 THE WITNESS: I apologize for that.

18 The second edition was published in 1982.

19 THE HEARING OFFICER: All right. Thank  
20 you.

21 And then we need to clear up whether a  
22 blank page in Respondent's Exhibit 14 was  
23 intended to include information that it does  
24 not include.

1           Counsel, do you want to look at my copy  
2           of that?

3           THE WITNESS: I have the same thing, I  
4           think.

5           THE HEARING OFFICER: Okay. Is that a  
6           page which did not include information which  
7           does not need to be in this exhibit?

8           THE WITNESS: It's an extra page and does  
9           not need to be included by any means.

10          THE HEARING OFFICER: It is an extra  
11          page?

12          THE WITNESS: It's an extra page.

13          THE HEARING OFFICER: Okay. Then is  
14          there any objection by Mr. Bogacz to the  
15          introduction of these exhibits into evidence?

16          MR. BOGACZ: No.

17          THE HEARING OFFICER: All right. These  
18          exhibits are entered into evidence.

19                         (Respondent's Exhibit Nos. 12-15  
20                         admitted into evidence.)

21          THE HEARING OFFICER: At this time,  
22          Dr. Johnson, Mr. Bogacz is given an  
23          opportunity to cross-examine you on your  
24          testimony here.

1 Do you want to proceed?

2 MR. BOGACZ: Yes.

3 CROSS-EXAMINATION

4 BY MR. BOGACZ:

5 Q. Dr. Johnson, have you ever contracted with the  
6 United States U.S. EPA for any work or consulting?

7 A. No, sir.

8 Q. What is the under -- your understanding of the  
9 U.S. EPA in regards to ozone production by transmission  
10 lines or otherwise?

11 THE HEARING OFFICER: Could you be more  
12 specific in your question?

13 THE WITNESS: Thank you.

14 BY MR. BOGACZ:

15 Q. Well, what is the responsibility of the EPA  
16 basically?

17 A. I think -- I don't really feel qualified to  
18 answer that for the EPA.

19 Q. Well, I mean, it's basic -- Everybody knows  
20 it.

21 THE HEARING OFFICER: If you don't know,  
22 sir, you could say you don't know.

23 BY THE WITNESS:

24 A. I don't know.



1 THE HEARING OFFICER: If you do know  
2 something about it, then I think that the  
3 question is asking you to tell us what it is.

4 BY THE WITNESS:

5 A. My understanding of the EPA -- and this is a  
6 personal observation -- is it is interested in basic air  
7 quality and pollutants amongst many other things.

8 Q. I have a question about these calculations. I  
9 forget which one. The one with the table. I don't  
10 remember now. I didn't mark down which number it was.

11 A. Okay. We are talking about this one?

12 Q. Yeah. The results of AC/DC line program?

13 A. Right. Exhibit 14, I believe.

14 Q. Okay.

15 THE HEARING OFFICER: Correct.

16 MR. BOGACZ: Thanks.

17 BY MR. BOGACZ:

18 Q. On page -- Starting on page 1 in the back  
19 dated 8-9-96 --

20 A. And with 765 in the upper left-hand corner?

21 Q. Yes. In the left-hand bottom corner, it says  
22 Brian S. Cramer, P, period, E, period.

23 A. Right.

24 Q. Are you -- Did you make these calculations

1 along with Mr. Cramer or --

2 A. Yes. Brian Cramer is a professional engineer  
3 with Commonwealth Edison. He had the detailed information  
4 in terms of the line design and lengths of line, and the  
5 calculations were performed with -- in conjunction with  
6 him and basically directing him as far as the types of  
7 calculations and what calculations to perform. He had  
8 ready access to the information.

9 Q. So you did not do these calculations?

10 A. No. I did the calculations. I guess I'm not  
11 sure -- In terms of preparing this exact page?

12 Q. Right.

13 A. Brian Cramer prepared it; but in terms of the  
14 calculations and the actual numbers, I directed Brian  
15 Cramer.

16 Q. Were any of these calculations submitted to  
17 the United States EPA or the Illinois EPA at any time that  
18 you know of?

19 A. These calculations being presented here in  
20 Exhibit 14, to my knowledge, no.

21 Q. What are the byproducts of ozone deteriorating  
22 in the rain?

23 A. In many cases, that will go back into the  
24 constituent parts of the oxygen. Basically, you'll get a

1 reaction with the water droplet, the exact chemical  
2 species that are produced. I don't know specifically.  
3 Perhaps Dr. Vostal can speak to that.

4 DR. VOSTAL: That's correct.

5 BY MR. BOGACZ:

6 Q. In your -- With your knowledge, would you say  
7 that acids were formed?

8 A. I don't know.

9 Q. Would the oxygen -- or the ozone when it  
10 deteriorates, does it combine with any possible other  
11 pollutants in the atmosphere?

12 A. I'm sure it's possible.

13 Q. Dr. Johnson, do you know what acid rain is?

14 A. In general terms, I believe so.

15 Q. How is that form in the atmosphere?

16 THE HEARING OFFICER: Sir, could you  
17 please state the relationship of this question  
18 to the doctor's testimony?

19 MR. BOGACZ: Yes, the deterioration of  
20 ox -- ozone.

21 BY MR. BOGACZ:

22 Q. As I asked you before about the byproducts,  
23 would you say this acid rain is a byproduct of the  
24 deterioration of ozone?

1 A. I don't know.

2 Q. Has the document -- The large document here  
3 with the EPA description, identification, and  
4 characterization of missing or unaccounted for area source  
5 categories --

6 A. Right.

7 Q. -- you're familiar with that?

8 You're utilizing the page 226?

9 A. 227.

10 Q. And 227. The information -- The information  
11 obtained from sources by the EPA to compile this  
12 particular section is listed on 229.

13 MR. ZIBART: I don't think the witness  
14 has a copy of the document in front of him.

15 BY MR. BOGACZ:

16 Q. Oh, you don't?

17 A. You said page 229?

18 Q. Yes.

19 A. All right. Okay. I have it.

20 Q. There are references 1 through 7.

21 A. Correct.

22 Q. Basically, they are all sources of information  
23 compiled by the IEEE; would you agree with that?

24 A. That's correct. The reference list appears

1 that all of them are technical papers appearing in the  
2 literature of the Institute of Electrical and Electronic  
3 Engineers or IEEE.

4 Q. Do you know of any BPA studies regarding ozone  
5 production?

6 A. BPA has made measurements and reported on  
7 their attempts to measure the ozone downwind of some of  
8 their transmission lines. And I am aware of probably one  
9 or two documents in that respect, one of -- or both of  
10 which I think were presented this morning.

11 Q. In your description of these calculations  
12 utilizing this page 226 and 227, you were referring to  
13 fair weather and foul weather; is that correct?

14 A. That's correct, yes.

15 Q. Are there any studies that you know of  
16 indicating what the ozone emissions would be during fair  
17 weather?

18 A. Essentially, from the information that I know  
19 of, ozone emission by transmission lines in fair weather,  
20 high voltage AC transmission lines simply aren't in corona  
21 emitting ozone in fair weather.

22 Q. And why is that?

23 A. Mainly because of the design of the  
24 conductors and the fact that you don't have the

1 precipitation or the raindrops on conductors going into  
2 the corona.

3 Q. So would you say that moisture has a lot to do  
4 with the production of ozone?

5 A. For transmission lines, yes; mainly in the  
6 terms that it's producing the protrusions or the points  
7 sticking out on the conductor. If you had a very severe  
8 scratch or nick, something that would also form a  
9 protrusion or drop on the conductor similar to a raindrop,  
10 I suppose that also would cause corona.

11 Q. So would you agree that high humidity without  
12 rain would still produce corona and ozone without rain?

13 A. High humidity without rain, it is very  
14 unlikely because you're not getting the droplet, the  
15 precipitation droplet forming on the conductor.  
16 Generally, you are looking more for the snow, rain, ice  
17 type conditions.

18 Under extreme high humidity, saturation type  
19 conditions, 100 percent type humidity, then I suppose it  
20 might be possible depending on the exact temperature and  
21 heating at the line.

22 Q. Do you know of any studies in that regard?

23 A. We have tried to make measurements of the  
24 ozone from some of our transmission lines in a variety of

1 weather conditions, some of which include fog. I believe  
2 the BPA has also tried to look at some of their  
3 transmission lines under various weather conditions.

4           Essentially, it's been focusing on  
5 precipitation because if you are going to see something,  
6 that's when you are more likely to be able to detect it.  
7 In general, even fair or foul weather, either weather  
8 condition, at ground level they have not been able to  
9 detect any significant difference between the ambient  
10 levels.

11           Q.     Can you list any specific numbers, EPA  
12 document or reports regarding this phenomena, you know,  
13 the fair weather, high humidity?

14           A.     At this moment, I couldn't list any EPA  
15 documents. I believe there was the one BPA document that  
16 was referred to this morning along being supplied by the  
17 DOE that did in a limited extent say that attempts were  
18 made to measure the ozone and it was not seen.

19           Q.     Are you acquainted with a Mr. James A. Raub,  
20 R-a-u-b, of the U.S. EPA, Office of Research and  
21 Development --

22           A.     No, I am not.

23           Q.     -- Reserve Triangle Park?

24           A.     No, sir, I am not.

1 Q. You've never submitted any documents to  
2 Mr. Raub?

3 A. Not to my knowledge.

4 Q. On page -- let's see -- 228 --

5 THE HEARING OFFICER: You're referring to  
6 exhibit what?

7 MR. BOGACZ: Wait. Am I reading the  
8 right one? Oh, 226. I'm sorry.

9 THE HEARING OFFICER: What exhibit number  
10 are you referring to?

11 MR. BOGACZ: Oh, I'm sorry. It's the  
12 same document.

13 THE HEARING OFFICER: Six? Respondent's  
14 Exhibit 6?

15 BY THE WITNESS:

16 A. On page 226 --

17 Q. Yes.

18 A. -- of the EPA --

19 Q. Yes, of the extra high voltage transmission  
20 line designation at the top.

21 At the bottom of the page, the sources of  
22 direct ozone production are not covered in typical SIP  
23 inventories. The corona developed around EHV power lines  
24 produces ozone. Do you know what that designation means,



1 SIP inventories, that term?

2 A. I would have to say no, I don't. Could --  
3 Could that be defined?

4 Q. In regard -- in reference to the EPA, it can  
5 be, I guess. I believe it's an abbreviation for  
6 stationary something or other.

7 But you're not familiar with that, SIP?

8 THE HEARING OFFICER: The acronym has  
9 several identifications. One of them is State  
10 Implementation Plan. I don't think that  
11 applies here.

12 BY MR. BOGACZ:

13 Q. On page 228, methodology, it says presently no  
14 methodology exists for estimating ozone emissions from EHV  
15 transmission lines.

16 THE HEARING OFFICER: What is your  
17 question?

18 BY MR. BOGACZ:

19 Q. Is that a term or -- Would you agree with  
20 that?

21 A. No, I would not. I don't believe that is true  
22 at the present time. I think possibly since this document  
23 has been -- or at least since that paragraph was initially  
24 written, there has been methodology developed and a number

1 of tests done to look at the question of ozone created  
2 from transmission lines and attempts to calculate and  
3 estimate what those levels are.

4 In fact, within the own document, they give a  
5 methodology that can be used to estimate that ground level  
6 ozone concentration.

7 Q. But you don't know of any major study by the  
8 EPA that defines any kind of emission standards from  
9 calculations or laboratory experiments and so forth?

10 A. For transmission lines?

11 Q. Right.

12 A. Not to my knowledge. In general, the levels  
13 from transmission lines are so low at this point, that  
14 they have not really come into question.

15 Q. You agree that Commonwealth Edison and the  
16 IEEE, the Electric Power Research Institute, and other  
17 private engineering or research laboratories, including  
18 yourself, they are not responsible for determining whether  
19 or not pollution is created by ozone being produced by  
20 high voltage transmission lines?

21 A. Okay. I'm not sure if I understand the  
22 question. Could you repeat that?

23 THE HEARING OFFICER: Do you mean are  
24 they legally responsible?

1 MR. BOGACZ: Right.

2 THE HEARING OFFICER: You mean are they  
3 legally required to do that, to test that?

4 MR. BOGACZ: Uh-huh, are they legally  
5 required to determine these -- do they have  
6 legal standing in any way.

7 THE HEARING OFFICER: That's a different  
8 question, Mr. Bogacz.

9 MR. BOGACZ: What?

10 THE HEARING OFFICER: That would be a  
11 different question.

12 MR. BOGACZ: Oh.

13 BY MR. BOGACZ:

14 Q. Well, do any of these private groups or  
15 individuals, companies, including the United States  
16 Department of Energy, the Bonneville Power  
17 Administration -- are any of these groups or individuals,  
18 companies, administrations legally responsible for  
19 enforcing the pollution laws of the country?

20 A. If I understand the question right, you're  
21 asking if a number of entities such as Commonwealth  
22 Edison, EPRI, IEEE, BPA --

23 Q. No, no, not the EPA. I didn't say EPA.

24 A. BPA, Bonneville Power Administration.

1 Q. Right. Oh, BPA, right.

2 A. (Continuing.) -- are legally charged with  
3 enforcing --

4 Q. The pollution laws for determining whether  
5 there is pollution in the environment.

6 A. They would have to abide by whatever rules and  
7 regulations there are.

8 I know that IEEE and EPRI are basically  
9 organizations that really would have no opportunity or  
10 role to even be in that arena.

11 As far as the other agencies I believe you  
12 mentioned, as I said, they have to abide by the rules and  
13 regulations that are out there.

14 THE HEARING OFFICER: I believe the  
15 witness has answered your question to the best  
16 of his ability.

17 Do you have any further questions for the  
18 witness on cross-examination?

19 MR. BOGACZ: Yes.

20 THE HEARING OFFICER: Would you please  
21 limit your questions to the statements that  
22 Dr. Johnson made during his testimony?

23 MR. BOGACZ: Are you objecting to the  
24 last one?

1 THE HEARING OFFICER: Would you please  
2 limit your questions to clarifications or  
3 challenges of statements that Dr. Johnson made  
4 during his testimony.

5 MR. BOGACZ: I think I asked that  
6 question already.

7 I think that's about it for now.

8 THE HEARING OFFICER: Does that conclude  
9 your questions of Dr. Johnson? Does that  
10 conclude your questions of Dr. Johnson?

11 MR. BOGACZ: Yes, at this time.

12 THE HEARING OFFICER: Is there any  
13 redirect?

14 MR. ZIBART: Just very briefly.

15 REDIRECT EXAMINATION

16 BY MR. ZIBART:

17 Q. Dr. Johnson, Mr. Bogacz asked you about some  
18 of the Bonneville Power Administration studies that -- or  
19 whether you were familiar with any of them.

20 And that's -- I guess Bonneville Power  
21 Administration, that's what you referred to by the --

22 A. BPA.

23 Q. -- BPA. All right.

24 I show you what's already been admitted into

1 evidence as Respondent's Exhibit 2. Take a look at that  
2 one and see if that's one of the documents to which you  
3 were referring.

4 A. Yes. That's the one I was referring to as far  
5 as the document earlier this morning, one of them.

6 Q. All right. And would you take a look at  
7 Respondent's Exhibit 5.

8 Is that also a Bonneville Power Administration  
9 study?

10 A. Yes, it is. It's basically a BPA report  
11 typical of what they file for the various research  
12 projects dealing with their 1,200 kV high voltage line.

13 Q. Would you tell -- In case some of the people  
14 here or members of the Board aren't familiar with  
15 Bonneville Power Administration, what is that  
16 organization?

17 A. Bonneville Power Administration is a --  
18 essentially one of two government utilities, the other one  
19 being the Tennessee Valley Authority. Both were set up  
20 originally to administer and take advantage of the  
21 hydroelectric facilities, the river potential along the  
22 Columbia River in the case of Bonneville Power  
23 Administration and a similar role for Tennessee Valley  
24 Authority.

1                   But they essentially are government associated  
2 utilities. Bonneville Power Administration is in the  
3 pacific northwest along the Columbia River.

4                   MR. ZIBART: I have no further questions  
5 for Dr. Johnson.

6                   THE HEARING OFFICER: Okay.

7                   MR. BOGACZ: I have some questions.

8                   THE HEARING OFFICER: The only question  
9 you could ask him at this point, Mr. Bogacz,  
10 would be a question that would challenge his  
11 answer related to what Bonneville Power  
12 Administration was --

13                   MR. BOGACZ: Yeah.

14                   THE HEARING OFFICER: -- or whether those  
15 two exhibits that were identified as  
16 Respondent's Exhibits Nos. 2 and 5 were, in  
17 fact, the ones that he was referring to.

18                   REXCROSS-EXAMINATION

19 BY MR. BOGACZ:

20                   Q. The BPA is required to obey or comply with  
21 environmental regulations set by the U.S. EPA; is that not  
22 so?

23                   A. I would have to assume that they are like any  
24 other agency; that they have to abide by the rules and

1 regulations that affect their operations.

2 Q. Thank you.

3 THE HEARING OFFICER: All right. Thank  
4 you very much.

5 At this point, we'll take a five-minute  
6 recess and discuss the remainder of the  
7 hearing schedule.

8 Off the record.

9 (Discussion off the record.)

10 THE HEARING OFFICER: Okay. We are back  
11 on the record just briefly, and it's a little  
12 after 4:00 p.m. The building that we are in  
13 closes at 4:30, and we have arranged  
14 previously for the use of this room tomorrow  
15 should we need it.

16 At this point in time, Respondent, you  
17 will have some additional witnesses, I  
18 believe?

19 MR. ZIBART: That's right.

20 THE HEARING OFFICER: Okay.

21 And so I think that what we've decided to  
22 do is conclude our proceedings for today, and  
23 we will come back into session tomorrow  
24 morning at 10:00 a.m. at this same location.



1 Thank you very much.

2 MR. ZIBART: Thank you.

3 MR. BOGACZ: Okay.

4 (Which were all the proceedings  
5 had in this matter at this time.)

6

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1 STATE OF ILLINOIS )  
 ) SS.  
2 COUNTY OF C O O K )

3

4 I, MICHELLE M. DOSE, C.S.R., do hereby state  
5 that I am a court reporter doing business in the City of  
6 Chicago, County of Cook, and State of Illinois; that I  
7 reported by means of machine shorthand the proceedings  
8 held in the foregoing cause, and that the foregoing is a  
9 true and correct transcript of my shorthand notes so taken  
10 as aforesaid.

11

12

\_\_\_\_\_  
MICHELLE M. DOSE, C.S.R.  
Notary Public, Cook County, IL

13

14

15

16

17

18

19 SUBSCRIBED AND SWORN TO  
20 before me this \_\_\_\_\_ day  
of \_\_\_\_\_, A.D., 1996.

21

22 \_\_\_\_\_  
Notary Public

23

24

