

1 BEFORE THE ILLINOIS POLLUTION CONTROL BOARD

2

3

4 IN THE MATTER OF


5

6 AMENDMENTS TO 35 ILL. )

7 ADM CODE 302.202, 302.212, )

8 302.213, 304.122 AND 304.301 )

9 (Ammonia Nitrogen) )



R94-/(B)

(Rulemaking)

10

11 Report of proceedings had in the above-entitled  
12 cause, before Ms. Diane O'Neill, the Hearing Officer,  
13 on February 22, 1996 at the hour of 10:00 o'clock  
14 a.m. at the State of Illinois Building, 100 West  
15 Randolph, Chicago, IL 60601.

16

17 APPEARANCES:

18 MS. DIANE O'NEILL, The Hearing Officer

19 MR. J. THEODORE MEYER, Board Member

20 MR. EMMETT E. DUNHAM, Board Member

21 DR. RONALD FLEMAL, Board Member

22 MS. MARILI MC FAWN, Board Member

23 MS. AMY HOGASIAN, Board Staff

24

1 APPEARANCES: (Continued)  
2 ILLINOIS ENVIRONMENTAL PROTECTION AGENCY  
3 Mr. Bruce L. Carlson  
4 Ms. Margaret P. Howard  
5 Mr. Joel Cross  
6 Mr. Dean J. Studer  
7 Mr. Robert G. Mosher  
8 Mr. Steve Vance  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

1 THE HEARING OFFICER: Good morning. This is a  
2 public hearing held by the Pollution Control Board in  
3 Docket No. R94-1(B) in the matter of amendments to 35  
4 Illinois Administrative Code 302.202, 302.212,  
5 302.213 and 304.301 dealing with amendments to  
6 ammonia nitrogen rule.

7 My name is Diane O'Neill, I'm the Hearing  
8 Officer for this hearing. The attendant Board member  
9 is Emmett Dunham who is seated to my left.

10 We also have with us today Board member  
11 Dr. Ronald Flemal who is on my right.

12 Chairman Clara Manning had planned to be  
13 with us today, but for unforeseen circumstances she  
14 was unable to make it up from Springfield, but we do  
15 have her assistant with us today, Amy Hoogasian.

16 And we also have present from the Board  
17 our -- from our technical staff Hiten Soni.

18 Now, the Agency filed these proposed  
19 amendments with the Board on February 24th, 1994.  
20 This proposal was filed pursuant to Section 27 of the  
21 Environmental Protection Act.

22 The Agency has certified that the proposed  
23 rulemaking is needed to fulfill the requirements of  
24 the Federal Clean Water Act.

1           The Board has accepted the proposed  
2 rulemaking as a Federally required rule pursuant to  
3 Section 28.2 of the act.

4           The Board must adopt a rule that meets the  
5 applicable Federal standard and is consistent with  
6 Illinois statute.

7           On January 4th, 1996, the Board severed the  
8 proposed amendments into two dockets. Subdocket A  
9 contains a proposed amendments to the lead and  
10 mercury water quality standards.

11           The amendments in subdocket A were published  
12 for first notice January 26, 1996.

13           Subdocket B contains the proposed amendments  
14 to the ammonia nitrogen rule water quality standard,  
15 and this hearing is on subdocket B, the amendments to  
16 ammonia nitrogen.

17           The Hearing Officer orders scheduling this  
18 hearing, establishes scheduling for the presubmission  
19 of testimony and questions.

20           The Board received prefiled testimony from  
21 several parties. Like I said, I hope there's copies  
22 on the side there for anybody who has not already  
23 received them.

24           Testimony was submitted by the Illinois

1 Environmental Protection Agency, Sailesh Jantrania,  
2 on behalf of Borden Chemicals & Plastics, James  
3 Daugherty on behalf of the Illinois Association of  
4 Wastewater Agencies, Greg Buchner on behalf of the  
5 Fox Metro Water Reclamation District and by James  
6 Huff on behalf of the Ammonia Group.

7           In order to expedite this proceeding, I  
8 request that all prefiled testimony be entered as if  
9 read.

10           By entered as if read, I mean that the  
11 prepared testimony with any corrections is entered as  
12 an exhibit and will be made part of the transcript.

13           It will be treated the same as if it were  
14 actually read into the transcript.

15           And as this is a rulemaking and not a  
16 contested case, all relevant, not duplicative  
17 information will be allowed into the record.

18           We also have as the preliminary, we have a  
19 motion that is before the Board in this matter.

20           There was a motion filed by the Agency on  
21 February 13th, 1996 to strike the testimony of  
22 Sailesh Jantrania on behalf of Borden Chemicals and  
23 Plastics.

24           Borden Chemicals and Plastics filed a

1 response to the motion on February 14, 1996. A  
2 response to the motion was also filed by the Ammonia  
3 Group.

4           On February 16th, a Hearing Officer order  
5 was issued denying the motion to strike.

6           Yesterday the Agency filed its reply to the  
7 response. After reviewing the reply by the Agency, I  
8 find no reason to change the Hearing Officer order of  
9 February 16th allowing the testimony from Borden  
10 Chemicals and Plastics.

11           Therefore, we will allow the testimony to be  
12 entered into the record today. And the Agency's  
13 objection to the testimony will be entered into the  
14 record.

15           Are there any other preliminary matters or  
16 motions that need to be addressed that time?

17       MS. HOWARD: No.

18       THE HEARING OFFICER: I guess we can begin with  
19 the Agency's testimony.

20       MS. HOWARD: We have a revised cost estimate  
21 statement that we would like to make to revise the  
22 testimony of Dean Studer.

23       MR. DUNHAM: Is this a revision from the January  
24 29th, pretrial testimony as well or is this the

1 revision in that testimony?

2 MS. HOWARD: I believe this is a revision of  
3 that. Yes, this revises that section.

4 MR. DUNHAM: Okay.

5 THE HEARING OFFICER: Do you know what exhibit  
6 that was entered as?

7 MR. DUNHAM: 2-S, I believe, wasn't it?

8 MS. HOWARD: It's actually a revision of Section  
9 D on pages 40 through 43. It would supplement that  
10 section.

11 THE HEARING OFFICER: It was previously entered  
12 as Exhibit 2 at the November 10th hearing.

13 MS. HOWARD: Right. We filed it on January 26,  
14 1996.

15 THE HEARING OFFICER: So this testimony hasn't  
16 been entered?

17 MR. CARLSON: This is an update of those pages  
18 from the Agency's additional comments filed January  
19 26th -- or dated January 26th.

20 MR. DUNHAM: You're talking about the economic  
21 impact if the proposed ammonia nitrogen standards are  
22 not adopted or are you talking about the proposed  
23 impact if they are adopted on page 39?

24 MS. HOWARD: On page 40, the economic impact if

1 the proposed ammonia nitrogen standards are not  
2 adopted.

3 THE HEARING OFFICER: Do you have replacement  
4 pages for that testimony?

5 MS. HOWARD: It's not a replacement, it's a  
6 supplement, what he would be testifying to right  
7 now.

8 MR. CUNNINGHAM: Can I see a copy?

9 MS. HOWARD: He's going to read a statement.  
10 It's not something we are entering.

11 MR. CUNNINGHAM: I have a question here.

12 THE HEARING OFFICER: I'm sorry, if you're going  
13 to make a statement, you need to identify yourself  
14 for the court reporter.

15 MR. CUNNINGHAM: I'm Lee Cunningham, Gardner,  
16 Carton & Douglas on behalf of the Ammonia Group.

17 The Agency's testimony was actually  
18 presented as additional comments, and we're now  
19 talking about modification of Dean Studer's  
20 testimony.

21 It would seem to me to be helpful if we  
22 could identify who's testimony this really is, who is  
23 responsible for what part of it.

24 MS. HOWARD: This is the economic statement that



1 was made and this was testimony that -- or it's  
2 information that Dean Studer put together.

3 MR. CUNNINGHAM: So that's -- you're talking  
4 about this, on pages forty through -- to the  
5 conclusion?

6 MS. HOWARD: Forty through forty-three.

7 MR. DUNHAM: Well, the economic starts before  
8 that, on page 30 or so?

9 MS. HOWARD: Right.

10 MR. DUNHAM: Or page what?

11 MS. HOWARD: This D section is the section that  
12 Dean researched and he's familiar with. The other  
13 economic section is what Bob did.

14 THE HEARING OFFICER: Okay. All right. We want  
15 to swear in the Agency's witnesses first off.

16 THE HEARING OFFICER: I ask the court reporter to  
17 swear in the witnesses for the Agency.

18 (Agency witnesses sworn.)

19 THE HEARING OFFICER: I just also want you to  
20 identify who you have with you today for the record.

21 MS. HOWARD: My name is Margaret Howard, and I  
22 represent the Illinois EPA.

23 Mr. Bruce Carlson is also an attorney with  
24 the Illinois EPA. Dean -- Mr. Dean Studer is with

1 the permit section. Mr. Steve Vance is with the  
2 planning section.

3 Mr. Joel Cross is the supervisor for the  
4 planning section, and Mr. Bob Mosher or Robert Mosher  
5 is also with the planning section.

6 THE HEARING OFFICER: Thank you.

7 MR. STUDER: In the prefiled Agency's additional  
8 comments, the Agency identified seven facilities as  
9 unable to comply with the existing water quality  
10 standards during the winter months due to the  
11 expiration of the 4.0 milligram per liter winter  
12 ammonia nitrogen effluent standard of 35 Illinois  
13 Administrative Code 304.301.

14 All seven of these facilities can and have  
15 complied with the winter monthly average ammonia  
16 nitrogen effluent limit of 4.0 milligrams per liter  
17 and a summer monthly average ammonia nitrogen  
18 effluent limit of 1.5 milligrams per liter.

19 In the prefiled comments, the Agency  
20 estimated that the cost to upgrade these facilities  
21 would be roughly equal to the cost of going from a  
22 secondary plant to a secondary plant designed to  
23 remove ammonia nitrogen.

24 Since the time of the filing of the prefiled

1 comments, the Agency has re-evaluated these estimated  
2 costs and has developed more accurate cost estimates  
3 from actual wastewater treatment plant performance in  
4 Illinois.

5           These revised cost estimates are based on  
6 several presumptions. First, it was presumed that a  
7 2.0 milligram per liter total ammonia nitrogen  
8 concentration would be sufficient to comply with the  
9 current 0.04 milligram per liter un-ionized ammonia  
10 water quality standard.

11           The second presumption is that organic  
12 loading in the aeration tanks of 8 pounds BOD per  
13 1,000 cubic feet and a hydraulic retention time of at  
14 least 24 hours will allow a 2.0 milligram per liter  
15 total ammonia effluent to be met.

16           Third, protection from excess flows and  
17 hydraulic surges must be provided.

18           Typically this is done by the use of  
19 sidestream excess flow treatment facilities.

20           The final presumption is that adequate  
21 pretreatment exists to protect the treatment process  
22 from toxics and to keep the influent wastewater  
23 within design strengths.

24           Means Building Construction Cost Data 1994

1 and adjusted to 1996 dollars was used to prepare the  
2 construction cost estimates. These estimates include  
3 overhead, profit and contingency.

4           The following are construction cost  
5 estimates based on design average flow for adding  
6 treatment to meet winter ammonia nitrogen effluent  
7 limits for activated sludge plants.

8           One milligram per liter would cost \$2  
9 million. That's one MGD would be \$2 million. A 5  
10 MGD plant would be 6,440,000. A 10 MGD plant would  
11 be \$11,800,000. And a 20 MGD plant would be  
12 \$22,800,000.

13           An exhibit showing these costs graphed as a  
14 function of plant size will be presented at the end  
15 of this statement.

16           The estimates for additional treatment for  
17 the seven identified municipal dischargers as derived  
18 from the graphs are given as follows.

19           One of the plants at one MGD would cost \$2  
20 million, one of the seven plants at 1.045 MGD would  
21 be \$2,050,000.

22           One plant at 1.68 MGD is 2,755,000. One  
23 plant at 1.837 MGD would be \$2,929,000. One plant at  
24 3 MGD is \$4,220,000.

1           One plant at 4.5 MGD is \$5,885,000. And one  
2 plant at 41 MGD which would be \$46,700,000.

3           A total of seven plants with a combined  
4 design average flow of 54.062 MGD and a total cost of  
5 \$66,000,539.

6           The revised total capital cost estimate for  
7 these seven facilities is in excess of \$66 million.

8           It is important to realize that these  
9 facilities have already borne the cost of  
10 constructing best degree of treatment for ammonia  
11 removal once, and now if the proposed ammonia  
12 nitrogen standards are not adopted with their EMW  
13 provisions before the end of these facilities'  
14 compliance schedules, these same facilities will be  
15 required to expend in excess of \$66 million to comply  
16 with existing ammonia nitrogen requirements.

17           This is an enormous sum of money to be spent  
18 especially considering that the Agency has not found  
19 instances of ammonia degradation in the receiving  
20 waters below these facilities.

21           If this current trend continues, it is  
22 reasonable to assume that these numbers would double  
23 when the current five year NPDES cycle is complete  
24 and could reach a total of well of excess of \$132

1 million.

2           The Agency believes that this will continue  
3 for the next two to three years and will stop only  
4 after all major municipal NPDES permits in the  
5 current NPDES cycle have been renewed.

6           MS. HOWARD: We can enter this as the next  
7 exhibit. You should have copies of it.

8           This is one of them. We would like to enter  
9 it as copies. We just have one exhibit.

10          THE HEARING OFFICER: You're entering the graph  
11 of the plant size versus the cost?

12          MS. HOWARD: Right.

13          THE HEARING OFFICER: It will be Exhibit No. 40.  
14 Can we have some extra copies for the Board members?

15          MS. HOWARD: Sure. I'm sorry.

16          THE HEARING OFFICER: I would also like to note  
17 for the record that Board member, J. Theodore Meyer  
18 has joined us at the hearing.

19          MR. CUNNINGHAM: Do we have an exhibit number on  
20 this?

21          THE HEARING OFFICER: Exhibit No. 40.

22          MR. DUNHAM: Is it the Agency's position that the  
23 effluent modified waters provision and the proposed  
24 language of this rule would take care of these

1 construction costs or obviate the need for additional  
2 construction?

3 MR. STUDER: That is correct.

4 MS. HOWARD: There's one clarification I would  
5 like to make. Mr. Studer when you read seven plants  
6 at 54.062 MGD, did you intend that the total cost  
7 would be \$66,539,000?

8 MR. STUDER: That's correct.

9 MS. HOWARD: The Agency would request that the  
10 Agency's additional comments that were filed on  
11 January 26th, 1996 including Mr. Studer's revised  
12 statement be entered as an exhibit.

13 THE HEARING OFFICER: Okay.

14 MR. CUNNINGHAM: I have an objection to that.  
15 Still I think we need to identify who's testimony  
16 this actually is before we have it entered into the  
17 record as testimony. At this point it's just  
18 comments.

19 MS. HOWARD: The Agency was under the impression  
20 that when the Board met with us for the prehearing  
21 conference that we had to -- they wanted additional  
22 information, so we labeled the document additional  
23 comments.

24 Different Agency personnel were responsible

1 for researching to answer the different issues raised  
2 by the Board.

3           Do you guys want to -- I could go through  
4 each one.

5           THE HEARING OFFICER: I think it's acceptable to  
6 just enter this as an Agency comment, and then as we  
7 go through the questions, the Agency will direct it  
8 to the personnel that are most able to answer it, and  
9 then I think from there we can determine --

10          MR. CUNNINGHAM: I guess so long as it's made  
11 clear that these are just Agency comments, should not  
12 be given the same weight as sworn testimony, I don't  
13 have any problem with that.

14          THE HEARING OFFICER: Okay. We'll note that for  
15 the record. So we will enter the Agency comments.

16          MR. DUNHAM: The alternative I believe would be  
17 to -- could this be entered as a group effort and as  
18 the sworn testimony of these individuals here, was it  
19 worked on by other people?

20          MS. HOWARD: Oh, no.

21          MR. DUNHAM: This is the group that produced --

22          MS. HOWARD: This is the group that put the  
23 additional comments together.

24          MR. DUNHAM: Is there an objection to this being



1 the sworn testimony of this group?

2 MR. CUNNINGHAM: Well, I'll tell you all and all  
3 it's a little bit troublesome that this hasn't been  
4 divided out into any one's particular testimony, but  
5 I won't object to that.

6 MR. DUNHAM: I have some trouble with it myself  
7 because I don't know whose comments I was reading,  
8 but it appears to be within a narrow universe of  
9 persons.

10 THE HEARING OFFICER: I think we can note that it  
11 is an Agency's additional comment and it's not  
12 identified exactly to which members of the Agency  
13 prepared which parts of the document and leave it up  
14 to the Board to give it its proper weight, whether it  
15 needs to be considered as sworn testimony.

16 So we can enter the Agency's additional  
17 comments as Exhibit No. 41.

18 Does that conclude the Agency's presentation  
19 of testimony?

20 MR. MOSHER: No.

21 MS. HOWARD: I just wanted to reiterate the point  
22 that the Agency based on what was said at the  
23 prehearing conference was under the impression that  
24 the Board wanted additional comments from the Agency,

1 and that's why we did not specifically label anything  
2 testimony.

3           We had a combined effort of the four people  
4 that are sitting before the Board today, put together  
5 the information that went into the document entitled  
6 Agency Additional Comments, and it was not an intent  
7 to take away any weight from the information that's  
8 contained in the additional comments.

9           It's not the intent of the Agency, but that  
10 it was just a matter of we were under the impression  
11 it was just additional information that the Board  
12 needed from the Agency as a whole, and that's why the  
13 four people that are here are the ones that put those  
14 comments together.

15           I just wanted to make sure that that was  
16 clear. That's the end of our comments.

17       THE HEARING OFFICER: We can move on to the  
18 questions that were prefiled in this matter to the  
19 Agency.

20           I would like to start with the questions  
21 from the Sierra Club. Mary Ross, I would like you to  
22 identify yourself for the record and then just ask  
23 the questions.

24       MS. ROSS: Mary ross with the Illinois Chapter of

1 the Sierra Club. Should I read them into the  
2 record?

3 THE HEARING OFFICER: Yes, please.

4 MS. ROSS: Our first question is that the IEPA  
5 repeatedly asserts that ammonia discharge has not  
6 resulted in changes in aquatic ecosystems systems in  
7 Illinois.

8 Based on the evidence presented in the  
9 following studies to which -- to the questions we  
10 attached copies of summaries or abstract, how can the  
11 IEPA claim ammonia has not adversely affected the  
12 aquatic life in the Illinois waterways.

13 I'll just summarize for the record. We  
14 included a summary of the Illinois River Fingernail  
15 Clam Toxicity Study, a study by Neiderlehner and  
16 Cairns regarding a study on periphyton communities  
17 in ammonia concentrations, and a study about adverse  
18 effects of ammonia of several species.

19 MR. MOSHER: Our answer to the first part of  
20 Mary's Question No. 1, the statement attributed to  
21 the Agency requires a bit of clarification.

22 We have stated that discharges meeting  
23 monthly average permit limits of 1.5 and 4.0  
24 milligram per liter total ammonia nitrogen and

1 discharging into the small to medium size streams  
2 that are feasible to routinely study have caused no  
3 impacts to the stream biota that we are aware of.

4           This is not to say that ammonia discharges  
5 of the past have not changed ecosystems in Illinois,  
6 nor is it correct to say that no existing discharges  
7 have impacted ecosystems.

8           Our point is that dischargers displaying a  
9 certain amount of ammonia removal ability do not seem  
10 to be causing an impact.

11           Our answer to subpart A of your question,  
12 the Agency is aware of the condition of fingernail  
13 clam and other populations on the upper Illinois  
14 River.

15           We believe the causes of this adverse impact  
16 are complex and involve the entire history of  
17 discharges to this river system dating back over 100  
18 years.

19           Present ammonia discharges cannot be  
20 considered to prevent the recovery of this resource,  
21 and the discovery of recolonization sites by  
22 fingernail clams speaks to the overall improvements  
23 in ammonia removal at the major discharges just --  
24 dischargers to the river and other pollution control

1 now employed.

2           Our answer to B of question No. 1, the  
3 effects of ammonia on periphyton have not been  
4 included in the Agency's water quality derivation  
5 process.

6           The diverse group of species considered to  
7 constitute periphyton is unlike the other species  
8 used in our derivation as well as that of USEPA.

9           Periphyton are very small organisms and the  
10 test procedures used are out of the ordinary.

11           Many separate species of plants and animals  
12 are included in the term periphyton.

13           We concede that reported effects may be  
14 significant, but not enough is known about how this  
15 type of data should be interpreted for the Agency to  
16 change its recommendation for ammonia standards.

17           My answer to C, the paper you cite on the  
18 effects of ammonia to fish and invertebrates and  
19 outdoor experimental streams was known to us as we  
20 prepared our ammonia water quality standard  
21 derivation.

22           This study is variable because it confirms  
23 results obtained under more controlled conditions in  
24 the laboratory, that is the toxicity data used to

1 calculate the standards the Agency has proposed.

2           It is true that sometimes an experiment will  
3 show that a given species expresses adverse effects  
4 at concentrations at the same concentration or even  
5 lower than a standard.

6           The process of taking geometric means of the  
7 available data for a species implies that the lower  
8 concentration as well as the higher concentration  
9 adverse effects responses of a species will get  
10 average doubt.

11           A certain amount of variability is to be  
12 expected in these types of studies, and the  
13 derivation process factors this into the final  
14 standard.

15           The Agency regards the findings of the  
16 Hurmatic and others study as confirming the  
17 credibility of the standards we have proposed.

18           They are protective of aquatic life in  
19 Illinois without being overly protective.

20       MS. ROSS: Can I ask a follow-up question? You  
21 mentioned a 1.5 and four --

22       THE HEARING OFFICER: I think we're having  
23 trouble hearing you.

24       MS. ROSS: You refer to 1.5 before effluent

1 standards, isn't that the current effluent standard  
2 in the existing rules?

3 MR. MOSHER: No. There was an expired effluent  
4 standard that allowed the 4.0 in the winter, that  
5 expired five years ago.

6 The 1.5 part of that was in the existing  
7 water quality standard for ammonia as what we refer  
8 to as the floor.

9 It never got more stringent than that.  
10 Those just so happen to be the numbers we are  
11 proposing that facilities qualifying for effluent  
12 modified waters must meet as permit limits.

13 MS. ROSS: A quick question, why monthly, why a  
14 monthly average?

15 MR. STUDER: The 4.0 milligram per liter was  
16 contained in 35 Illinois Administrative Code 304.301,  
17 that section expired on July 1st of 1991.

18 As Board regulations are prescribed as  
19 monthly averages, that is the process on which it was  
20 used.

21 MS. ROSS: A question about the periphyton  
22 related species. Because you don't know all species,  
23 and little critters are probably very important to  
24 the ecosystem, wouldn't it be important to use the

1 most conservative standard since it is possible and,  
2 in fact, you know, it appears likely that adverse  
3 effects on the ecosystem occur at concentrations  
4 lower than what may affect some fish in bigger  
5 species?

6 MR. MOSHER: Well, I did state that it's data  
7 that we ought to pay attention to, but our problem  
8 with it was that all the other toxicity tests that we  
9 used to come up with this standard were of a very set  
10 pattern done under certain procedures, certain  
11 methodologies, and the periphyton test just wasn't  
12 anything like those, so we don't know how comparable  
13 it is.

14 We don't believe it can just be -- that data  
15 for the periphyton can just be inserted with all the  
16 rest of the data.

17 And for us to react to it like it was done  
18 under those same methodologies, it's a problem.

19 This is something relatively new on the  
20 scene, periphyton type studies. USEPA didn't have to  
21 deal with it. We don't have guidance from them on  
22 how we should deal with it.

23 It's just something that doesn't seem to fit  
24 in what we derived.



1 MS. ROSS: But in health based studies, it's  
2 common to use a margin of safety factor like a ten or  
3 something like that to accommodate effects that  
4 aren't necessarily -- effects on very susceptible  
5 species.

6 Your procedure takes the most sensitive  
7 species, but because you're not necessarily  
8 considering everything, wouldn't it be advisable to  
9 take -- to add some sort of margin of safety and use  
10 the lowest possible standard?

11 MR. MOSHER: I believe there already is a margin  
12 of safety in what we have derived.

13 The guidelines for deriving water quality  
14 criteria for protecting aquatic life never -- USEPA  
15 plainly states in their guidance document that it's  
16 not a method that seeks to protect absolutely every  
17 species, and that's the basis on how they do it.

18 So all I can say is that safety factors get  
19 added on in other ways, and we feel that we're  
20 protecting all the aquatic life that is found in  
21 general use waters of Illinois by what we proposed.

22 MS. ROSS: One final question about the 1.4 and  
23 4.0, just a question, would it be possible for  
24 facilities to meet a less than monthly standard like

1 a daily standard or weekly average?

2 MR. MOSHER: Well, there will be a daily maximum  
3 limit in those permits that will be set equal to the  
4 proposed acute standards, so to protect toxicity that  
5 might occur within hours or a few days, we're saying  
6 that none of these facilities on the small streams  
7 could ever exceed that acute standard.

8 That's one of the conditions for effluent  
9 modified waters.

10 MR. ETTINGER: I'm also with the Sierra Club.  
11 I'm Albert Ettinger.

12 THE HEARING OFFICER: Spell your name for the  
13 record.

14 MR. ETTINGER: E-t-t-i-n-g-e-r.

15 What would be the daily maximum be if you  
16 had a 1.5 monthly average?

17 MR. MOSHER: The daily maximum would be  
18 contingent upon the pH and temperature values that we  
19 find in the receiving stream.

20 Currently we use 75th percentile of those  
21 values from a long term data base.

22 The range in terms of total ammonia, I can  
23 give you kind of an estimate, that those daily  
24 maximums would be somewhere around three parts per

1 million total ammonia on up to seven or eight parts,  
2 and that strictly, you know, depends on what pH and  
3 temperature we use for the specific discharge.

4 MR. ETTINGER: So a 1.5 monthly average would get  
5 you a three to five daily max probably.

6 MR. MOSHER: Three to eight I think I said,  
7 something like that.

8 MR. ETTINGER: Thank you.

9 DR. FLEMAL: To follow up on the studies that  
10 have been provided to us, my understanding of the  
11 natural history surveys of the Illinois River study  
12 was that the high ammonia concentrations were largely  
13 port water concentrations.

14 Do you make anything of the fact that it was  
15 port water concentrations were the toxic parts as  
16 opposed to water column concentrations?

17 MR. MOSHER: Yes. That's why I -- my answer  
18 involved the past hundred years of history and the  
19 fact that some of the sediments in our rivers,  
20 especially the upper Illinois River are and do have a  
21 high ammonia concentration.

22 And I don't know that anyone really knows  
23 exactly where it came from. But one theory is that  
24 the past sins of dischargers through the years has

1 caused that accumulation.

2           And what we are -- our point that we wanted  
3 to make that was present levels of ammonia in  
4 wastewater effluence can't account for the toxicity  
5 that they're seeing in these fingernail clams, so it  
6 must be we think something in the sediment.

7           DR. FLEMAL: Do we encounter sediment conditions  
8 with that high level of ammonia toxicity anywhere  
9 else on the Illinois River, or is it peculiar to  
10 there?

11          MR. MOSHER: The fingernail clams really are a  
12 very common species, and I don't know anywhere  
13 elsewhere where they've been depleted on the large  
14 scale that they have been in the Illinois river.

15                So if we use the presence of fingernail  
16 clams as our guide, I don't personally know of any  
17 other problem areas with this type of toxicity.

18          THE HEARING OFFICER: You have to identify  
19 yourself.

20          MR. LEJA: I'm also with the Sierra Club, my name  
21 is Bill Leja.

22          THE HEARING OFFICER: Could you just spell your  
23 name for the record?

24          MR. LEJA: L-e-j-a. Fingernail clam

1 disappearances have been reported in many large  
2 rivers, the upper Mississippi River and I believe the  
3 river downstream of Des Moines, Iowa and probably  
4 others, so it's not a phenomenon limited to the  
5 Illinois River.

6 THE HEARING OFFICER: Did you have one more  
7 question for the Agency?

8 MS. ROSS: The second question is: Why are the  
9 existing Board procedures that allow dischargers to  
10 request relief from a regulatory requirement so  
11 inadequate that an effluent modified water  
12 concentration must be created?

13 MR. MOSHER: Hundreds of treatment facilities  
14 exist in Illinois that discharge to small streams and  
15 are designed according to what most would regard as  
16 the best treatment technology available for ammonia  
17 removal.

18 Nonetheless, very few of these plants can  
19 meet the proposed chronic standards at all times.

20 Forcing each of these communities and  
21 industries to follow the Board's existing procedures  
22 to obtain adjusted standards for their particular  
23 needs would be extremely expensive and would provide  
24 no benefit to the environment.

1           The Agency believes that the effluent limits  
2 proposed that would in part allow the effluent  
3 modified water designation should be attained by all  
4 plants discharging under conditions of limited  
5 delusion and should be universally applied to these  
6 facilities.

7           Adherence to the effluent limits dictated by  
8 our proposal will ensure that receiving streams will  
9 support an unimpacted community of aquatic life with  
10 regard to ammonia.

11           The Agency sees the effluent modified water  
12 imperative as the only viable way that it can  
13 recognize the limits of the best reasonably available  
14 ammonia removal technology and keep its resources  
15 free to deal with other regulatory matters.

16           There is, of course, nothing inadequate  
17 about the way the Board adopts adjusted standards,  
18 however, we see no point in repeating an identical  
19 process hundreds of times.

20           Under our proposal, once a discharger has  
21 accepted permit limits reflective of the minimum  
22 requirements of treatment and no evidence exists that  
23 the receiving stream is impacted by ammonia, the  
24 Agency will be able to administer the relief needed

1 from the water quality standard.

2 THE HEARING OFFICER: Did you have any follow-up  
3 questions to that?

4 MS. ROSS: Sorry. How does the effluent modified  
5 waters classification relate to the non-degradation  
6 requirements of the Clean Water Act and the Illinois  
7 Environmental Protection Act?

8 MR. MOSHER: We're not allowing any additional  
9 ammonia loading by designating a stream effluent  
10 modified water and giving these dischargers 1.5 and 4  
11 limits.

12 So I see no cause to invoke the  
13 non-degradation rule in those cases.

14 MS. ROSS: But as sewage treatment plants grow,  
15 are you saying that their ammonia discharge would be  
16 frozen at a certain limit?

17 MR. MOSHER: If they grow, then they are subject  
18 to the non-degradation rule because additional  
19 ammonia loading may result from that growth.

20 MS. ROSS: And you're saying that granting  
21 effluent modified through your administrative  
22 procedures would not cause increased ammonia  
23 discharge to the rivers?

24 MR. MOSHER: Not at this point in time. If we

1 take all these several hundred dischargers and renew  
2 their permits for the same design average flow that  
3 they now have, that doesn't represent an increase in  
4 loading of ammonia. So granting them effluent  
5 modified waters is not in violation of  
6 non-degradation.

7           If they later on come and say we're growing,  
8 we need more design treatment, have to build  
9 something, then we would put that facility through  
10 the non-degradation review that we currently use.

11       MS. ROSS: What is the current non-degradation  
12 review?

13       MR. MOSHER: The Board has a regulation at  
14 302.105, I believe, that says that the -- essentially  
15 I guess I can paraphrase it, that water shall not be  
16 reduced in their quality by any increase and loading  
17 of pollutants.

18           And to implement that rule, the Agency has a  
19 procedure where when any permittee comes to us and  
20 says we need to expand our plant or we want to build  
21 a new plant for any kind of facility, we look at that  
22 as a potential to violate the non-degradation rule  
23 because more of some pollutant might be added to a  
24 receiving water.



1           We use our biological streams classification  
2 system to look at the present biological quality of  
3 the stream, and where there is an existing very high  
4 quality that we feel might be impacted by an  
5 increased loading, that sends this given discharger's  
6 request into a more complicated study where we want  
7 to answer the question is what you're planning to  
8 increase, does that have any potential to violate the  
9 Board's rule cause degradation to your receiving  
10 water.

11           So if it's a stream in Illinois that doesn't  
12 have this really high level of quality, it's then  
13 easier for us to make the decision that that won't be  
14 further degraded by the new discharge.

15           And as waters get more and more high  
16 quality, the decision becomes more involved and more  
17 data is needed possibly.

18       MS. ROSS:   Okay.   Thanks.

19       THE HEARING OFFICER:   The next set of prefiled  
20 questions that we have are from the Illinois  
21 Association of Wastewater Agencies.

22       MR. DAUGHERTY:   Good morning.   My name is Jim  
23 Daugherty, representing the Illinois Association of  
24 Wastewater Agencies.

1           My questions for the Agency on pages 17  
2 through 21 of the Agency's additional comments, you  
3 presented a recalculation of proposed ammonia  
4 nitrogen water quality standards including additional  
5 toxicity study completed since the original  
6 derivation.

7           And the concluding paragraph of the original  
8 testimony in this proceeding, the Illinois  
9 Association of Wastewater Agency stated that: "It  
10 encourages the adoption of regulations which are  
11 based on scientific understanding."

12           Which standards, the original or the  
13 recalculated best reflect a rigorous scientific  
14 analysis of all the current data on toxicity of  
15 ammonia nitrogen?

16       MR. MOSHER: The recalculated standards reflect  
17 the latest toxicity data and, therefore, better  
18 represent water quality standards based on the  
19 toxicity of ammonia nitrogen.

20       MR. DAUGHERTY: Would you urge that the Board  
21 adopt revised calculated numbers?

22       MR. MOSHER: Yes. Let me read a statement. The  
23 Agency provide USEPA with copies of the papers from  
24 which the new data on ammonia toxicity was obtained.

1           Their approval of the resulting updated  
2 acute and chronic ammonia standards is expressed in a  
3 letter which we now provide for the R94-1 record.

4           MS. HOWARD: Here's the original and some extra  
5 copies that were sent over with it.

6           THE HEARING OFFICER: Question make some copies  
7 later.

8           We'll enter this as Exhibit 42. It's a  
9 letter from the USEPA to Joe Cross of the Illinois  
10 Environmental Protection Agency.

11           It's dated February 21st, 1996, and it's  
12 Exhibit No. 42.

13           MR. DAUGHERTY: It might be beneficial for you to  
14 read it so everyone understands what the letter  
15 says.

16           MR. MOSHER: Dear Mr. Cross, Region 5 received  
17 the Illinois Environmental Protection Agency's  
18 additional comments on the R94-1(B) rulemaking as  
19 submitted to the Illinois Pollution Control Board and  
20 dated January 26, 1996.

21           We also received the comments of the  
22 Illinois Association of Wastewater Agency's (IAWA)  
23 dated January 25, 1996.

24           As requested, these documents were reviews

1 reviewed for consistency with the Clean Water Act  
2 (CWA) and Federal regulations.

3           In particular, the section pertaining to the  
4 Agency's review of the current scientific information  
5 on ammonia toxicity and the subsequent revision of  
6 the criteria and the IAWA's proposed recording of  
7 Sections 302.213 and 304.122 are consistent with the  
8 CWA and Federal regulations.

9           If you have questions regarding this matter,  
10 please do not hesitate to contact Edward Hammer of my  
11 staff at (312) 886-3019.

12           Sincerely yours, Joan Karnauskas, chief  
13 standards and applied sciences branch.

14           And that letter is dated February 21st,  
15 1996.

16       MR. DAUGHERTY: Thank you. My next question  
17 relates to the proposed rewording by the Illinois  
18 Association of Wastewater Agency.

19           Does the Agency oppose the opposed rewording  
20 proposed by the Illinois Association of Wastewater  
21 Agencies for Sections 302.213 and Section 304.12(D)?

22       MR. MOSHER: I'll read a statement I hope answers  
23 that.

24           Additionally, the Agency solicited USEPA's

1 concurrence regarding the proposed changes to 35  
2 Illinois Administrative Code 304.122 as introduced  
3 into the record by the IAWA and since augmented by  
4 the Agency.

5 IAWA and the Agency are in agreement with  
6 the Agency's modification of IAWA's changes, and  
7 USEPA as I just read also agrees that these changes  
8 are appropriate.

9 A copy of the newly modified language of  
10 this section is provided. And again, I just read the  
11 USEPA concurrence letter.

12 MS. HOWARD: I think you should also have copies  
13 in the packet that I gave you.

14 MR. DAUGHERTY: Okay. No further questions.  
15 Thank you.

16 THE HEARING OFFICER: We need to enter this as an  
17 exhibit, the proposed IAWA modifications should be  
18 entered as Exhibit 43.

19 MS. ROSS: Madam Hearing Officer, can we follow  
20 up on that?

21 What is the existing proposal now then? Is  
22 it what's submitted in your amended testimony?

23 MR. MOSHER: They're passing out copies. There  
24 is a few words changed in parts -- in part 304.122.

1 THE HEARING OFFICER: I would like to note for  
2 the record that Board Member Marili McFawn has joined  
3 our hearing.

4 Are we ready to move on to the next set of  
5 questions? The next set of prefiled questions for  
6 the Agency were from the Ammonia Group, Mr. Lee  
7 Cunningham.

8 MR. CUNNINGHAM: Yes.

9 THE HEARING OFFICER: Do you want to ask the  
10 questions from there or do you want to come up to the  
11 table?

12 MR. CUNNINGHAM: Actually I would be happy to  
13 come up to the table.

14 It would be nice to be able to spread out a  
15 little bit.

16 MR. CUNNINGHAM: Could Mr. Huff come up as well?

17 THE HEARING OFFICER: Sure.

18 MR. CUNNINGHAM: Question 1: On page 2 of the  
19 Agency's comments, the Agency states that "based on  
20 this letter and other indications made by USEPA  
21 personnel, the Agency believes that USEPA would  
22 implement the ammonia nitrogen standards found," in  
23 the NCD if the Agency's proposal is not adopted.

24 (A) Could the Agency specify what these

1 other indications are?

2 MR. CROSS: During the development of the  
3 proposed ammonia nitrogen standards, the Agency spent  
4 several months in negotiations with USEPA seeking  
5 their approval.

6 The phrase "other indications" used in  
7 page 2 of the Agency's comments refers specifically  
8 to the discussions during these negotiations between  
9 USEPA and the Agency.

10 MR. CUNNINGHAM: (B) Why must the Agency's  
11 proposal in particular be adopted?

12 MR. CROSS: The Agency's proposal is the only  
13 proposal before the Illinois Pollution Control Board  
14 that has been approved by the USEPA.

15 MR. CUNNINGHAM: But that does not mean that  
16 there are not other proposed -- let's make this more  
17 positive.

18 Is it possible that there are alternative  
19 proposals that would be acceptable by USEPA?

20 MR. CROSS: I am stating that the proposals that  
21 are before the Board that have been reviewed by the  
22 USEPA, the only ones that they have reviewed and  
23 approved is the ones proposed by the Agency.

24 MR. CUNNINGHAM: I'm asking, isn't it possible

1 that there are other rules which could be adopted  
2 which would be acceptable by USEPA?

3 MS. HOWARD: I'm going to object to the  
4 question.

5 I don't know that we could answer -- I mean  
6 there's hundreds and thousands of rules that could  
7 possibly be drafted that could be posed before the  
8 Board, but whether we could say whether USEPA would  
9 be able to -- would approve them, we're not in the  
10 shoes of the USEPA.

11 MR. CUNNINGHAM: Has USEPA ever said to you that  
12 the only proposal that would be acceptable to us is  
13 the Agency's proposal?

14 MR. CROSS: No.

15 MR. CUNNINGHAM: Thank you.

16 Question 2: When was the last time the  
17 USEPA adopted a water quality standard applicable  
18 specifically to Illinois based upon the inadequacy of  
19 a Board-adopted water quality standard?

20 MR. CROSS: To the extent of my knowledge, the  
21 USEPA has not adopted a water quality standard  
22 applicable to Illinois specifically.

23 This has been due to the fact that up to  
24 this point in time, Illinois Pollution Control Board



1 proceedings have resulted in the adoption of water  
2 quality standards that have been consistent with the  
3 goals and intent of the Clean Water Act, or in other  
4 words, approval by USEPA.

5 I am aware of at least one example in Region  
6 5 where USEPA initiated promulgation of water quality  
7 regulation.

8 That involved a situation where the state  
9 did not have a designated use established for a  
10 particular river.

11 Efforts made by that state up until that  
12 point had not been successful.

13 During the process, USEPA promulgated the  
14 regulation. The state did resolve the issue to USEPA  
15 satisfaction and the Federal promulgation process was  
16 discontinued.

17 MR. CUNNINGHAM: Thank you.

18 Three: If the USEPA proposed to implement  
19 ammonia water quality standards found in the -- let's  
20 add a T in there, implement the ammonia water quality  
21 standards found in the NCD, would the Agency support  
22 that proposal or oppose it?

23 MR. CROSS: The Agency will not speculate on such  
24 a position at this time without an evaluation and

1 review of such a proposal by the USEPA.

2 MR. CUNNINGHAM: If the USEPA were to propose to  
3 adopt a rule in Illinois more stringent than the  
4 Agency is currently proposing, would the Agency  
5 propose that -- oppose that or support it?

6 MR. CROSS: Again I'm not going to speculate  
7 without a thorough evaluation of what that would mean  
8 in Illinois.

9 MR. CUNNINGHAM: Okay.

10 Four: With the significant cutbacks in  
11 USEPA funding, does the Agency anticipate a reduction  
12 in USEPA oversight and review of state NPDES permits  
13 and water quality standards?

14 MR. CROSS: The USEPA still does not have an  
15 approve budget and, therefore, it is not known at  
16 this time what cutbacks USEPA may ultimately be faced  
17 with.

18 There is, however, a reduction in oversight  
19 and review of Federal NPDES permits issue by Illinois  
20 primarily because as a delegated state, Illinois has  
21 demonstrated to USEPA that it has been effective in  
22 the administration of that Federal program.

23 Unlike the NPDES permitting activity, the  
24 development of water quality standards is not a USEPA

1 delegated program activity to states.

2           USEPA's role is to review state water  
3 quality standards, to determine if they are  
4 consistent with the goals and the intent of the Clean  
5 Water Act and are obligated to develop state water  
6 quality standards if a state fails to do so.

7           To the best of my knowledge, USEPA has no  
8 intentions of reducing oversight or review of  
9 Illinois water quality standards.

10       MR. CUNNINGHAM: Has the USEPA reduced -- well,  
11 some of this you already answered, but I'll go ahead  
12 with the question as submitted, reduced such  
13 oversight and review and does it still routinely  
14 review NPDES permits for major dischargers?

15       MR. STUDER: USEPA Region 5 has recently changed  
16 the method by which oversight of Illinois' issuance  
17 of NPDES permits is accomplished.

18           This change is reflected in the performance  
19 partnership agreement that the Agency and USEPA have  
20 now entered into.

21           Part of the philosophy reflected in that  
22 agreement is that where the state conducts rigorous  
23 self assessment of its own permitting and other day  
24 to day activities -- I'm sorry.

1           Part of the philosophy reflected in that  
2 agreement is that where the state conducts rigorous  
3 self assessment of its own environmental programs and  
4 is doing a good job of performance, USEPA concurrent  
5 review of permitting and other day to day activities  
6 can be minimized.

7           Major municipal NPDES permit renewal  
8 applications and requests for modifications are sent  
9 to the region soon after the Agency receives them.

10           For modifications, the Agency and USEPA  
11 attempts to reach agreement prior to the permit being  
12 drafted.

13           For reissued permit, the Agency sends a copy  
14 of the public notice permit to the region.

15           Currently reissued NPDES permits are not  
16 finalized until the region sends a letter which  
17 generally indicates that the region has not reviewed  
18 the permit but the Agency may finalize the renewal  
19 process consistent with Federally approved procedures  
20 and methods at state and Federal regulations.

21           However, the region may elect to review the  
22 permit as part of a post issuance audit.

23           Since October 1st, 1995, I am not aware of  
24 one major municipal reissued permit that the region

1 has reviewed prior to reissuance.

2 MR. CUNNINGHAM: Would it be possible for the  
3 Agency to submit for this record the performance  
4 partnership agreement you referred to?

5 MS. HOWARD: We could submit it later. We don't  
6 have a copy with us.

7 MR. CUNNINGHAM: Fine.

8 Six: On page 2 of the Agency's comments,  
9 the Agency states that the USEPA's position "will not  
10 be modified in light of proposed amendments to the  
11 Clean Water Act."

12 However, isn't it true that, A, those  
13 amendments would require the USEPA to update it's  
14 criteria for ammonia within one year and indicate  
15 that such review is "a high priority"?

16 MR. CROSS: If I may, could I answer subparts A,  
17 B and C collectively?

18 MR. CUNNINGHAM: Should I read them all?

19 THE HEARING OFFICER: Yes.

20 MR. CUNNINGHAM: (b): Those amendments would  
21 preclude the USEPA from establishing water quality  
22 standards where the the cost is not "reasonably  
23 related" to the anticipated benefits and would  
24 specifically authorize states to consider costs and

1 benefits when -- when setting water quality standards  
2 (see pages 111 and 112 of the report attached.)

3 (c): The intent of the proposed amendments  
4 is to ensure that "sound science," that should be  
5 sound science, not service, is used in setting  
6 standards and requirements under the Clean Water Act  
7 (see page 97 of the report attached.)

8 MR. CROSS: Yes. This is true, however, as  
9 pointed out in the letter dated December 15th, 1995  
10 from USEPA and entered as Agency Exhibit T with the  
11 Agency's additional comments, this bill was passed by  
12 the House but not the Senate.

13 USEPA anticipated that the Senate version  
14 would have major changes from the House version.

15 In addition, the President has threatened to  
16 veto the House version of the bill.

17 Based on these factors, the Agency stands by  
18 its statement made in the additional comments that  
19 USEPA's position will not be modified in light of the  
20 proposed amendments to the Clean Water Act.

21 However, considering the information  
22 contained in the portions of the report on HR 961  
23 attached to the Ammonia Group's prefiled questions,  
24 the Agency believes those portions support exactly

1 what the Agency has done in developing its ammonia  
2 nitrogen proposal that is presently before the  
3 Board.

4           As stated in the Agency's proposal package  
5 filed with the Board on February 24th, 1994, the  
6 Agency's testimony filed with the Board on October  
7 25th, 1994 and various statements made by Agency  
8 representatives throughout this proceeding, the  
9 Agency found that the ammonia values contained in the  
10 national criteria document for ammonia nitrogen to be  
11 overly protective for the native and resident species  
12 in Illinois' general use waters.

13           The Agency also took into consider  
14 consideration when developing the proposed ammonia  
15 nitrogen regulations the compliance abilities of  
16 wastewater treatment plants designed to remove  
17 ammonia from effluent using a nitrification stage of  
18 treatment.

19           The standards set forth in the Agency's  
20 proposal were based on the derivation procedures  
21 contained in the Board's regulations in 35 Illinois  
22 Administrative Code, Subpart F and utilizing up to  
23 date information.

24           Additional literature searches in the past

1 few months further updated that information which we  
2 discussed in detail in the Agency's additional  
3 comments.

4           So as to question 6(a) proposed by the  
5 Ammonia Group, the Agency has updated its criteria  
6 for ammonia within the past three months.

7           With respect to question 6(c), the Agency  
8 has already implemented this suggestion by developing  
9 these standards according to the most appropriate  
10 derivation procedures available and by protecting  
11 species that are native and resident to Illinois  
12 waters without being overly restrictive.

13           Illinois has also already implemented the  
14 suggestions of HR 961 expressed in question 6(b).

15           The Illinois General Assembly has required  
16 the Board to consider the economic reasonableness as  
17 well as the technical feasibility of any regulation  
18 proposed under Section 27 of the Environmental  
19 Protection Act.

20           The Agency has specifically provided  
21 information on the technical feasibility of this  
22 proposal throughout this proceeding over the last two  
23 years.

24           The economic reasonableness of this proposal



1 has also been continuously updated, even through  
2 today's hearing.

3           Therefore, not only does the Agency stand by  
4 its statement that USEPA's position will not be  
5 modified in light of the proposed amendments to the  
6 Clean Water Act, the Agency believes that the State  
7 of Illinois steps ahead of the suggestions  
8 highlighted in HR 961 even if the bill were to be  
9 adopted by the Senate and signed by the President  
10 unchanged.

11       MS. HOWARD: Could I interject just for point of  
12 clarification?

13           When you stated that the standards set forth  
14 in the Agency's proposal were based on the derivation  
15 procedures contained in the Board regulation, did you  
16 mean to cite 35 Illinois Administrative Code part 302  
17 subpart F?

18       MR. CROSS: That's correct.

19       MR. CUNNINGHAM: No. 7, and I'll give a little  
20 preface to this.

21           On pages two and three of the Agency  
22 comments, right at the bottom it states, the Ammonia  
23 Group's proposed amendments violated a minimum  
24 Section 303 (c)(2)(A) of the Clean Water Act, 40 CFR

1 122.41(e), 40 CFR 131.10(a) and 40 CFR 131.11(a)(1).

2           How does the Ammonia Group's proposal  
3 violate Section 303 (c)(2)(a) of the Clean Water  
4 Act?

5       MR. CROSS: Again, I will choose to answer all of  
6 those subparts collectively if I may.

7       MR. CUNNINGHAM: Okay. B, 40 CFR 122.41(e). C,  
8 40 CFR 131.10(a). And, D, 40 CFR 131.11(a)(1).

9       MR. CROSS: On page three of the Agency's  
10 additional comments, the Agency stated that: "The  
11 Ammonia Group's proposed amendments violate at a  
12 minimum Section 303(c)(2)(a) of the Clean Water Act,  
13 40 CFR 131.10(a), and 40 CFR 131.11(a)(1)."

14           This sentence should actually be amended to  
15 add 40 CFR 122.41(e).

16           This sentence was pertaining to comments  
17 made in a letter from USEPA to the Agency dated  
18 January 24th, 1995, submitted in this proceeding as  
19 Exhibit 37.

20           The first paragraph of that letter states  
21 that: "The proposed changes submitted to the Board  
22 by Mr. Lee Cunningham during the public comment  
23 period were reviewed by USEPA for consistency with  
24 the Clean Water Act (CWA) and Federal regulations."

1           The last paragraph of that letter states:  
2   "The above discussion is by no means an exhaustive  
3 recitation of our concerns, however, we tried to  
4 highlight the major concerns we have with the  
5 proposal.

6           Overall, USEPA considers Mr. Cunningham's  
7 proposed changes to be mostly speculative and without  
8 factual support and would if adopted result in  
9 disapproval of IEPA's ammonia standard."

10           The Agency interprets these statements to  
11 mean that USEPA has determined that the Ammonia Group  
12 represented by Mr. Cunningham proposed amendments to  
13 the Agency's proposal would be inconsistent with the  
14 Clean Water Act or Federal regulations.

15           In paragraph three, USEPA stated that  
16 Illinois is required under Section 303(c)(2)(a) and  
17 40 CFR 131.11(a)(1) to develop criteria using  
18 available data to protect the state's designated  
19 uses.

20           In paragraph four, USEPA stated Clean Water  
21 Act and Federal regulations at 303(c)(2)(a) and 40  
22 CFR 131.10(a) prohibit waste assimilation as a use.

23           In paragraph five, USEPA stated that both  
24 General Condition 5 of the National Pollutant

1 Discharge Elimination System permits issued in  
2 Illinois and provisions found at 40 CFR 122.41(e)  
3 require that -- require that permittee shall at all  
4 times properly operate and maintain all facilities  
5 and systems of treatment and control which are  
6 installed or used by the permittee to achieve  
7 compliance with the conditions of the permit.

8           USEPA even stated that they are -- USEPA  
9 even stated that they were "intrigued by the language  
10 of Mr. Cunningham's proposal as it requires an  
11 admission of ongoing permit violation by any  
12 permittee who chose to invoke it."

13           Each of these statements were in response to  
14 portions of the Ammonia Group's proposed amendments  
15 and in response to the Ammonia Group's criticism of  
16 the Agency's proposal.

17       MR. CUNNINGHAM: Okay. I understand that USEPA  
18 doesn't like my proposal and has said it is  
19 inconsistent with Federal Law.

20           My question was directed to what is there  
21 about our proposal that is violative of Federal Law,  
22 specifically in terms of a couple things I recall  
23 your mentioning, what does waste assimilation being  
24 prohibited as a use have to do -- how is the Ammonia

1 Group's proposal violating that?

2 MR. CROSS: And I believe in the response that I  
3 just provided, we indicated that we would amend that  
4 statement by saying that it inconsistent with those  
5 Federal acts and requirements of state.

6 MR. CUNNINGHAM: And how is it inconsistent?

7 MR. CROSS: I already contained that in my  
8 response and based on the letter from USEPA, and just  
9 went through that explanation.

10 MR. CUNNINGHAM: How does the Ammonia group's  
11 proposal result in waste assimilation as a use?

12 MS. HOWARD: I'm going to object to the  
13 question.

14 I believe what we are saying is we are  
15 citing what USEPA has stated in their letter in terms  
16 of specific sections of the Clean Water Act and the  
17 Federal regulations that they believe the proposal is  
18 inconsistent with that statement.

19 Now, exactly how they've derived at the  
20 conclusions of what they're inconsistent with I think  
21 we reviewed by stating exactly what provisions they  
22 thought were -- they were inconsistent with, and I  
23 think we've already answered the question.

24 MR. CUNNINGHAM: So, in other words, you're

1 totally relying on USEPA's stated view?

2 MS. HOWARD: We're relying on what USEPA put in  
3 their letter.

4 MR. CUNNINGHAM: And there's no independent  
5 thinking on the Agency on this issue whatsoever?

6 MS. HOWARD: We haven't made a review with  
7 that -- from that perspective, only USEPA has.

8 MR. CUNNINGHAM: Gosh, I was kind of hoping you  
9 would.

10 THE HEARING OFFICER: Move on to the next  
11 question.

12 MR. CUNNINGHAM: Yes.

13 Eight, on page 3 of its comments, the Agency  
14 states that "Illinois is the first state in Region 5  
15 to develop and prepare new ammonia nitrogen water  
16 quality standards."

17 (a), how did it come about that Illinois is  
18 the first?

19 MR. MOSHER: Indiana has already adopted the  
20 national criteria for ammonia.

21 Iowa, Missouri and Ohio have adopted ammonia  
22 standards based on the national criteria document  
23 methodology and adjusted for conditions in those  
24 states.

1 Illinois is, therefore, not the first Region  
2 5 state to review its ammonia standards in recent  
3 years, but it is the first state to develop and  
4 propose standards based on a methodology different  
5 from the national criteria document.

6 MR. CUNNINGHAM: When did these other states  
7 adopt these rules?

8 MR. MOSHER: I don't know myself.

9 MR. CARLSON: I believe for most of these it is  
10 stated in our comments as to the times.

11 MR. CUNNINGHAM: So is this just a mistake in  
12 saying what the Agency said on page three with  
13 respect to us being the first state?

14 MS. HOWARD: No. The difference is that we're  
15 the first to actually develop and proposed standards  
16 based on the methodology different from the NCD.

17 MR. CUNNINGHAM: Okay.

18 (b), and maybe you've already answered this,  
19 can you identify any states that have revised their  
20 ammonia water quality standards based on their most  
21 recent triennial review?

22 MR. MOSHER: The Agency has already given the  
23 Board the information it has with respect to other  
24 states in the Agency's additional comments, in direct

1 response to the question by the Board requesting  
2 information about other states in Region 5 and the  
3 remaining border states.

4 MR. CUNNINGHAM: (c), if so, what standards were  
5 adopted by those states?

6 MR. MOSHER: My answer would be the same again.

7 MR. CUNNINGHAM: Okay. Do you know what  
8 standards Indiana has adopted?

9 MR. MOSHER: They took a very exact rendition of  
10 the national criteria document recommended criteria.

11 MR. CUNNINGHAM: What criteria are those, what  
12 chronic standards?

13 MR. MOSHER: It's in the form of a formula. It's  
14 based on pH and temperature input, and --

15 MS. HOWARD: The Agency has submitted the  
16 national criteria document as an exhibit, and it was  
17 with our proposal package that we filed.

18 MR. CUNNINGHAM: And did they just adopt the  
19 whole thing?

20 MR. MOSHER: That's my understanding.

21 MR. CUNNINGHAM: Do they have a rule that says  
22 the NCD is a rule?

23 Isn't it possible to go through the NCD and  
24 come up with a number of different ways of



1 calculating limits?

2 MR. MOSHER: It's my understanding they took the  
3 formula provided in the national criteria document.

4 Once you have that as your standard, your  
5 options are very limited. That's it.

6 MR. CUNNINGHAM: I think I'm missing something  
7 here.

8 There are not -- standards have to somehow  
9 be calculated from the national criteria document,  
10 correct?

11 MR. MOSHER: Right.

12 MR. CUNNINGHAM: How did they go about  
13 calculating those standards?

14 MR. MOSHER: The document gives a formula. You  
15 plug in your pH and temperature from your site and  
16 outcomes an un-ionized ammonia concentration, that's  
17 the standard.

18 MR. CUNNINGHAM: It's solely pH and temperature?

19 MR. MOSHER: Yeah. We --

20 MS. HOWARD: We're going to have to defer to the  
21 national criteria document that we entered.

22 MR. CUNNINGHAM: Okay.

23 MS. MC FAWN: Is the Indiana rule on record?

24 MS. HOWARD: In the record?

1 MS. MC FAWN: Yes.

2 MS. HOWARD: No. We haven't submitted that.

3 MR. CUNNINGHAM: Question 9: What, if anything,  
4 is the USEPA doing to require any of the states  
5 surveyed by the Agency to change their ammonia  
6 standards.

7 MR. MOSHER: It is our understanding that an  
8 ammonia standards review will be required of all  
9 Region 5 states.

10 Indiana, Ohio, IAWA and Missouri have  
11 apparently completed this task, and we believe that  
12 Wisconsin is currently undergoing a review of their  
13 ammonia standards.

14 MR. CUNNINGHAM: You said certain states have  
15 completed that review?

16 MR. MOSHER: Well, again, that would be a good  
17 question for USEPA.

18 It's our understanding from talking to the  
19 states, seeing what they have, that it looks like  
20 they already have, yes, those certain states I  
21 mentioned.

22 MR. CUNNINGHAM: Do you know what the results of  
23 that review were -- those reviews?

24 MR. MOSHER: We provided the information we had

1 to the Board.

2 MR. CUNNINGHAM: So you have nothing beyond what  
3 you've already provided?

4 MR. MOSHER: No.

5 MR. CUNNINGHAM: Is that same answer true for 10,  
6 which, if any, of those states have pending  
7 rulemakings to change their ammonia water quality  
8 standards?

9 MR. MOSHER: Same answer.

10 MR. CUNNINGHAM: Eleven, how many times has the  
11 USEPA taken over an NPDES permit issued by the Agency  
12 because state action was unacceptable?

13 MR. STUDER: The Agency turns NPDES permits over  
14 to USEPA when the region objects to a proposed NPDES  
15 permit and the Agency, the discharger, and USEPA have  
16 failed to agree on how to resolve the objection.

17 The process starts when the Agency sends  
18 USEPA proposed NPDES permit, a permit which has gone  
19 through the public notice process and the Agency  
20 considers acceptable.

21 In accordance with Federal regulations,  
22 USEPA must either accept the proposed permit or issue  
23 a letter stating specific objections to the proposed  
24 permit within ninety days of its receipt.

1           If an objection letter is sent and the  
2 Agency and USEPA cannot find a solution, typically  
3 USEPA's first step is to threaten to hold a hearing  
4 on the proposed permit.

5           Although USEPA has threatened to hold a  
6 hearing, to my knowledge no hearings have ever taken  
7 place.

8           Generally that permit application process  
9 then remains on hold until USEPA asks the Agency to  
10 resolve the issue.

11           The most recent example of this is the  
12 attempted reissuance of the Metropolitan Water  
13 Reclamation District of Greater Chicago's Stickney  
14 plant's permit.

15       MR. CUNNINGHAM: Has USEPA adopted Federal  
16 ammonia standards in lieu of the state's standards in  
17 any of the states surveyed by the Agency? And if  
18 not, why not?

19       MR. MOSHER: Is that question 12?

20       MR. CUNNINGHAM: Yes.

21       MR. MOSHER: My answer would be the same as it  
22 was for question 10.

23       MR. CUNNINGHAM: Which is you have nothing to  
24 add.

1 MR. MOSHER: We provided the Board with the  
2 information we had.

3 MR. CUNNINGHAM: And does that information  
4 indicate that this has ever happened?

5 MS. HOWARD: It depends on which state you're  
6 talking about.

7 MR. CUNNINGHAM: Any of them.

8 MS. HOWARD: We submitted specific comments about  
9 what we knew about each individual state, and it's  
10 contained within our additional comments, the states  
11 that surround Illinois or are Region 5.

12 THE HEARING OFFICER: So the question has already  
13 been answered.

14 MR. CUNNINGHAM: Okay.

15 Thirteen, in monitoring stream temperature  
16 and pH for determining the 75th percentile values for  
17 the Agency's mass balance calculation procedure, what  
18 is the minimum number of samples and minimum  
19 monitoring duration acceptable to the Agency for the  
20 calculation of water qualify based effluent limits  
21 and how has this policy changed over the past five  
22 years?

23 MR. MOSHER: The Agency uses the most recent ten  
24 years of pH and temperature data available when

1 utilizing a downstream ambient water quality  
2 monitoring network sampling station as the source of  
3 this data.

4           This generally means that 90 individual  
5 samples are included.

6           Due to the uncertainties of weather patterns  
7 from one year to the next, review of data collected  
8 only over a one year period could yield misleading  
9 conclusions no matter how many samples were taken  
10 over that period.

11           On an ideal basis, three years of data  
12 collected once per week is probably adequate under  
13 most circumstances.

14           For streams that receive little flow, other  
15 than that from a single discharger, less data could  
16 be acceptable provided that several years are  
17 represented.

18           Over the last five years, the Agency has  
19 required monitoring periods of at least a year and on  
20 upwards.

21       MR. CUNNINGHAM: So are you saying that if  
22 someone wants to develop site specific pH and  
23 temperature data to support an effluent limit other  
24 than what would -- the Agency would base upon its

1 nearest monitoring station or whatever, that that  
2 process would take at least three years?

3 MR. MOSHER: In some situations, I think three  
4 years would be a good idea.

5 In others it could be less, but probably no  
6 fewer than two years.

7 MR. CUNNINGHAM: What types of situations would  
8 you look for -- what would make you want to look more  
9 or less?

10 MR. MOSHER: As I said, if it's a small receiving  
11 stream and there's only one discharger, the two years  
12 is probably adequate.

13 Other situations, I think three years would  
14 be good.

15 MR. CUNNINGHAM: Fourteen, in selecting a  
16 location to use for measuring stream temperature and  
17 pH, what criteria does the Agency use?

18 And I'll just read through all these. (a)  
19 Can this location be within the mixing zone? (b) Can  
20 this location be within the ZID? (c) Can the  
21 effluent temperature and pH ever be used? (d) Where  
22 are the monitoring locations for the FMWRD, Dixon,  
23 Springfield and Rock Falls located in relation to the  
24 outfall structures, the mixing zone and the ZID?

1 MR. MOSHER: There is presently no set formula  
2 for determining where the ideal location for sampling  
3 should be.

4 Where the Agency has suggested a particular  
5 location, several site-specific factors were relied  
6 upon.

7 These include the volume of flow of the  
8 discharge in relation to the size and volume of flow  
9 of the receiving stream and the efficiency of mixing  
10 known or thought to be present.

11 The goal in this endeavor is to identify the  
12 most critical area for ammonia concentration, pH and  
13 temperature to occur.

14 Protection of aquatic life is the reason for  
15 ammonia standards, and this must remain the guiding  
16 factor. It may be possible to standardize the  
17 selection process, and this, of course, is an issue  
18 that may be addressed in an Agency rules document.

19 Answer to subquestion (a): The ideal  
20 location for measuring pH and temperature in a  
21 receiving stream could exist in the far field portion  
22 of a mixing zone.

23 (b) Given the limited size, portion to ZIDs,  
24 that's zone of initial delusion, the ideal monitoring



1 area would never occur in a ZID.

2           This statement is based on the present  
3 implementation procedure, that is using a 75th  
4 percentile pH and temperature to set permit limits.

5           (c) Effluent pH and temperature would not  
6 likely be similar to that which would occur under  
7 conditions of effluent acclimation and/or mixing with  
8 the receiving stream so, therefore, effluent values  
9 would never be used to establish permit limits.

10           (d) all of the monitoring areas the Agency  
11 identified in the respective receiving streams for  
12 these facilities are located downstream of the  
13 effluent outfalls.

14           None are in an area that could ever be  
15 located within a ZID should ZIDs ever be granted to  
16 these dischargers.

17           To the Agency's knowledge, only one of these  
18 dischargers, FMWRD has ever delineated the mixing  
19 zone for their effluent.

20           Permits now in effect for Springfield  
21 Sanitary Discharge, Spring Creek and FMWRD recognize  
22 a mixing zone for ammonia under existing standards.

23           I believe that the sampling locations are  
24 either at the edge of the mixing zone or in an area

1 that would be outside the mixing zone.

2 MR. CUNNINGHAM: What about Rock Falls?

3 MR. MOSHER: My last sentence included Rock  
4 Falls, included all the ones you mentioned in that  
5 question.

6 MR. CUNNINGHAM: Okay.

7 Fifteen, isn't it true that the chronic  
8 standards adopted by other states are generally  
9 established at the hundredth's place rather than the  
10 thousandth's place as proposed by the Agency?

11 MR. MOSHER: It is very common for water quality  
12 standards to be expressed to the nearest whole part  
13 per billion.

14 Several metals currently are expressed to  
15 this level in the Board's regulations, and the  
16 proposed mercury standard is expressed as parts per  
17 trillion.

18 Many other states have these identical  
19 standards. States which are operating under the  
20 national criteria document for ammonia values used as  
21 standards -- excuse me. Let me reread my last  
22 sentence.

23 States which are operating under the  
24 national criteria document values as standards for

1 ammonia are using, we presume, the tables of ammonia  
2 values provided by that document.

3           Tenths of parts per billion or the ten  
4 thousandths place in terms of parts per million are  
5 given.

6           There is certainly nothing unusual about the  
7 way in which the proposed ammonia standards for  
8 Illinois are expressed in our proposal.

9           MR. CUNNINGHAM: I guess I should have pointed  
10 out that I was talking about ammonia chronic  
11 standards here.

12           Isn't it true that the ammonia chronic  
13 standards adopted by the other states are generally  
14 established at the hundredth place rather than the  
15 thousandth's place as proposed by the Agency?

16           MR. MOSHER: Again, if you're using the national  
17 criteria document, criteria for ammonia as Indiana  
18 uses, they take it out to the ten thousandth's place.

19           MR. CUNNINGHAM: But that's one of the all the  
20 states you surveyed, correct?

21           MR. MOSHER: Correct.

22           MR. CUNNINGHAM: So isn't it true that generally  
23 the states that you surveyed have their standards in  
24 the hundredth's place?

1 MR. MOSHER: It's also true most of those states  
2 haven't reviewed their ammonia standards in recent  
3 years.

4 MR. CUNNINGHAM: But it is true that most of them  
5 are in the hundredth place?

6 MR. STUDER: When a formula is given in a  
7 standard, Lee, I don't think we can answer that.

8 It's a formula that's a standard for those  
9 that have -- for example, Iowa, Missouri and Ohio  
10 have developed a formula based on the national  
11 criteria document.

12 MR. CUNNINGHAM: Okay. We'll move on.

13 Sixteen, various states surveyed by the  
14 Agency use default temperature and pH values when  
15 sight specific data are not available for determining  
16 water qualify based effluent limits.

17 (a) how does the default values compare to  
18 the values the Agency utilizes for dischargers to the  
19 Rock and Fox Rivers?

20 (b) On a 7Q10 low flow stream of zero, what  
21 do these default temperature and pH values transfer  
22 into for effluent total ammonia limits under the  
23 Agency's proposal?

24 (c) when downstream pH and temperature are

1 used in other states in lieu of default values, are  
2 75th percentile values used for calculating effluence  
3 or are some other values used?

4 MR. VANCE: For part (a), the values of 7.8 used  
5 in Indiana and 7.2 used in Kentucky when  
6 site-specific data are not available are typically  
7 much less than the 75th percentile pH values when  
8 computing effluent limits for discharges to the Rock  
9 and Fox Rivers.

10 These values may represent typical pH values  
11 found in those states but definitely do not typify  
12 those in Illinois.

13 Part (b), using a pH of 7.8, temperature of  
14 25 degrees C would result in a thirty day average  
15 limit of 1.4, and a daily max of 8.2.

16 Using the same pH of 7.8, and 10 degree C  
17 would result in 1.6 thirty day average and 9.0 daily  
18 max.

19 Using a pH of 7.2 with 25 degrees C, a  
20 thirty day average of 5.3, a daily max of 31.8.

21 And using the same pH of 7.2 with 10 degrees  
22 C result in 6.4 thirty day average and 35.4 daily  
23 max.

24 Those are in milligrams per liter, those

1 concentrations.

2 MR. CUNNINGHAM: Thank you. And (c)?

3 MR. VANCE: (c) it is my understanding the states  
4 contacted use a 75th percentile with the exception of  
5 Michigan and Wisconsin.

6 And I would like to make a statement. The  
7 Agency contacted the Region 5 states along with the  
8 other states bordering Illinois to obtain information  
9 concerning the ammonia standards currently adopted by  
10 each of these states.

11 The Agency will attempt to clarify portions  
12 of our testimony, however, the Agency cannot  
13 elaborate on many of the details given.

14 This information was gathered in November  
15 and December of 1995 in response to the Board's  
16 request to provide information concerning the status  
17 of the remaining Region 5 states with regards to the  
18 current ammonia standards that each state has  
19 adopted.

20 MR. CUNNINGHAM: From your survey of the other  
21 states, do you know what portion of the stream volume  
22 these states used to determine their effluent  
23 limits?

24 MR. VANCE: I don't believe I could state that.

1 MR. CUNNINGHAM: Okay.

2 Seventeen, Ohio uses a term "limited aquatic  
3 research."

4 (a) What does this term mean?

5 (b) How many stream miles are so  
6 designated?

7 (c) Is this similar to 7Q10 low flows of  
8 zero?

9 (d) Is this similar to EMW?

10 (e) What ammonia effluent limits are applied  
11 to dischargers to limited aquatic resources?

12 MR. VANCE: Part (a), limited aquatic resource  
13 should be replaced by limited -- "limited resource  
14 water" in the Agency's testimony.

15 Limited resource water is one of the six  
16 aquatic life designations used in Ohio.

17 These waters -- these are waters that have  
18 been found -- that have been the subject of a use  
19 attainability analysis and have been found to lack  
20 the potential for any resemblance of any other  
21 aquatic life habitat as determined by certain  
22 biological criteria.

23 The use attainability analysis must  
24 demonstrate that the extent extant fauna is

1 substantially degraded and that potential for  
2 recovery of the fauna to a level characteristic of  
3 any other aquatic life habitat is realistically  
4 precluded due to natural background conditions or  
5 irretrievable human induced conditions.

6           All stream segments designated limited  
7 resource water are reviewed on a triennial basis or  
8 sooner to determine whether the use designation  
9 should be changed.

10           (b) The number of stream miles designated as  
11 limited resource water was not mentioned in my  
12 conversation with Ohio Environmental Protection  
13 Agency.

14           (c) No limited resource water -- no.  
15 Limited resource water is an aquatic life use  
16 designated nation in the state of Ohio.

17       MR. MOSHER: The answer to D is no. Ohio system  
18 uses a an additional category of use designation to  
19 account for waters that won't meet the usual water  
20 quality standards for ammonia and other parameters.

21           Decreased expectations for aquatic life are  
22 allowed.

23           Under the effluent modified water concept  
24 proposed by the Agency, only ammonia standards are



1 changed, and all other general use water quality  
2 standards are in force.

3           Expectations for aquatic life quality are  
4 not decreased in effluent modified waters proposed  
5 for Illinois.

6           The Agency's proposal requires ammonia  
7 removal to the best degree reasonably possible.

8           I don't think that requirement is in force  
9 in Ohio.

10       DR. FLEMAL: Lee, can I just jump in here and ask  
11 something?

12       MR. CUNNINGHAM: Sure.

13       DR. FLEMAL: It sounds to me like limited  
14 resource water is parallel to our secondary use  
15 water, is that fair?

16       MR. MOSHER: No, because just one parameter, the  
17 title of secondary use waters includes the term  
18 indigenous aquatic life which kind of implies that  
19 only the things that can live there are protected.

20           We are saying that effluent modified waters  
21 will have everything --

22       DR. FLEMAL: I'm not trying to draw a comparison  
23 between effluent modified waters. But limited  
24 resource water, the Ohio concept sounds rather --

1 MR. MOSHER: Oh, okay. The big difference is I  
2 believe in Ohio, all of these waters are more or less  
3 head water -- we would call them zero flow type  
4 streams instead of the canals as it occurs in  
5 Illinois.

6 MR. DUNHAM: The Cuyahoga River in Ohio may or  
7 may not be a limited resource water as it goes  
8 through close to the Cleveland industrial strip.

9 MR. MOSHER: I don't know if we can answer that.

10 MR. DUNHAM: I was thinking in those terms when  
11 you were speaking.

12 MR. CUNNINGHAM: Do you know how typical it would  
13 be for a discharger to discharge to a limited  
14 resource water in Ohio, whether that's an unusual  
15 situation or fairly typical?

16 MR. MOSHER: I believe it's fairly typical. It  
17 would be quite a few of those.

18 MR. CUNNINGHAM: Do you have any idea how long  
19 such a reach might be?

20 MR. MOSHER: No.

21 MR. VANCE: Part (e), I did not specifically ask  
22 this question when talking to representatives in  
23 Ohio, but I would assume effluent limits are pH and  
24 temperature dependent for dischargers to these

1 waters.

2 MR. CUNNINGHAM: Eighteen, does the 0.05  
3 milligram per liter chronic standard for warm water  
4 streams in Michigan apply in both the summer and  
5 winter?

6 MR. VANCE: Yes. It's my understanding it does.

7 MR. CUNNINGHAM: Is it true generally that where  
8 we have warm water and cold water designations that  
9 they apply year round, that that has to do with the  
10 aquatic life rather than the season?

11 MR. VANCE: Yeah, I would assume so in most  
12 cases.

13 MR. CUNNINGHAM: Nineteen, on page six of it's  
14 comments, the Agency states that "Missouri's use of  
15 acute criteria for ammonia nitrogen" differentiates  
16 it from Ohio.

17 Please explain this in more detail and  
18 specify the acute criteria.

19 MR. VANCE: Is it my understanding that Missouri  
20 uses acute criteria for all aquatic life water body  
21 designations.

22 This is different from Ohio in that Ohio  
23 only implements an acute criteria for dischargers to  
24 limited resource water.

1 MR. CUNNINGHAM: What about what those acute  
2 criteria are?

3 MR. VANCE: I cannot specify the exact number.

4 MR. CUNNINGHAM: Do they also have a chronic  
5 standard or do they go simply by the acute standard?

6 MR. VANCE: It's in the Agency's additional  
7 comments.

8 MR. CUNNINGHAM: Well, let's go on to twenty.

9 On page 7 of its comments, the Agency states  
10 that Missouri's "NPDES permit limits (are) derived  
11 from chronic criteria for warm water receiving  
12 streams."

13 What are the chronic criteria applied to the  
14 various stream classifications? That was (a).

15 And (b) What pH and temperature values are  
16 utilized to calculate effluent limits?

17 MR. VANCE: Are you referring to the exact  
18 numerical criteria that Missouri uses to implement  
19 effluent limits?

20 MR. CUNNINGHAM: As best can you tell me.

21 MR. VANCE: I can't say the exact numerical  
22 criteria. I can only say that these criteria are  
23 based on recalculations done by USEPA Region 7 for  
24 Missouri's Department of National Resources.

1           (b) The pH temperature values is not  
2 discussed in my conversations with the representative  
3 from Missouri's Department of National Resources.

4           MR. CUNNINGHAM: Are we to presume from this then  
5 that Missouri uses both acute standards and chronic  
6 standards for their dischargers or do they sometimes  
7 use acute, sometimes use chronic or don't you know?

8           MR. VANCE: I don't know.

9           MR. CUNNINGHAM: Okay.

10           Twenty-one, on page seven, the Agency states  
11 that in Kentucky "municipal dischargers to receiving  
12 streams with 7Q10 low flow of zero can receive up to  
13 a maximum average concentration of 4.0 milligrams per  
14 liter for ammonia nitrogen but the majority of these  
15 dischargers are assigned limited of 2.0 milligrams  
16 per liter."

17           (a) Why do some dischargers receive 4.0  
18 milligrams per liter while the majority receive 2.0  
19 milligram per liter limit?

20           (b) What total ammonia levels does the  
21 Kentucky formula yield versus the formula utilized by  
22 Illinois for the same pH and temperature?

23           (c) The Agency states that "consideration is  
24 being given to the procedures outlined in the NCD."

1           Does this mean the procedures are under  
2 consideration rather than the specific water quality  
3 standards recommended in the NCD?

4           MR. VANCE: Part (a), I did not ask questions  
5 pertaining to permitting issues when I contacted the  
6 individual states.

7           I assume whether the 4.0 or 2.0 limits are  
8 dependent upon available dilution.

9           (b) Using a pH of 8.0 to represent both  
10 summer and winter conditions and a temperature of 25  
11 degrees C in the summer and 5 degrees C in the  
12 winter, Kentucky's chronic standard would be 0.31  
13 milligrams per liter in the summer and 1.35  
14 milligrams per liter in the winter.

15           The proposed standard currently before the  
16 Board would result in chronic standards of 0.9  
17 milligrams per liter in the summer and 1.5 milligrams  
18 per liter in the winter.

19           MR. CUNNINGHAM: C?

20           MR. VANCE: (c) I cannot find where you stated  
21 this on page 7 or 8 of the Kentucky's review of water  
22 quality standards.

23           MR. CUNNINGHAM: That's interesting. Well, I  
24 doubt I made it up, but I'm not sure where it comes

1 from right now. Okay. We'll skip that one.

2 Well, do you know the answer to the question  
3 regardless of where it might have come from?

4 MS. HOWARD: I'm going to object to the  
5 question.

6 MR. CUNNINGHAM: I guess it's a little hard to  
7 answer.

8 MS. HOWARD: Yes.

9 MR. CUNNINGHAM: Twenty-two, what are the chronic  
10 values adopted by Iowa?

11 MR. VANCE: I don't know. I don't know the exact  
12 values.

13 MR. CUNNINGHAM: Twenty-three, did any of the  
14 states which have adopted chronic values for more  
15 than two seasons express any problem in implementing  
16 such a program?

17 MR. VANCE: No. No such problems were mentioned  
18 during the conversation with various states.

19 MR. CUNNINGHAM: Twenty-four, the Agency states  
20 that in Iowa "municipal dischargers to zero flow  
21 receiving stream are given daily maximum limits equal  
22 to the water quality standard."

23 I'll read through it all.

24 (a) What does this mean?

1           Is the total ammonia limit computed for the  
2 permit or does the discharger measure pH temperature  
3 and total ammonia and compute effluent un-ionized  
4 ammonia?

5           (b) Could the Agency state the range of  
6 typical effluent values to low flow streams?

7           (c) The Agency states that "a mid-range LC50  
8 value of 1.0 milligrams per liter as un-ionized  
9 ammonia is used when implementing effluent limits in  
10 Minnesota."

11           Does this mean that Minnesota's standard is  
12 fifty times more liberal than the Agency's proposed  
13 standard for the winter months? If not, what does  
14 this mean?

15       MR. VANCE: Part (a), this simply implies as a  
16 result of the 7Q10 flow equalizing zero, no dilution  
17 is available and, therefore, the mixing zone  
18 calculations based on the mass balancing equation  
19 cannot be done.

20           The water quality standard calculated as a  
21 function of pH and temperature is then applied as the  
22 permit limit.

23           Part (b), no effluent limits are pH and  
24 temperature dependent and therefore may vary along



1 each stream.

2           And part (c), it is my understanding that a  
3 mid-range or median LC50 value of 1.0 milligrams per  
4 liter as un-ionized ammonia is used by Minnesota as  
5 an acute value.

6           Given this application, this does not mean  
7 that Minnesota standard is fifty times more liberal  
8 than the proposed standards.

9           The comparison must be done between acute  
10 standards.

11           The Minnesota value of 1.0 milligrams per  
12 liter is about three times the proposed summer  
13 standard value and nine times the winter acute  
14 standard proposed.

15           It should be noted that Minnesota's current  
16 standards released prior to the publication of the  
17 NCD do not reflected the updated ammonia toxicity  
18 information now available.

19           MR. CUNNINGHAM: Thank you.

20           Twenty-five, on page ten of its comments --  
21 I hope it does, the Agency states that it "has not  
22 formulated a position with regard to specific  
23 facilities being granted adjusted standards,  
24 variances, or sites specific relief."

1 (a) Didn't the Agency inform Sterling and  
2 Rock Falls that it would support adjusted standards?

3 (b) If so, has the Agency position change  
4 and did the Agency inform these communities of that  
5 change?

6 That's it.

7 MR. MOSHER: (a) The Agency related that it would  
8 support adjusted standards at these facilities if it  
9 is proven that no other reasonable alternative for  
10 compliance exists.

11 This statement is based on ongoing  
12 investigations that indicate that Rock Falls has a  
13 very good chance to remove ammonia down to compliant  
14 levels with some improvements that are necessary  
15 regardless of R94-1.

16 In the case of Sterling, it is made based on  
17 the relatively less significant potential impact from  
18 this facility.

19 The Agency has gained a more in-depth  
20 understanding of the overall situation regarding  
21 ammonia at these two facilities through many  
22 meetings, phone conversations and visits.

23 We have not been afforded this opportunity  
24 at other facilities and, therefore, we have not

1 formulated a position regarding other facilities.

2           The Agency believes that in most instances,  
3 adjusted standards proceedings will not be generated  
4 as a result of this proposal either because of the  
5 eventual compliance by other means for many  
6 facilities or from a lack of justification that such  
7 relief is necessary in keeping with the basic  
8 provisions of adjusted standards.

9           (b) There has been no change in regard to  
10 the Agency's position at Sterling and Rock Falls.

11       MR. CUNNINGHAM: Okay. I want to make sure I  
12 understand you then.

13           So for Sterling and Rock Falls, if they  
14 cannot otherwise come into compliance, the Agency  
15 would -- has determined that it would be supportive  
16 of adjusted standards?

17       MR. MOSHER: Yeah, subject to the conditions I  
18 read.

19       MR. CUNNINGHAM: Twenty-six, also on page ten,  
20 the Agency states that it "believes that the relief  
21 allowed through EMW provisions is the extent that  
22 USEPA would approve relief unless extraordinary  
23 factors exist."

24           (a) Is this statement consistent with what

1 the Agency has represented to Sterling, Rock Falls  
2 and the FMWRD in the past year?

3 (b) What does the Agency mean by  
4 extraordinary factors?

5 (c) What sort of extraordinary factors might  
6 the USEPA accept as justifying ammonia nitrogen  
7 relief?

8 MR. MOSHER: (a) Sterling and Rock Falls would  
9 not be eligible for EMW relief.

10 The Agency believes that USEPA would agree  
11 that due to their ineligibility, relief for Sterling  
12 and Rock Falls similar to that which is proposed for  
13 facilities meeting the requirements for effluent  
14 modified waters would be unjustified under the  
15 proposed regulations.

16 Effluent modified water relief for FMWRD was  
17 discussed as a possibility at one time in this  
18 proceeding, but was later found to be unnecessary.

19 If it turns out that Rock Falls and Sterling  
20 apply for adjusted standards, USEPA will have to  
21 determine if they may give their approval.

22 The Agency does not foresee any need for  
23 relief for FMWRD beyond a mixing zone which will meet  
24 Board regulations.

1           (b) When the Agency used the term  
2 extraordinary factors, we were referring to forms of  
3 relief other than effluent modified water  
4 designation.

5           These are cases where the relief requested  
6 would not compromise the quality of aquatic life in  
7 any part of the receiving water and where the  
8 economic cost would, therefore, be unjustified.

9           The Board's adjusted standards process  
10 outlines these factors.

11           (c) While the USEPA could be anticipated to  
12 have concerns similar to those of the Agency, we  
13 cannot definitely assess all factors that you USEPA  
14 may ultimately apply when reviewing these  
15 situations.

16       THE HEARING OFFICER: I think this is a good time  
17 to take a break. Are we done with question 26?

18       MR. CUNNINGHAM: Actually could I ask one  
19 follow-up question?

20       THE HEARING OFFICER: Fine.

21       MR. CUNNINGHAM: I guess this is largely with  
22 respect to Section B, is it your belief that if an  
23 adequate justification can be made for an adjusted  
24 standard under the statutory and regulatory program

1 that we have in Illinois, that USEPA would accept  
2 that?

3 MR. MOSHER: Yeah. I thought I answered that in  
4 my answer to C.

5 MR. CUNNINGHAM: Okay. That's what I thought you  
6 said, too, I just wanted to make sure. Yes. That's  
7 nine. We can take a break.

8 THE HEARING OFFICER: We can go off the record.

9 (Discussion had off the record.)

10 (Lunch break.)

11

12

13

14

15

16

17

18

19

20

21

22

23

24

1

AFTERNOON SESSION

2 THE HEARING OFFICER: We're ready to get started  
3 again. You can continue with the questions for the  
4 Agency from the Ammonia Group. We're on question  
5 twenty-seven.

6 MR. CUNNINGHAM: Twenty-seven, is there any  
7 technical reason for the Board not to adopt the  
8 updated chronic and acute un-ionized ammonia values  
9 calculated by the Agency?

10 MR. MOSHER: Apparently not, since USEPA has now  
11 approved the updated standards.

12 MR. CUNNINGHAM: (a) What acute chronic ratio  
13 did the Agency use in calculating the chronic  
14 standards?

15 MR. MOSHER: 11.3.

16 MR. CUNNINGHAM: (b) How is that ratio  
17 determined?

18 MR. MOSHER: The Agency followed procedures in  
19 the Board's regulations which dictate how the  
20 derivation is to be made, that's at 35 Illinois  
21 Administrative Code, 302.627(c) which is contained in  
22 subpart F.

23 The species with the highest acute chronic  
24 ratio expressed as a geometric mean of all valid

1 individual literature acute chronic ratio values is  
2 to be used.

3           In this case, the species was the fathead  
4 minnow.

5           MR. CUNNINGHAM: Is that subpart F rule that you  
6 cited applicable specifically to water quality  
7 criteria in the absence of a water quality standard?

8           MR. MOSHER: It's guidance -- actually it's  
9 regulation supplied when derivations are to be made.

10           This is usually conducted as a way to  
11 produce water quality criteria values in accordance  
12 with the narrative standard at 302.210.

13           But it's the same formula that, for  
14 instance, was used for lead in the part A of this  
15 Rule 19.

16           MR. CUNNINGHAM: But does that rule require that  
17 any water quality standard adopted by the Board be  
18 based upon the use of that procedure?

19           MR. MOSHER: No.

20           MR. CUNNINGHAM: (c) Is it Federally acceptable  
21 to calculate an acute/chronic ratio using the  
22 geometric mean of all available species,  
23 acute/chronic ratios?

24           MR. MOSHER: The guidelines for determining



1 numerical national water quality criteria for the  
2 protection of aquatic organisms and their uses by  
3 Charles E. Stephen and others which is then given as  
4 Agency Exhibit D, submitted with the regulatory  
5 proposal package lists alternate No. 2 on page 41  
6 which allows that, and I quote: "If no major trend  
7 is apparent and the acute/chronic ratios for a number  
8 of species are within a factor of ten, the final  
9 acute/chronic ratio should be calculated as the  
10 geometric mean of all species mean acute/chronic  
11 ratios available for both fresh water and saltwater  
12 species."

13                 However, the national criteria document for  
14 ammonia did not use this method. They used a method  
15 which in their opinion I presume more closely fit the  
16 available data.

17                 This method produced an acute/chronic ratio  
18 of sixteen. They were apparently following a method  
19 that approximates alternate No. 1 of the guidelines  
20 by Charles Stephen whereby acute/chronic ratios of  
21 several species may be taken as a geometric mean --  
22 I'm sorry, several sensitive species may be taken as  
23 a geometric mean to arrive at a final acute/chronic  
24 ratio while several insensitive species,

1 acute/chronic ratios were not entered into the  
2 averaging.

3 I must conclude that in the case of ammonia,  
4 the Federal researchers chose not to use the  
5 acute/chronic ratios of all species.

6 Whether they would agree to such a usage at  
7 the present is a question I can't answer.

8 MR. CUNNINGHAM: (d) Based upon the data used by  
9 the Agency, what would the acute/chronic ratio be  
10 using that methodology?

11 MR. MOSHER: I don't know what you mean by that  
12 methodology.

13 MR. CUNNINGHAM: Of using the acute/chronic  
14 geometric mean of all available species,  
15 acute/chronic ratios?

16 MR. MOSHER: I don't know what that would be. I  
17 never have calculated that.

18 MR. CUNNINGHAM: Do you recall the -- I think  
19 it's attached to your -- well, do you recall the  
20 testimony of Dr. Sheehan in the Galesburg adjusted  
21 standard proceedings regarding the appropriateness of  
22 the ammonia water quality standard?

23 MS. HOWARD: I'm going to object unless we have  
24 something that's specifically been entered as an

1 exhibit here in this proceeding, I don't think it  
2 would be proper for us to refer back to --

3 MR. CUNNINGHAM: I believe it was attached to  
4 Mr. Huff's presubmitted testimony. It's appendix 5  
5 of -- I of Mr. Huff's presubmitted testimony.

6 DR. FLEMAL: Excuse me, that's the filing of  
7 January 5?

8 MR. CUNNINGHAM: Actually it's the -- it was --  
9 was it in both? It was in both.

10 Actually I should point out that the copies  
11 that I -- of the presubmitted testimony of Mr. Huff  
12 that were left at the back table are an updated  
13 version that combines the two for those of you who  
14 got them.

15 It's what the thing should look like in its  
16 final state. Have you found that?

17 MR. MOSHER: Yes.

18 MR. CUNNINGHAM: What does that indicate that he  
19 found the -- wait -- okay.

20 What does that indicate as the acute/chronic  
21 ratio that Dr. Sheehan calculated using that  
22 methodology?

23 MS. HOWARD: Could you be more specific?

24 I mean we've got -- what page are you

1 referring to?

2 MR. CUNNINGHAM: Page nine.

3 MR. MOSHER: So you'd like me to just find it and  
4 read it to you?

5 MR. CUNNINGHAM: Well, do you have any reason to  
6 believe that what Dr. Sheehan has done is  
7 inappropriate according to the methodology we've been  
8 discussing, the use of mean of all available species,  
9 acute/chronic ratios?

10 MR. MOSHER: I haven't done any analysis of if  
11 this is appropriate.

12 I read to you out of the national criteria  
13 document -- I'm sorry, the guidelines for determining  
14 criteria.

15 I've read out of the national criteria  
16 document for ammonia as to what I believe is what  
17 they found appropriate and what they did and, of  
18 course, you know what we did and found appropriate,  
19 but I didn't study Dr. Sheehan's work.

20 MR. CUNNINGHAM: Okay. Would that result in a  
21 lower acute/chronic ratio if this methodology were to  
22 be used in lieu of the methodology the Agency used?

23 MR. MOSHER: Again, I can't comment other than I  
24 can see the number that Dr. Sheehan came up with, and

1 it is a lower number, but whether that is valid or  
2 not, I have not made that determination.

3 MR. CUNNINGHAM: Is the acute/chronic ratio  
4 lower, is that what you're saying?

5 MR. MOSHER: If you mean the 7.13, then that is  
6 lower than 11.3, and it's lower than 16.

7 MR. CUNNINGHAM: Okay. Then (e) I take it --  
8 well, what chronic standards would be calculated from  
9 the acute values calculated by the Agency if that  
10 acute/chronic ratio had been used? I take it you  
11 don't know?

12 MR. MOSHER: I don't know.

13 MR. DUNHAM: May I ask, why is the geometric mean  
14 used as opposed to the mean if the criterion is that  
15 you can only use acute/chronic ratios within a factor  
16 of ten?

17 Geometric means usually span several --  
18 often span several orders of magnitude, and an  
19 arithmetic mean isn't as biased when you're within  
20 one order of magnitude.

21 Do you know why they use the geometric mean  
22 at all?

23 MR. MOSHER: No. In that instance I can't  
24 comment.

1 MR. DUNHAM: Okay.

2 MR. CUNNINGHAM: Twenty-eight, the Agency states  
3 at the bottom of page 21 of its comments that nine  
4 facilities "were thought to be in compliance."

5 Is that correct or is it noncompliance?

6 MR. MOSHER: The sentence is incorrect. These  
7 communities were believed to be not in compliance.

8 MR. CUNNINGHAM: Twenty-nine, has the Agency  
9 observed biological degradation downstream of the  
10 DuQuoin POTW?

11 MR. MOSHER: Yes.

12 MR. CUNNINGHAM: (a) If so, is the stream  
13 classified as ammonia impaired?

14 MR. MOSHER: Reese Creek was listed as ammonia  
15 impaired in the most resented 305(b) report.

16 The field work conducted to enable that  
17 conclusion was done at a time when a meat packing  
18 plant now closed discharged to the same location as  
19 the City of DuQuoin, sewage treatment plant.

20 Because of this fact, the relative  
21 contributions to stream ammonia impairment from the  
22 two facilities were virtually indistinguishable.

23 Because the meat packing plant is is  
24 considered to be an industrial facility, the 305(b)

1 report should have listed the industrial discharge as  
2 a source in addition to the municipal source.

3           New data has changed the ammonia impairment  
4 rating of Reese Creek.

5           A facility related stream survey was  
6 conducted in August of 1995 on the DuQuoin facility  
7 but it is not yet drafted in a written report.

8           The field staff who conducted the survey  
9 indicated that ammonia originating in the effluent  
10 was of concern because of a history of values that  
11 exceeded the daily maximum permit limits, but in  
12 their opinion, ammonia is not a major cause of the  
13 stream impairment they encountered.

14       MR. CUNNINGHAM: So you're saying currently it's  
15 the Agency's determination that there is not ammonia  
16 impairment; is that correct?

17       MR. MOSHER: Yes.

18       MR. CUNNINGHAM: Once again, I guess I'll read  
19 through the rest of these questions.

20           If ammonia impaired, what effluent limits  
21 would be imposed if R94-1 as proposed is adopted?

22       MR. MOSHER: Since I answered that it was not  
23 ammonia impaired, then it's not applicable. Can we  
24 go on to the next one?

1 MR. CUNNINGHAM: Yeah. (c) If not ammonia  
2 impaired and not achieving 1.5/4.0 milligram per  
3 liter limits, how does the Agency account for the  
4 lack of ammonia impairment?

5 MR. MOSHER: Every facility and receiving stream  
6 is unique.

7 In the case of DuQuoin, a large strip mine  
8 pond initially receives the effluent of the treatment  
9 plant.

10 Effluent monitoring for ammonia is conducted  
11 at the influent to the pond. The pond may allow  
12 additional ammonia reduction and definitely provides  
13 for equalization.

14 Other factors that must be taken into  
15 consideration are climate, volume of flow and water  
16 quality of the receiving stream including pH and  
17 overall effluent quality.

18 Since the stream impact is present due to  
19 the DuQuoin discharge, the Agency is obviously  
20 concerned and is working to cause a remediation of  
21 this situation.

22 Compliance with the existing 1.5 and 4.0  
23 milligram per liter ammonia limits at the DuQuoin  
24 sewage treatment plant is just one of the goals the



1 Agency will pursue to ensure that stream conditions  
2 improve.

3           Given the existing quality of the receiving  
4 stream and the pending effluent modified water  
5 designation for Reese Creek, the Agency will plan  
6 follow up stream surveys to monitor for biological  
7 impacts including any related to ammonia.

8           MR. CUNNINGHAM: (d) Would the Agency please  
9 provide the last three biological stream surveys for  
10 DuQuoin for this record?

11          MR. MOSHER: One published facility related  
12 stream survey report exists for a study conducted in  
13 1986, and we are going to give you a copy of that.

14          MR. CUNNINGHAM: Should we enter this into the  
15 record?

16          THE HEARING OFFICER: Okay.

17          MR. CUNNINGHAM: This is the only existing stream  
18 survey? I thought you had made reference to others.

19          MR. MOSHER: It's not printed yet. It's -- it  
20 was conducted only in August of last year, and they  
21 haven't finalized the printing of that report.

22          MR. CUNNINGHAM: Might that be finalized in the  
23 near future?

24          MR. MOSHER: They didn't tell me when it would

1 be.

2 MR. CUNNINGHAM: Okay. So are we going to enter  
3 this then as exhibit?

4 THE HEARING OFFICER: We'll enter it as Exhibit  
5 44, the staff report facility related stream survey,  
6 it's entitled biological and water quality survey of  
7 Reese Creek and tributaries in the vicinity of  
8 DuQuoin Municipal Wastewater Treatment Plant,  
9 DuQuoin, August and November 1986, and that's Exhibit  
10 44.

11 MR. CUNNINGHAM: Thank you.

12 MS. MC FAWN: So there's only two studies then,  
13 the '86 and the '95?

14 MR. MOSHER: Right.

15 MR. CUNNINGHAM: Thirty, how many months over the  
16 past two years has Lindenhurst exceeded 1.5/4.0  
17 milligram per liter ammonia levels?

18 MR. VANCE: Based on information provided in  
19 discharge monitoring reports, Lindenhurst has not  
20 exceeded the 1.5/4.0 milligrams per liter over the  
21 past two years.

22 MR. CUNNINGHAM: Thirty-one, if R94-1 is adopted,  
23 the Agency is on record that the Galesburg Sanitary  
24 District would have to meet a winter effluent limit

1 of 1.4 milligrams per liter total ammonia.

2 (a) Wouldn't the cost to meet such a limit  
3 be much higher than the cost to comply with current  
4 standards?

5 MR. MOSHER: That's question thirty-one?

6 MR. CUNNINGHAM: Right.

7 MR. MOSHER: Once a facility accepts NPDES permit  
8 limits of 1.5 and 4.0 milligrams per liter as summer  
9 and winter monthly averages and daily maximum permit  
10 limits equally the proposed acute ammonia standards,  
11 the Agency will consider that facility as meeting all  
12 but one of the requirements to quality for an  
13 effluent modified water designation for its receiving  
14 stream.

15 Based on data gathered in stream surveys  
16 below dozens of dischargers who have an extensive  
17 history of meeting such limits, the Agency has not  
18 found any biological impact due to ammonia nitrogen.

19 Improvements in stream quality to the point  
20 where ammonia impacts are no longer present should  
21 eventually follow where effluents have newly begun to  
22 achieve these limits.

23 The Agency foresees establishing a  
24 compliance schedule to allow the needed improvements

1 to be made at the small handful of facilities not now  
2 meeting the ammonia removal provisions for effluent  
3 modified waters and having receiving stream  
4 characterized as ammonia impaired.

5           This will be followed by requirements for  
6 additional biological stream monitoring given  
7 sufficient time for recovery of the stream once  
8 reduced ammonia concentrations in the effluent are  
9 achieved.

10           In this way, all the provisions for the  
11 granting of effluent modified waters will be  
12 addressed.

13           The specifics of this process including the  
14 point at which an effluent modified water is granted  
15 will be outlined in Agency rules following the  
16 adoption of our proposal.

17       MR. CUNNINGHAM: Could you answer the question?

18       MR. MOSHER: (a) The Agency has proposed a  
19 standards package that will not force facilities on  
20 small receiving streams to meet unattainable limits  
21 based on chronic standards.

22           Therefore, given the concept of effluent  
23 modified waters and the resulting 1.5 and 4.0  
24 milligram per liter ammonia permit limits, the cost

1 of meeting the proposed standards is equal to that of  
2 meeting the existing standards.

3           The Agency has stated in this proceeding  
4 that any facility obtaining the relief provided by an  
5 effluent modified water designation must have the  
6 ability to provide the best degree of treatment for  
7 ammonia removal.

8           The test of best degree of treatment and the  
9 plainly stated requirement of the regulation is the  
10 ability to meet monthly average effluent ammonia  
11 concentrations of 1.5 milligram per liter summer and  
12 4.0 milligram per liter winter.

13           (b) No.

14           (c) The Agency firmly believes that the  
15 costs resulting from the need to meet existing  
16 standards should not be counted as costs due to the  
17 R94-1 proposal.

18       MR. CUNNINGHAM: I still don't understand how  
19 you've answered (a).

20           Are you saying that the Galesburg Sanitary  
21 District would be given a 4.0 milligram per liter  
22 winter limit and would not have to meet a 1.4  
23 milligram per liter total ammonia standard?

24       MR. MOSHER: You would be given a compliance

1 schedule to obtain the facilities that the Agency  
2 thought could meet 1.5 and 4.

3 MR. CUNNINGHAM: Okay. So it's your belief that  
4 if Galesburg were to accept limits of 1.5 and 4, that  
5 there would be no ammonia -- that they would qualify  
6 for effluent modified water status.

7 MR. MOSHER: Not right away, but we would allow  
8 for studies to be done because we believe that once  
9 you do meet the 1.5 and 4 limits, that that stream  
10 will recover from its existing impact and we will no  
11 longer then find that it is ammonia impacted.

12 And once all that is done, at some point  
13 effluent modified waters would be granted.

14 MR. CUNNINGHAM: And you believe that's true  
15 specifically of Cedar Creek, it should recover if  
16 Galesburg were to --

17 MR. MOSHER: Our experience in all waters that  
18 have facilities discharging and similar to that  
19 situation where there's really no upstream to loosen  
20 and no other point sources, we never see ammonia  
21 impacts if someone is meeting 1.5 and 4 limits.

22 MR. CUNNINGHAM: Okay. Let's say in some -- for  
23 some surprising reason there were to continue to be  
24 ammonia impairment in Cedar Creek, then Galesburg

1 would be required to meet a 1.4 milligram per liter  
2 total ammonia limit?

3 MR. MOSHER: I think the logical thing that would  
4 happen there is we would again look at the treatment,  
5 and Dean's in our permit section, he might want to  
6 take over here, but what else could be done would be  
7 the next thing to tackle, is there something else  
8 that could improve ammonia reduction even more, and  
9 get to the point where that stream is no longer  
10 ammonia impacted.

11 MR. CUNNINGHAM: Okay. So what you're saying is  
12 it's possible you would have a number perhaps  
13 somewhere between 1.4 and 4?

14 MR. MOSHER: No. Essentially what we're saying  
15 is our rule does not intend to paint someone into a  
16 corner.

17 We think that the treatment is out there,  
18 it's -- the reasonable treatment is available that's  
19 going to get a facility to the point where the stream  
20 is no longer ammonia impacted.

21 When you're asking the question, well, what  
22 if you meet 1.5 and 4 and it's still ammonia  
23 impacted, well, we don't know of a situation like  
24 that in all our experience at dozens of treatment

1 plants, so it's hard for me to imagine that  
2 situation.

3 MR. CUNNINGHAM: Okay. We'll move on to 32 at  
4 least for now.

5 Prior to repiping the City of Milan effluent  
6 to the Rock River was Mill Creek identified as  
7 ammonia impaired?

8 MR. VANCE: Agency biologists stated in a  
9 facility related stream survey dated September 24th,  
10 1984 just prior to the relocation of the outfall,  
11 that "ammonia was not a factor contributing to the  
12 impacted conditions at this time."

13 The stream assessment survey did, however,  
14 reveal several miles of Mill Creek to be heavily  
15 impacted by this discharge.

16 MR. CUNNINGHAM: But not by ammonia?

17 MR. VANCE: That's what the quote was.

18 MR. CUNNINGHAM: All right. Thirty-three, what  
19 concentrations of ammonia are typically discharged by  
20 Milan?

21 MR. VANCE: Milan currently has no ammonia limit  
22 in its NPDES permit, therefore, discharge monitoring  
23 reports do not contain information concerning  
24 effluent concentrations of ammonia.



1           However, 55 Agency grab samples taken from  
2 January 1990 to April of 1995 indicate a maximum  
3 concentration of eighteen milligrams per liter in  
4 January of 1990 and an average concentration of 4.1  
5 milligrams per liter for all grab samples.

6           MR. CUNNINGHAM: Thirty-four, on page 25 of its  
7 comments, the Agency states that "while at any given  
8 time some of the 122 major municipal facilities may  
9 be in some type of enforcement action stemming from  
10 noncompliance with ammonia nitrogen NPDES permit  
11 limits, appropriate water quality based limits exist  
12 in their permits which will assure compliance once  
13 the needed upgrade or corrective action is taken."

14           (a) What does the Agency mean by  
15 "appropriate water quality based limits"?

16           Does that phrase include EMW limits?

17           (b) If a discharger fails to meet 1.5/4.0  
18 milligrams per liter, doesn't it lose EMW designation  
19 under the Agency's proposal?

20           If so, won't more restrictive limits be  
21 imposed?

22           (c) How will compliance with 1.5/4.0  
23 milligram per liter be determined?

24           MR. STUDER: The answer to (a), in this case,

1 appropriate water quality based limits are dictated  
2 by the water quality standard for ammonia and the  
3 downstream 75th percentile pH and temperature, or are  
4 1.5 milligram per liter and 4.0 milligram per liter,  
5 if that were the appropriate limits under the Board  
6 regulations.

7           It is inappropriate to refer to any of these  
8 limits as EMW limits since that concept has not yet  
9 been adopted and has never been applied in the past.

10           (b) No. This would result in noncompliance  
11 with the permit limits and resulting enforcement  
12 actions.

13           (c) As is the case now, dischargers monitor  
14 their effluent and report the results on a monthly  
15 basis in their discharge monitoring reports to the  
16 Agency.

17           If the permit limits aren't met, a violation  
18 of the permit exists.

19           MR. CUNNINGHAM: Thirty-five, what was the  
20 "involved Agency program to require the upgrading of  
21 treatment plants to meet water quality based NPDES  
22 permit limits" mentioned on page 25 of the Agency  
23 comments?

24           MR. STUDER: The 1987 amendments to the Clean

1 Water Act move the focus of point source controls  
2 from technology based effluent limits to water  
3 quality based effluent limits.

4           These amendments require that the Agency  
5 issue NPDES permits with limits protective of water  
6 quality standards.

7           For parameters with both water quality and  
8 effluent standards, the NPDES permit limits become  
9 whichever of the two results in the more restrictive  
10 permit limit.

11           For parameters where there is a water  
12 quality standard but no effluent standard, the Agency  
13 imposes permit limits when there is a reasonable  
14 potential to cause or contribute to the exceedance of  
15 a water quality standard as required by 40 CFR,  
16 Sections 122.44(d) and 123.25.

17           The conversion from a technology to a water  
18 quality based permitting approach required many  
19 dischargers to upgrade their treatment facilities.

20           This is the program referred to in the  
21 Agency comments.

22           MR. CUNNINGHAM: Thirty-six, what are the  
23 "preliminary indications" that the Agency has had  
24 that a high rate diffuser for Dixon is "a viable

1 option"?

2 MR. MOSHER: Sufficient flow and water depth  
3 exist in the Fox River at Dixon to allow the  
4 construction and effective operation of a high rate  
5 diffuser.

6 MR. CUNNINGHAM: You meant --

7 MR. MOSHER: I meant to say Rock River, I'm  
8 sorry.

9 MR. CUNNINGHAM: Can you elaborate on that at  
10 all?

11 MR. MOSHER: Well, if you're going to improve  
12 mixing, you've got to have enough upstream flow to  
13 provide the dilution.

14 You've got to have enough depth in the river  
15 to keep the high rate diffuser structure submerged at  
16 all times.

17 It can't be a hazard to boating or other  
18 uses of the river.

19 And I believe those conditions are present  
20 at Dixon that with would that.

21 MR. CUNNINGHAM: Okay. Thirty-seven, how many  
22 months of performance are required before the Agency  
23 can determine that a POTW can consistently meet a  
24 specified ammonia effluent level?

1 MR. STUDER: What do you mean by the term  
2 consistent?

3 MR. CUNNINGHAM: I believe that comes out of the  
4 comments -- well, let's try this.

5 In terms of the -- I haven't had a chance to  
6 look at the handout that the Agency gave, I should  
7 have done that I suppose, on the changes to the  
8 proposed rule, does that include IAWA's changes with  
9 respect to the necessity to demonstrate compliance  
10 with 1.5 and 4?

11 MR. STUDER: Right. The relevance of this  
12 question has changed based on the IAWA proposed  
13 regulations.

14 I can try and answer the question based on  
15 its limited relevance.

16 MR. CUNNINGHAM: It strikes me it's not  
17 particularly relevant now, so let's skip it and move  
18 on.

19 DR. FLEMAL: Lee, let me just call your attention  
20 to page 26, yes, down the 10th line, there's a line,  
21 understanding, the word consistently appears there,  
22 is that the reference?

23 MR. CUNNINGHAM: That's the reference I was  
24 looking at, but I agree with Dean, with the changes

1 to the Agency's proposal, it's no longer of much  
2 importance.

3           Okay. Thirty-eight, is it the Agency's  
4 understanding that Batavia, Colona, Kankakee and Rock  
5 Falls can consistently achieve 1.5 milligram per  
6 liter, 4.0 milligram per liter ammonia nitrogen  
7 concentrations under both existing and design plant  
8 flows and loads or has the Agency only determined  
9 that they can achieve those limits at existing flows  
10 and loads?

11       MR. STUDER: The Agency has not determined that  
12 Batavia, Colona, Kankakee and Rock Falls need to  
13 consistently achieve 1.5 and 4.0 milligram per liter  
14 ammonia nitrogen in their effluent.

15           This would only be required for facilities  
16 that discharge to effluent modified waters or in  
17 cases where the 1.5/4.0 milligram per liter ammonia  
18 nitrogen concentrations are necessary to comply with  
19 water quality standards.

20           Kankakee and Rock Falls both appear to be  
21 able to meet the Agency's proposed chronic ammonia  
22 nitrogen water quality standards with allowed mixing  
23 and, therefore, in all likelihood would not need  
24 effluent modified waters and it's associated 1.5 and

1 4.0 milligram per liter ammonia limits.

2           Batavia and Colona had been initially  
3 identified as potentially being unable to comply with  
4 the Agency's proposed chronic ammonia nitrogen water  
5 quality standards, however, it appears that  
6 sufficient dilution exists in each case to allow  
7 these facilities to comply with the proposed chronic  
8 water quality standards without meeting EMW and it's  
9 associated 1.5/4.0 milligram per liter limits.

10       MR. CUNNINGHAM: Okay. Again, though, is that a  
11 current loads and flows or is that also true at  
12 design loads and flows?

13       MR. STUDER: The Agency has not made a  
14 determination based on projected design loads and  
15 flows.

16       MR. CUNNINGHAM: Okay. Thirty-nine, aren't there  
17 facilities such as Batavia that can meet 1.5/4.0  
18 milligram per liter EMW criteria at actual loads and  
19 flows that may be unable to meet those criteria at  
20 design loads and flows?

21       MR. MOSHER: Given the approximately one year  
22 period that Batavia has operated their treatment  
23 plant under a scheme that has allowed good removal of  
24 ammonia achieving very low effluent ammonia

1 concentrations with no exceptions, the Agency sees no  
2 reason that this cannot be continued, all things  
3 remaining more or less as they were over that  
4 period.

5           The Agency does not know what might happen  
6 to ammonia removal efficiency at any particular  
7 treatment plant if various conditions change.

8           MR. CUNNINGHAM: Wouldn't it generally be true  
9 that as loads and flows increase at a particular  
10 facility that you would tend to see a reduction in  
11 ammonia removal efficiency?

12          MR. STUDER: Effectiveness of the treatment scheme  
13 can be effected by both the organic and hydraulic  
14 loadings.

15           To say that ammonia would be the only  
16 impacted or affected parameter in their discharge  
17 would be premature.

18          MR. CUNNINGHAM: I'm not attempting to say it  
19 would be the only one, just that it is one that might  
20 well be.

21          MR. STUDER: Along with BOD and suspended  
22 solids, yes, you might see reduced ammonia nitrogen  
23 removal efficiency.

24           There may be other changes in treatment



1 scheme that become necessary in addition.

2 MR. CUNNINGHAM: I'd like to allow Jim Huff to  
3 ask a question here instead of having him whisper it  
4 in my ear. Is that okay?

5 THE HEARING OFFICER: Go ahead.

6 MR. HUFF: Dean, what's the acceptable organic  
7 loading on an activated sludge for BOD and for  
8 ammonia?

9 MR. STUDER: For ammonia nitrogen for a single  
10 stage activated sludge?

11 MR. HUFF: Yes.

12 MR. STUDER: The aeration tank is fifteen pounds  
13 BOD.

14 MR. HUFF: Now, if it's not designed for  
15 nitrification what is the acceptable BOD limits?

16 MR. STUDER: I believe it's fifty.

17 MR. HUFF: So if a plant is somewhere well above  
18 fifteen now and it increases its load and is still  
19 below fifty, you would anticipate it could still meet  
20 it's BOD limits?

21 The plant was designed to meet a certain  
22 effluent limit for BOD, and there would be no reason  
23 to anticipate it could not meet that so long as it  
24 stayed below it's designed loading.

1 MR. STUDER: We have plants that are loaded  
2 almost as high as thirty pounds per day BOD and are  
3 still achieving ammonia reduction.

4 The point is that until that actually  
5 occurs, there are other parameters and other loadings  
6 that become important in the treatment scheme, and  
7 it's premature to sit down and anticipate, you know,  
8 exactly what may or may not happen once a plant  
9 reaches close to its design loading limits.

10 MR. HUFF: Let me ask the question this way:  
11 Aren't those other factors already considered in the  
12 initial design of that design that was designed to  
13 remove BOD to a specified level?

14 MR. STUDER: Those aren't the only parameters  
15 involved in the treatment scheme.

16 For example, loadings on your clarifiers can  
17 affect what BOD and suspended solids are.

18 MR. HUFF: Same thing, though. I mean those were  
19 designed in the initial design aspect of the plant.

20 The one thing that wasn't designed in a  
21 facility like Batavia was the ability to provide  
22 nitrification, and that's the parameter, is it not,  
23 that you're going to see a loss in performance as  
24 loading goes up?

1 MR. STUDER: You will see a loss in performance  
2 of ammonia generally as your organic loading  
3 increases or as hydraulic loading increases.

4 MR. HUFF: Thank you.

5 MR. CUNNINGHAM: Forty, does Colona agree with  
6 the Agency's conclusion that if it returns to its  
7 earlier mode of operation that it will be able to  
8 meet the proposed standards?

9 (a) Is there a cost in doing so?

10 (b) What are the most recent ammonia  
11 effluent levels discharged by Colona?

12 (c) Is Colona designed to nitrify? Is it at  
13 design loads and flows?

14 MR. MOSHER: Colona has not responded to the  
15 various communication attempts that the Agency has  
16 made. We don't know what their position is.

17 (a) The Agency believes that by returning to  
18 the former treatment scheme, Colona would fulfill  
19 their responsibility to operate their treatment plant  
20 in the best possible way.

21 The Agency assumes that the costs associated  
22 with this change would be minimal, however, we do not  
23 know exactly what these costs will be.

24 MR. VANCE: For (b), rather than read through

1 these effluent concentrations, I've made a table that  
2 we can pass out. I've got copies.

3 MR. CUNNINGHAM: Okay.

4 MS. HOWARD: We can go ahead and enter them as  
5 the next exhibit.

6 THE HEARING OFFICER: So this is in response to  
7 question 40(b), and it's a chart of the ammonia  
8 effluent levels for Colona?

9 MR. CUNNINGHAM: Colona.

10 THE HEARING OFFICER: Okay. This would be  
11 Exhibit No. 45.

12 MR. CUNNINGHAM: Just in case people are  
13 interested, do you want to just quickly kind of  
14 summarize what this table shows? Don't take long,  
15 though, I'm sure they're not that interested.

16 MR. VANCE: What do you want me to summarize,  
17 just -- I wouldn't know how to summarize this without  
18 going through each --

19 MR. CUNNINGHAM: It is bouncy, isn't it? Let's  
20 just say Colona has a bouncy effluent, leave it at  
21 that.

22 MR. DUNHAM: We can also say that they're not  
23 consistently meeting 1.5 summer and 4.0 winter  
24 limits.

1 MR. CUNNINGHAM: That's true.

2 MS. HOWARD: I like that conclusion better than  
3 bouncy.

4 MR. CUNNINGHAM: Actually, I do, too, thank you  
5 very much.

6 MR. MOSHER: But we're not implying that Colona  
7 will have to meet those 1.5 and 4 limits because  
8 there is a mixing zone available for Colona.

9 MR. CUNNINGHAM: Do you know what they will be  
10 required to meet?

11 MR. MOSHER: Offhand, no.

12 MR. CUNNINGHAM: Okay. (c).

13 MR. STUDER: Based on the construction permit for  
14 the original sewage treatment plant, it appears that  
15 the plant was designed for an influent ammonia  
16 nitrogen concentration of 22 milligrams per liter.  
17 Typically ammonia influent is only  
18 considered in plants where effluent ammonia  
19 concentrations are a concern.

20 However, without more information on  
21 specific individual treatment plant units, I cannot  
22 determine for sure if it is designed to nitrify.

23 Such information was not in the Agency's  
24 files for comparison and could not be obtained in

1 time between the filing of this question and this  
2 hearing.

3           Based on influent data for calendar year  
4 1995, the maximum flow to the plant was 0.68 --  
5 excuse me, 0.89 milligrams per liter, and averaged  
6 0.524 MGD.

7           I'm going to have to read this over again.  
8 I messed up.

9           Dealing with loading, based on influent data  
10 from calendar year 1995, maximum flow to the plant  
11 was 0.689 MGD and averaged 0.254 MGD.

12           Based on the design average flow of 1.0 MGD  
13 and the 1995 average influent flow, this plant is  
14 operating at about 25 percent of design hydraulic  
15 loading.

16           The influent BOD five averaged 252  
17 milligrams per liter in 1995. Combined with the  
18 average 1995 influent flow of 0.254 MGD and the  
19 design 1,666 pounds BOD five per day loading, the  
20 plant is operating at about 534 pounds BOD five per  
21 day or approximately 32 percent of design organic  
22 loading.

23           MR. CUNNINGHAM: Forty-one, is the Agency  
24 comfortable in concluding that Lawrenceville can

1 achieve consistent compliance on the basis of eight  
2 grab samples from 1994?

3           Is the same conclusion valid at design  
4 average flows?

5           MR. MOSHER: The Agency's conclusion that  
6 Lawrenceville can meet the proposed standards was  
7 based on my conversations with the operator of that  
8 plant as well as my knowledge of the Agency's  
9 effluent data from Lawrenceville.

10           And again, we don't make predictions about  
11 what might happen in the future loading situations.

12           MR. CUNNINGHAM: Forty-two, what have  
13 Libertyville's effluent ammonia levels been for the  
14 past twelve months?

15           MR. VANCE: Again, instead of reading through  
16 these I got a table.

17           MR. CUNNINGHAM: I thought we might have another  
18 one.

19           THE HEARING OFFICER: We can enter this as  
20 Exhibit 46. This is Libertyville ammonia effluent  
21 levels for 1995.

22           MR. CUNNINGHAM: Do you want to give a brief  
23 description of what this one shows? It does look  
24 easier.

1 MR. VANCE: I would describe this as fairly  
2 consistent.

3 MR. CUNNINGHAM: It was awfully easy. Monthly  
4 average probably about .5 milligrams per liter, daily  
5 max of 1.67, just kind of on average?

6 MR. CARLSON: I think the exhibit speaks for  
7 itself.

8 MR. CUNNINGHAM: Fine. I'm just trying to help  
9 them out there a little bit.

10 Okay. Forty-three, what response does the  
11 Agency have to the concerns raised by the FMWRD as to  
12 how much it can rely on the present agreement with  
13 the Agency noted on page 34 of the Agency's  
14 comments?

15 (a) Does the Agency know whether USEPA will  
16 accept that agreement?

17 (b) In light of the recently completed Fox  
18 River study, does the Agency believe that it would be  
19 appropriate for Fox Metro to install additional  
20 ammonia removal facilities if any of its concerns  
21 should occur?

22 (c) If so, why?

23 MR. MOSHER: From our analysis of the present  
24 performance of ammonia removal at FMWRD, we believe



1 that that facility can meet the proposed standards.

2           The agreements reached with the  
3 representatives of that facility are no different  
4 than any other type of negotiation.

5           The Agency stands by its comments on page  
6 34.

7       MR. STUDER: The answer to (a) is the Agency has  
8 been accepting site-specific data collected by  
9 dischargers since the 1980s.

10           Prior to 1987, it was common to have ammonia  
11 nitrogen limits in an NPDES permit that applied only  
12 when ammonia nitrogen and the receiving stream  
13 exceeded the water quality standards.

14           With the amendments to the Clean Water Act  
15 in 1987, this approach was no longer consistent with  
16 the Clean Water Act.

17           USEPA indicated that ammonia nitrogen  
18 effluent limits must be calculated for all  
19 dischargers that have reasonable potential to cause  
20 or contribute to ammonia water quality standards  
21 violations.

22           In deriving these limits, receiving stream  
23 data collected by the discharger was used when  
24 available.

1 USEPA has never objected to the use of this  
2 data. Historically USEPA has encouraged the use of  
3 site-specific data when available.

4 Furthermore, some states like Ohio require  
5 dischargers to gather this data so that the data base  
6 may be used in calculating permit limits.

7 It would be extremely unlikely that USEPA  
8 would object to the use of this data in determining  
9 appropriate permit limits for FMWRD.

10 MR. MOSHER: (b) and (c) we would like to give  
11 our answer all at once, and Dean has part of the  
12 answer after I'm finished.

13 The Fox River study did not shed additional  
14 light on the particular compliance situation of  
15 FMWRD.

16 All wastewater treatment providers face  
17 future variables that may influence the type of  
18 treatment needed.

19 The Agency can only comment when and if such  
20 realities occur.

21 During the first hearing for R94-1, Joel  
22 cross was asked if the Agency's proposal would assure  
23 that the Fox River would meet water quality  
24 standards.

1           His reply found on page 55 of the transcript  
2 was as follows: "Yes." The Fox River will continue  
3 to meet water quality standards for ammonia as  
4 proposed."

5           Again at page 67 of the transcripts for the  
6 second hearing, I stated that: "We've gone on record  
7 to say that the Fox River, for example, is not  
8 violating the ammonia standards, and that statement  
9 was made in terms of the data we have available at  
10 our chemical sampling stations. Those sampling  
11 station are not located in mixing zones or even very  
12 near mixing zones in most cases."

13           Again at page 161, I state: "There are six  
14 Agency chemical monitoring stations on the Fox River,  
15 for example, and of the ammonia data that we collect  
16 at those stations, we have no known violations."

17           The water quality study conducted by  
18 Mr. Huff and the various participating communities  
19 which consisted of sampling the river from bridges  
20 confirms the Agency's statements.

21           No ammonia violations are likely in the Fox  
22 River at locations removed from treatment plants.

23           On pages 161 and 162 of the transcripts from  
24 the second hearing, I went on to describe the

1 potentially troublesome areas on the Fox River with  
2 regard to ammonia.

3           These areas were identified as localities in  
4 and near the mixing zones of dischargers that are not  
5 removing ammonia down to monthly average levels of  
6 1.5 milligram per liter summer and 4.0 milligram per  
7 liter winter.

8           While I state here and at other times during  
9 the hearing process that the Agency has no instream  
10 biological data from these stations, inferences from  
11 several sources indicate that ammonia concentrations  
12 detrimental to the well being of aquatic life do  
13 exist in the river.

14           These include laboratory data on the  
15 toxicity of ammonia to many aquatic species,  
16 monitoring of effluent ammonia concentrations, and  
17 whole effluent toxicity testing conducted on several  
18 Fox River community sewage treatment plants.

19           Mr. Huff's Fox River study sheds no  
20 additional light on the degree of impact at these  
21 locations since he only collected chemical data at  
22 bridges far from effluent outfalls and did not  
23 collect any biological data whatsoever.

24           This study does not refute the Agency's

1 assertions of localized ammonia impacts in the Fox.

2           Mr. Huff does provide some testimony about  
3 what kind of fish are being caught at some locations  
4 on the Fox River, namely, at the point of effluent  
5 dischargers.

6           The Agency believes that Mr. Huff is placing  
7 far too much emphasis on observations and  
8 testimonials of fishermen.

9           We do not doubt at times fish will utilize  
10 the effluent plumes of Mr. Huff's clients for  
11 feeding or other activities.

12           We believe, however, that this is a  
13 transient presence at the treatment plants he  
14 mentioned.

15           These plants are known to produce high  
16 effluent ammonia concentrations. On some days the  
17 ammonia effluent concentrations have been quite low,  
18 at times less than one milligram per liter total  
19 ammonia nitrogen.

20           On other days, the ammonia concentration is  
21 drastically higher. For example, the Agency measured  
22 total ammonia concentrations of 36.5 milligrams per  
23 liter in the City of Rock Falls wastewater treatment  
24 plant effluent on January 19th, 1993, 26.0 milligrams

1 per liter on November 14th, 1990, and 20.3 milligrams  
2 per liter on February 2nd, 1993.

3           Between July 1987 and July 1993, the Agency  
4 found total ammonia concentrations in excess of ten  
5 milligrams per liter in over 26 percent of the  
6 samples collected.

7           It is highly unlikely that reports of good  
8 fishing and the effluent plume could be obtained  
9 whenever effluent ammonia concentrations approach  
10 these levels.

11           Likewise, at the City of St. Charles  
12 Wastewater Treatment Plant, the Agency measured  
13 effluent ammonia concentrations of 17.0 milligrams  
14 per liter on July 24, 1990, 16.4 milligrams per liter  
15 on May 13, 1993, and 15.6 milligrams per liter on  
16 July 11th, 1990.

17           Effluent ammonia concentrations exceeding  
18 ten milligrams per liter were found in over  
19 thirty-two percent of the samples collected.

20           Fortunately adult fish are able to sense and  
21 avoid toxic concentrations of ammonia.

22           Sessile organisms such as muscles and some  
23 other types of invertebrates, however, cannot get out  
24 of the way when toxic ammonia concentrations are

1 present.

2           These organisms are not likely to be  
3 observed by fishermen, yet they remain a vital part  
4 of the aquatic ecosystem that the Agency's proposed  
5 ammonia standards are designed to protect.

6           Fish eggs and nonmotile fish larvae also  
7 would have no way of avoiding exposure to toxic  
8 ammonia concentrations from either of these or  
9 several other effluents.

10           The Agency has demonstrated the toxic nature  
11 of effluents due to ammonia from many of the  
12 represented communities.

13           Improved ammonia treatment or enhanced  
14 mixing at some wastewater treatment plants appears to  
15 be necessary to avoid the localized impacts we  
16 believe are present.

17           The proposed standards are necessary to  
18 fully protect the aquatic life resources of all  
19 Illinois rivers and streams.

20           While the Agency has stated many times that  
21 there is no present or predicted violation of ammonia  
22 standards in these rivers over their total area,  
23 there is no doubt that the effluent concentrations  
24 described above have impacted aquatic life and caused

1 localized exceedances of standards.

2           An analogy illustrating this impact may be  
3 useful. Think of a forest instead of a river and  
4 forest dwelling birds instead of fish.

5           In this example, a 100 acre plot of  
6 continuous forest habitat exists. It is populated by  
7 birds of various species which nest and feed in the  
8 trees.

9           A ten acre plot is cut down and planted to  
10 lawn grasses. This event has not impacted the  
11 remaining 90 acres of forest.

12           The same birds still feed and nest there.  
13 But in the grassy area, no nesting occurs.

14           A few of the bird species can find food on  
15 the lawn, but this is intermittent since the grass is  
16 unavailable when it is covered with snow and while it  
17 is being mowed.

18           The overall production of birds is now  
19 reduced in the forest because less acreage of habitat  
20 is fully available to them.

21           A river would incur the same reduction in  
22 productivity as habitat is removed from full  
23 utilization, whether from physical changes or  
24 chemical impact such as ammonia toxicity.



1 MR. STUDER: I have a follow up with that, too.

2 MR. CUNNINGHAM: I'll wait until it's all over.

3 MR. STUDER: Okay. I bet you can hardly wait.

4 On January 31st, 1986 representatives from the City  
5 of St. Charles met with the Agency to discuss a  
6 permitting issue.

7 After this meeting representatives from the  
8 City of St. Charles were joined by Attorney Roy Harsh  
9 and consultant, Jim Huff, for a meeting to discuss a  
10 study entitled Ammonia Water Quality Study on the Fox  
11 River from Flint Creek near Barrington to Black Berry  
12 Creek Near Yorkville.

13 This study has been entered into the record  
14 in this proceeding. This study was planned in  
15 cooperation with the Agency.

16 The purpose of the study was to confirm or  
17 refute allegations by USEPA that ammonia was  
18 accumulating in the Fox River and that ammonia  
19 concentrations increased as you proceed toward the  
20 mouth of the river.

21 As concluded by Mr. Huff, the Agency agrees  
22 that the study refutes USEPA's argument along this  
23 line.

24 Furthermore, as indicated by Mr. Huff, the

1 Agency agrees that the data as presented in the  
2 report does not indicate substantial violations of  
3 ammonia nitrogen water quality standard on a river  
4 wide basis.

5           However, this does not mean that individual  
6 discharges are in compliance with the ammonia water  
7 quality standards.

8           The purpose of the study was to augment data  
9 from the Agency's ambient stations on the Fox River,  
10 to aid in the establishment of meaningful ammonia  
11 nitrogen permit levels for individual dischargers.

12           When establishing such ammonia nitrogen  
13 limits, the Agency must consider all Board  
14 regulations including allowed mixing.

15           To accurately measure the compliance of  
16 individual dischargers, the selection of sampling  
17 stations must be in close proximity to the discharge  
18 point.

19           To illustrate this point I have prepared a  
20 revised page 4.4 from the report. This revised  
21 figure uses the river miles from pages 4-2 and 4-3 of  
22 the report.

23           As you'll be able to see from the figure,  
24 many of the sampling points are not close enough to

1 point sources to accurately measure compliance.

2           Furthermore the Agency must continue to  
3 improve ammonia nitrogen effluent limits in NPDES  
4 permits for all point source dischargers that have  
5 the reasonable potential to cause or contribute to  
6 exceedences of ammonia nitrogen water quality  
7 standards.

8           This is a Federal requirement and is  
9 described in 40 CFR Section 122.44(d)(1)(i).

10       MR. CUNNINGHAM: Is that all?

11       MR. STUDER: That's it.

12       MS. HOWARD: Except for the exhibit.

13       THE HEARING OFFICER: Is that the revised river  
14 diagram?

15       MS. HOWARD: Right.

16       THE HEARING OFFICER: This will be Exhibit 47.  
17 Just for clarification, this is a revised river  
18 diagram, figure 4.1 that's from the --

19       MR. STUDER: It's on page 4-4.

20       THE HEARING OFFICER: 4-4 of the ammonia water --

21       MR. STUDER: If you actually go to pages 4-2 and  
22 4-3, there are various river miles that are given in  
23 there.

24               This just sticks the river miles next to the

1 actual points of interest on the Fox River.

2 MR. CUNNINGHAM: Now, this is a lot of little  
3 things on here.

4 THE HEARING OFFICER: Maybe we should leave this  
5 to go over when we do Mr. Huff's testimony.

6 MR. CUNNINGHAM: Sure. Let's at least put it  
7 aside for now. It may well take a little looking  
8 at.

9 Let me start by asking this: In light of  
10 the recently completed Fox River study, does the  
11 Agency believe that it would be appropriate for Fox  
12 Metro to install additional ammonia removal  
13 facilities if any of its concerns should occur?

14 That's subsection B of 43, the question I  
15 just asked.

16 MR. MOSHER: Do you want me to read it again?

17 MR. CUNNINGHAM: No. I'd rather have you answer  
18 the question really.

19 Is the upshot of what you said that, yes,  
20 you believe it may be appropriate for Fox METro to  
21 add additional ammonia treatment?

22 MR. MOSHER: We previously stated that we think  
23 with the existing level of treatment at Fox Metro  
24 that they can meet the proposed standards.

1 MR. CUNNINGHAM: But isn't it true that Fox Metro  
2 has indicated concerns as to whether that, in fact,  
3 is true?

4 MR. MOSHER: From our information, and I believe  
5 a little later on here we'll be providing additional  
6 input on this, but from our information, we think  
7 they can meet the proposed standards that is in the  
8 here and now and does not mean that we make any  
9 comment about what the future may hold because we  
10 just can't predict things like that.

11 MR. CUNNINGHAM: But the Agency at this present  
12 time does not believe that additional ammonia  
13 treatment is necessary at Fox Metro?

14 MR. MOSHER: No.

15 MR. CUNNINGHAM: Okay. Now, I believe you stated  
16 something along lines of there being no doubt of  
17 localized toxicity based upon some effluent data that  
18 you had and effluent testing.

19 Rock Falls isn't on the Fox River, right?

20 MR. MOSHER: You're right, it's on the Rock  
21 River.

22 MR. CUNNINGHAM: Okay. What effluent level would  
23 you believe if it were exceeded would cause instream  
24 toxicity in the Fox River?

1 MR. MOSHER: Well, we've done a lot of work to  
2 arrive at toxicity based ammonia water quality  
3 standard package.

4 And that's one of the main reasons we have  
5 standards is they're thought to be protective, so  
6 we'll stand by our standards and say you should meet  
7 those standards to avoid toxicity.

8 MR. CUNNINGHAM: When you say those standards,  
9 are you talking about the effluent limits that would  
10 be derived using the Agency's --

11 MR. MOSHER: No. Water quality standards 302.

12 MR. CUNNINGHAM: But you aren't aware of any  
13 instream water quality violations in the Fox River,  
14 are you, monitored?

15 MR. MOSHER: No. We don't have any monitoring  
16 data in those locations.

17 MR. CUNNINGHAM: So how can you be sure that  
18 there's toxicity?

19 MR. MOSHER: By inferring the effluent  
20 concentration that you start out with with the  
21 dilution that may be occurring at different sites,  
22 that's one good way to do it.

23 And another good way to do it is to do whole  
24 effluent toxicity tests as we have done.

1 MR. CUNNINGHAM: But isn't the question of  
2 whether that -- well, are you saying that -- are you  
3 saying that there's no doubt that there would be  
4 localized toxicity outside of an appropriate mixing  
5 zone?

6 MR. MOSHER: Right. We've determined that the  
7 identified dischargers don't have large enough mixing  
8 zones to meet these proposed standards.

9 MR. CUNNINGHAM: Do you have any data or  
10 calculations to support that?

11 MR. MOSHER: The calculations done to produce the  
12 famous Exhibit S, that's the calculations we did.

13 MR. CUNNINGHAM: But that's based on a mass  
14 balance calculation procedure, correct?

15 MR. MOSHER: Right.

16 MR. CUNNINGHAM: I thought you just said that  
17 that wasn't what you were basing that on.

18 MR. MOSHER: That's one of the reasons I cited  
19 that you can take the concentrations of ammonia in  
20 the effluents, add in the available mixing and find  
21 that the water quality standard is still exceeded  
22 outside the allowable mixing zone.

23 MR. CUNNINGHAM: Under worst case conditions as  
24 determined through the mass balance calculation,

1 correct?

2 MR. MOSHER: Right.

3 MR. CUNNINGHAM: So that statement is dependent  
4 upon the use of the mass balance calculation  
5 procedure?

6 MR. MOSHER: Yes.

7 MR. CUNNINGHAM: Okay. Do you recall the last  
8 time any -- are you aware of any effluent toxicity  
9 testing that has been done at any of the dischargers  
10 to the Fox River which has demonstrated that there  
11 would be instream toxicity outside of an appropriate  
12 mixing zone?

13 MR. MOSHER: No. I have not equated the results  
14 of those toxicity tests, and the resultant LC50  
15 values which indicate the amount of toxicity present  
16 with any dilution equations or mass balance  
17 equations, no.

18 MR. CUNNINGHAM: Okay. I'm going to move on.  
19 Forty-four, what are Kankakee's present  
20 effluent levels? I bet we have another chart.

21 MR. VANCE: No.

22 The average effluent level of the 28 Agency  
23 grab samples analyzed from February 1990 to April of  
24 1995 is 3.3 milligrams per liter for the maximum



1 concentration of these same samples being 22.1  
2 milligrams per liter in April of 1992.

3 Ammonia data is not presented in Kankakee's  
4 discharge monitoring reports.

5 MR. CUNNINGHAM: (a) what would the effluent  
6 limits be based upon the proposed acute standards?

7 MR. VANCE: Daily maximum effluent limits based  
8 on proposed standards would be 4.1 milligrams per  
9 liter in the winter and 3.6 milligrams per liter in  
10 the summer.

11 These effluent limits are based on pH values  
12 of 8.2 in the summer and 8.3 in the winter and  
13 temperature values of 24.3 in the summer and 5.5  
14 degrees C in the winter.

15 These calculations were done on November  
16 21st -- 24th, 1993 as part of the initial compliance  
17 evaluation.

18 These effluent limits also take into  
19 consideration the Agency's mixing zone guidance  
20 document as it pertains to a zone of additional  
21 dilution.

22 MR. CUNNINGHAM: (b) Does Kankakee concur with  
23 the Agency's determination that Kankakee would not  
24 incur any compliance costs if the Agency's proposal

1 is adopted?

2 MR. MOSHER: The Agency estimates that Kankakee  
3 Metro Sanitary District will not incur the costs  
4 predicated in our original testimony.

5 This decision was based on the data  
6 available to the Agency concerning both the increased  
7 ammonia removal efficiency achieved at the plant and  
8 on the assumption that sight specific pH and  
9 temperature data collected in the Kankakee river in  
10 the vicinity of the outfall would prove more  
11 favorable than that which was used by the Agency in  
12 its original estimate collected many miles  
13 downstream.

14 I don't know if Kankakee concurs with this  
15 opinion.

16 MR. CUNNINGHAM: Forty-five, on page 37 of its  
17 comments, the Agency states that advanced supernatant  
18 return systems have proven successful in reducing  
19 ammonia nitrogen in the effluent at other plants.

20 Please identify these plants and provide  
21 performance data.

22 MR. MOSHER: I believe that the Fox Metro Water  
23 Reclamation District and the Peoria Sanitary District  
24 use such systems.

1           A profile of effluent ammonia concentrations  
2 at the Fox Metro shows an improvement and final  
3 effluent ammonia concentrations after the initiation  
4 of this process.

5           The process change was completed at Fox  
6 Metro on or about March 1992, and we have a data  
7 table to pass out that shows that there was a  
8 significant improvement around about that date.

9           THE HEARING OFFICER: This will be Exhibit 48.

10          MR. MOSHER: What we were given was March '92.

11          THE HEARING OFFICER: Mary, do you have a  
12 point --

13          MS. ROSS: Yes. We wanted to follow up on the  
14 whole series of questions that preceded this one, if  
15 possible, a general question, is that possible?

16          THE HEARING OFFICER: Okay. Go ahead.

17          MS. ROSS: We're confused about this monitoring.  
18 Your charts are based on the Agency's monitoring; is  
19 that correct?

20          MR. VANCE: By chart --

21          MS. ROSS: You have a whole series of charts  
22 regarding questions about Libertyville, Colona and  
23 other plants.

24          MR. VANCE: Those are from discharge monitoring

1 reports.

2 MS. ROSS: Those are discharge monitoring  
3 reports?

4 MR. VANCE: At Libertyville and Colona.

5 MS. ROSS: So this they are monitoring on a  
6 regular basis, submitting reports to you on a regular  
7 basis?

8 MR. VANCE: Right.

9 MR. PAULSON: My name is Jerry Paulson, I'm with  
10 the Sierra Club also and friends of the Fox River.

11 You don't have that monitoring data for any  
12 of these dischargers on the Fox River other than what  
13 you just handed out to make -- even though it sounds  
14 like you have a concern that they may be violating  
15 standards?

16 MR. STUDER: I think the answer to your question  
17 was we were not asked to provide those.

18 We were responding to specific questions by  
19 the Ammonia Group for specific facilities.

20 MR. PAULSON: You do have monitoring data for  
21 those facilities?

22 MR. STUDER: If they have an ammonia effluent  
23 limit in their NPDES permit, they are required to  
24 monitor ammonia in their discharge for compliance

1 with that limit.

2 MR. PAULSON: How many of those facilities would  
3 you estimate have those limits?

4 MR. STUDER: On Fox, I can't even give you an  
5 estimate.

6 MR. MOSHER: Probably more do not have ammonia  
7 limits than do.

8 And if we don't have ammonia limits in a  
9 permit, the Agency does have its own sampling data of  
10 the effluent in most cases.

11 And Steve read some ranges of data from  
12 Kankakee, I believe that was Agency data.

13 MR. VANCE: Kankakee was one of them. Basically  
14 if there was information from discharge monitoring  
15 reports, I think all these tables I passed out,  
16 they're from discharge monitoring reports.

17 The effluent levels that I've read are from  
18 the Agency's grab samples.

19 MR. PAULSON: Well, I'm wondering why you don't  
20 have monitoring requirements for these Fox River  
21 dischargers if you think there could be a problem.

22 MR. STUDER: If we think there's a problem they  
23 got an NPDES permit limit or they have a monitoring  
24 requirement of the permit.

1           If we've determined that the facility is  
2 extremely small, for example, and has an allowable  
3 mixing that will not have the reasonable potential to  
4 exceed the water quality standard, there's no point  
5 in putting a permit limit in their NPDES permit,  
6 therefore, those we don't not have data on because  
7 they would not be required to monitor their ammonia  
8 levels.

9           MR. PAULSON: So the data is, therefore, the  
10 problem ones, you just haven't presented it?

11          MR. STUDER: That would be correct.

12          THE HEARING OFFICER: Turn back to the prefiled  
13 questions from the Ammonia Group.

14          MR. CUNNINGHAM: Were you done on 45?

15          MR. MOSHER: Yes. We were done.

16          MR. CUNNINGHAM: So that's all the data you have  
17 on supernatant return systems?

18          MR. MOSHER: Yes.

19          MR. CUNNINGHAM: Okay. Forty-six, also on page  
20 37, the Agency states that it appears that Rock Falls  
21 will be able to comply with the proposed acute  
22 standards with no additional expense incurred.

23                 However, if new instream pH values do not  
24 demonstrate compliance, isn't the compliance cost

1 estimated at 2.5 million?

2 MR. MOSHER: The Agency is not aware of a cost of  
3 2.5 million as being estimated at Rock Falls.

4 If ammonia concentrations can be brought  
5 down by the improvements mentioned, existing pH and  
6 temperature data from the Agency's ambient water  
7 quality monitoring network can continue to be used  
8 because in that case more favorable pH and  
9 temperature values will not be necessary to  
10 demonstrate compliance.

11 MR. CUNNINGHAM: Forty-seven, on page 38 of its  
12 comments, the Agency states that the Agency will  
13 consider alternatives to Sterling's current mixing  
14 zone characterization to resolve concerns regarding  
15 compliance with the acute standards.

16 (a) What alternatives will be considered?

17 (b) If mixing zone alternatives fail to  
18 resolve Sterling's ammonia concerns, would a new  
19 nitrification facility be required?

20 (c) Does the Agency agree that such a  
21 facility could cost \$10 million?

22 MR. MOSHER: (a) The receiving stream at Sterling  
23 presented the Agency with a situation not previously  
24 encountered in our experience with mixing zones.

1           In order to improve mixing and meet the  
2 proposed standards under the present mixing zone  
3 implementation procedures, a high rate diffuser would  
4 be needed.

5           However, to install the diffuser, prime  
6 aquatic life habitat would have to be permanently  
7 destroyed.

8           It appears that more will be lost by  
9 installing a diffuser than will be gained by its  
10 operation.

11           This this particular case and in others like  
12 it, the Agency must weigh the balance of  
13 environmental benefit.

14           (b) If fixing zone procedures do not provide  
15 adequate relief, then the -- then given the lagoon  
16 system existing at Sterling, a very substantial  
17 change in treatment would be required to meet the  
18 proposed standards.

19           An adjusted standard has been mentioned in  
20 resolving this particular issue without resorting to  
21 the complete replacement of Sterling's existing  
22 treatment plant.

23           (c) The Agency has not researched the cost  
24 of completely replacing the existing facility at



1 Sterling.

2 MR. CUNNINGHAM: I'm still not sure what then  
3 these alternatives are.

4 Are you referring to an adjusted standard  
5 there or are you referring to -- you state -- it's  
6 stated alternatives to Sterling's current mixing zone  
7 characterization.

8 What alternatives are you talking about?

9 MR. MOSHER: We're looking at the implementation  
10 of Agency procedures to grant a zone of initial  
11 dilution.

12 We're saying we have to relook at that  
13 because here's a case where we don't want them to put  
14 in a high rate diffuser and do more harm than good,  
15 so never having encountered that before, our mixing  
16 zone procedures have to be re-evaluated.

17 And we think that we can just recognize this  
18 fact that we find at Sterling in that -- those  
19 procedures, therefore, we can give them a zone of  
20 initial dilution that will allow them to meet the  
21 proposed standards.

22 MR. CUNNINGHAM: Okay. So they may be able to  
23 come up with a ZID that's of a somewhat different  
24 size that the general Agency procedures right now

1 would allow for.

2 MR. MOSHER: Because of this unique case, we are  
3 at least thinking about that alternative.

4 MR. CUNNINGHAM: It is the Agency's belief that  
5 it should not be necessary to construct major new  
6 facilities?

7 MR. MOSHER: That's what I said.

8 MR. CUNNINGHAM: Okay. Forty-eight, do  
9 Charleston, Mattoon, Sandwich, Decatur, O'Fallen,  
10 Hillsboro and Clinton have reopener clauses in their  
11 permits with respect to R94-1?

12 (a) Does the Agency believe that their  
13 current ammonia effluent limits are appropriate?

14 (b) Can these permit limits be relaxed based  
15 on R94-1?

16 (c) Have or are any of the seven  
17 municipalities planning to appeal their NPDES permit  
18 limits?

19 MR. STUDER: Charleston, Mattoon, Sandwich and  
20 Clinton have NPDES permits issued in final form that  
21 contain reopener clauses with respect to R94-1.

22 NPDES permits, with similar reopener language  
23 have been drafted for Decatur, O'Fallon and  
24 Hillsboro.

1 Hillsboro's NPDES permit has gone through  
2 the public notice process and should be finalized in  
3 the near future.

4 Additionally, this week the Agency has  
5 identified one more facility, Bellville, Area 1,  
6 whose NPDES permit will be drafted with a compliance  
7 schedule for ammonia nitrogen similar to the seven  
8 facilities mentioned above.

9 The answer to (a): The monthly average  
10 ammonia limits in these permits or draft permits as  
11 the case may be are 1.5 and 4.0 milligram per liter  
12 summer, winter.

13 However, the 4.0 milligrams per liter winter  
14 monthly average ammonia nitrogen limit has a  
15 reasonable potential to cause or contribute to an  
16 exceedance of the current 0.04 milligram per liter  
17 un-ionized ammonia nitrogen water quality standard.

18 As such, these permits or draft permits  
19 contain a thirty-six month compliance schedule to  
20 meet a more stringent winter monthly average ammonia  
21 nitrogen effluent limit.

22 In each of these permits or draft permits,  
23 the winter monthly average ammonia nitrogen effluent  
24 limits that become effective thirty-six months after

1 the effective day of the permit or draft permits is a  
2 limit that the Agency has determined will not cause  
3 or contribute to an exceedance of the current ammonia  
4 nitrogen water quality standard.

5 (b) The ammonia nitrogen limits in effect  
6 today in these permits or draft permits as the case  
7 may be would not be relaxed by any provisions  
8 contained in R94-1.

9 And the answer to (c), in the cases of  
10 Sandwich, Clinton, Mattoon and Charleston, the  
11 thirty-five day time frame for appeal has passed.

12 I am unaware of any -- I am unaware of an  
13 appeal having been filed for any of the four.

14 In the cases of Hillsboro, O'Fallon and  
15 Decatur, the final permit has not yet been issued,  
16 and I cannot state if any municipality is planning to  
17 appeal.

18 MR. CUNNINGHAM: Going back to the relaxation  
19 based upon R94-1, you said they could not be  
20 relaxed?

21 MR. STUDER: What I said they would not be  
22 relaxed by any provision of R94-1.

23 MR. CUNNINGHAM: But if R94-1 were adopted,  
24 wouldn't something be done with respect to their

1 compliance schedule, that they would no longer have  
2 to meet these more stringent limits?

3 MR. STUDER: The permit contains language that  
4 allows the Agency to reopen and modify that permit  
5 with public notice based on the outcome of R94-1.

6 MR. CUNNINGHAM: How is that different from  
7 relaxing the permit limits?

8 MR. STUDER: Because the permit limits right now  
9 are 1.5 and 4.

10 The more stringent winter limit does not go  
11 into effect until thirty-six months after the  
12 effective date of the permit.

13 MR. CUNNINGHAM: Because of that, then there  
14 would also be -- you would avoid any nondegradation  
15 problem?

16 MR. STUDER: What I'm saying is we have the right  
17 based on R94-1 to go back and re-open the permit  
18 contained within the language.

19 MR. CUNNINGHAM: Okay. Let's see, forty-nine,  
20 for states with warm water and cold water  
21 designations, are the designations generally based  
22 upon whether salmonids are native to those waters?  
23 That's (a).

24 And (b), do the values apply year round?

1 MR. VANCE: Yes. I believe that is one of the  
2 criteria for cold water designations in most of the  
3 state referenced in the Agency testimony.

4 However, Ohio uses both a cold water  
5 designation and a seasonal salmonid designation.

6 MR. CUNNINGHAM: Do the values apply year round?

7 MR. VANCE: To my understanding, chronic values  
8 used by the various states do apply year round.

9 MR. CUNNINGHAM: In Illinois, is it true that  
10 there are not any salmonid waters or what would be  
11 referred to as cold waters other than what is it --  
12 Picasaw Creek, that the Agency is aware of.

13 MR. MOSHER: That's the only one we know of other  
14 than Lake Michigan. And, of course, Lake Michigan  
15 has its own ammonia standard.

16 MR. CUNNINGHAM: Fifty, isn't it true that the  
17 revised cost estimates of compliance set forth at  
18 page 39 of the Agency's comments do not include:

19 (a) cost imposed upon non-major  
20 dischargers?

21 (b) The incremental costs imposed upon  
22 facilities which the Agency has determined are in  
23 compliance with existing rules but which would  
24 require greater expenditures to meet the proposed

1 standards?

2 (c) Costs imposed upon facilities which can  
3 comply with the proposed standards at present loads  
4 and flows which may lose that ability prior to  
5 reaching design loads and flows?

6 (d) Costs imposed upon facilities which may  
7 not qualify for EMW relief for failure to meet the  
8 EMW criteria other than the 1.5/4.0 best degree of  
9 treatment criterion?

10 (e) Costs which would be imposed if the  
11 USEPA disagrees with the Agency's determinations of  
12 appropriate mixing zones or monitoring points for  
13 establishing 75th percentile pH and temperature  
14 values?

15 MR. MOSHER: (a) Yes.

16 (b) The Agency believes that the only costs  
17 to facilities that do not meet existing standards  
18 will be to meet 1.5 and 4.0 milligram per liter  
19 limits.

20 These costs are applicable weather new  
21 standards are adopted or not.

22 (c) We have never made predictions on what  
23 might be the future compliance situation of any  
24 plant.

1           We don't believe that such predictions are  
2 feasible given the vast assortment of potential  
3 variables the future may hold.

4           (d) Based on the Agency's answer to question  
5 31, facilities that receive 1.5 and 4.0 milligram per  
6 liter limits in their NPDES permit will be required  
7 after a compliance period and a subsequent period of  
8 stream response to the new reduced ammonia discharges  
9 to demonstrate that their receiving stream is not  
10 adversely impacted by conducting biological stream  
11 surveys.

12           The cost of the surveys will be the only  
13 cost brought about by R94-1 at such facilities.

14           (e) There is nothing unique about these  
15 proposed standards that makes them any more or less  
16 subject to USEPA oversight.

17           The Agency can only assume based on past  
18 practices that the USEPA will approve what the Agency  
19 has done.

20       MR. CUNNINGHAM: Okay. So isn't it true that the  
21 revised cost estimates of compliance set forth at  
22 page 39 of the Agency's comments do not include any  
23 of these costs?

24       MR. MOSHER: Yeah. And the main reason is we



1 don't believe they are valid costs for R94-1.

2 MR. CUNNINGHAM: In terms of (d) you're talking  
3 about the only cost being the cost of the survey.

4 If the survey shows ammonia impairment, then  
5 there is going to be a cost imposed, is there not,  
6 beyond the cost of that survey?

7 MR. MOSHER: There may be, yes.

8 MR. CUNNINGHAM: Okay. Fifty-one, would a  
9 discharger to a stream which the Agency has  
10 determined is degraded based upon its MBI and which  
11 has some -- has had some instream un-ionized ammonia  
12 levels above the proposed chronic standards be  
13 precluded from designation as a discharger to EMW?

14 MR. MOSHER: In the Agency's experience, this is  
15 a rare event.

16 If Agency biologists have determined that  
17 the receiving stream is impacted due to ammonia, one  
18 of the provisions for effluent modified waters is not  
19 met and, therefore, this designation can't be  
20 applied.

21 If the discharger to that stream does not  
22 already have 1.5 and 4 permit limits, an opportunity  
23 for corrective action can be given according to the  
24 Agency's answer to question 31.

1 MR. CUNNINGHAM: What if he already has a 1.5 and  
2 4?

3 MR. MOSHER: Again you're asking me to comment  
4 about something I've never seen after all these many  
5 surveys the Agency has taken.

6 And as I said before, you again look at what  
7 further ammonia removal can be done in that -- at  
8 that facility.

9 MR. CUNNINGHAM: Fifty-two, and I pointed out to  
10 Margaret there's a mistake here, and actually the  
11 mistake is probably bigger than I told her.

12 I'll read this the way it really should have  
13 been and see what that does to your answer.

14 Fifty-two, would a discharger to a stream  
15 which the Agency has determined is degraded due to  
16 dissolved oxygen depletion which discharges ammonia  
17 at above background levels be precluded from  
18 designation as a discharger to EMW?

19 MS. HOWARD: At above background levels?

20 MR. CUNNINGHAM: Yes.

21 MS. HOWARD: So you take out "in compliance with  
22 permit limits"?

23 MR. CUNNINGHAM: Yes, in compliance with permit  
24 limits, right. And BOD becomes ammonia as I did

1 point out.

2 MS. HOWARD: Right.

3 MR. STUDER: What's the background level?

4 MR. CUNNINGHAM: Whatever the background level  
5 is.

6 You determine a background level and you  
7 find out ammonia is being discharged at greater than  
8 that level.

9 MR. STUDER: That's going to depend on a lot of  
10 things in there.

11 One, if the discharger is discharging -- I  
12 assume at this point there's no permit limits for  
13 ammonia in there?

14 MR. CUNNINGHAM: I don't really care, either  
15 way.

16 Let's say there are none. Fine.

17 MR. STUDER: I think in hey case like that, if  
18 the Agency has made a determination that there is  
19 ammonia degradation and there's no permit limits, I  
20 think our first line of approach would be to provide  
21 permit limits of one and a half and four, allow that  
22 discharger a compliance period to obtain those limits  
23 and then we could come back and re-evaluate.

24 MR. CUNNINGHAM: I'm not saying that there has

1 already been a finding of ammonia impairment.

2 I'm saying that there has been a  
3 determination of degradation due to dissolved  
4 oxygen.

5 MR. STUDER: What size stream are we talking  
6 about?

7 MR. CUNNINGHAM: An intermittent stream,  
8 perennial stream.

9 MR. STUDER: Do you want to provide a name?

10 MR. CUNNINGHAM: Cedar Creek.

11 MR. STUDER: Under the Agency's proposal, any  
12 stream reach that has uses known to be adversely  
13 impacted by ammonia would be precluded from obtaining  
14 EMW status.

15 As discussed at earlier hearings, the Agency  
16 has committed to promulgating rulemaking implementing  
17 EMW procedures.

18 Because the details of these procedures are  
19 not yet completely worked out and because the Agency  
20 has no sure way of knowing exactly what conditions  
21 the Board would impose on EMW's, should the Board  
22 adopt R94-1, I cannot give a definitive answer.

23 However, in attempting to provide the Board  
24 with enough information to make an informed decision

1 on this matter, I'll offer the following.

2           If the dissolved oxygen depletion is being  
3 caused by ammonia and the dissolved oxygen depletion  
4 is causing use impairment in the receiving stream,  
5 then it would appear that ammonia is at least part of  
6 the cause of use impairment.

7           As long as ammonia is causing use impairment  
8 in the receiving stream, the designation of EMW  
9 cannot be given to that water body under the Agency's  
10 proposal.

11           Furthermore, if the ammonia limits in an  
12 NPDES permit are so high or in this case do not exist  
13 as to allow depletion of dissolved oxygen below the  
14 dissolved oxygen water quality standard, the Agency  
15 would probably tighten effluent limits contained in  
16 the permit.

17           In the case of dissolved oxygen water  
18 quality standards violation, the Agency may require a  
19 reduction in both ammonia limits and other oxygen  
20 depleting wastes such as BOD pursuant to the  
21 provisions of 35 Illinois Administrative Code  
22 304.105.

23           It is the Agency's intention to afford the  
24 opportunity to each discharger that currently has

1 ammonia impairment in their receiving stream to  
2 construct hardware to remove the impairment in order  
3 to subsequently qualify for EMW designation.

4 MR. CUNNINGHAM: Okay. You talked there in terms  
5 of causing -- ammonia causing dissolved oxygen levels  
6 to be exceeded.

7 Do you mean causing or causing or  
8 contributing to?

9 MR. STUDER: Causing or contributing, either one.

10 MR. CUNNINGHAM: So that if a facility is  
11 discharging to a water which has been determined to  
12 be degraded due to dissolved oxygen depletion, then  
13 isn't it true that any -- ammonia discharged at any  
14 level above background would be causing or  
15 contributing to that dissolved oxygen depletion?

16 MR. STUDER: I think the answer to that question  
17 is ammonia does deplete dissolved oxygen in receiving  
18 water.

19 However, the rate at which ammonia removes  
20 oxygen would have to be calculated based on the  
21 individual characteristics of that stream and a host  
22 of other streams' specific factors.

23 And to come out and to give general answers  
24 to a question without knowing each one of those

1 specifics is really something that cannot be done.

2 MR. CUNNINGHAM: But the Agency does intend to  
3 factor into its ammonia effluent limits the impact  
4 that that may have on instream dissolved oxygen?

5 MR. STUDER: The bottom line is that there's a  
6 board regulation, 304.105 that allows the Agency to  
7 tighten effluent limits in cases where there is  
8 violations of water quality standards.

9 If you read 304.105, you will see that does  
10 not give a parameter by parameter basis, and if  
11 ammonia is determined to be causing dissolved oxygen  
12 violation, I think it would be fair to assume that  
13 the Agency would clamp down on the ammonia level in  
14 that permit.

15 MR. CUNNINGHAM: Okay. Fifty-three, how many  
16 stream miles in Illinois have been reported to  
17 Congress as having major impairment due to ammonia?

18 MR. MOSHER: 31.1 miles.

19 MR. CUNNINGHAM: And how many -- how does  
20 Illinois rank in this regard regarding states  
21 surrounding Illinois?

22 MR. MOSHER: The Agency doesn't make comparisons  
23 of that kind.

24 MR. CUNNINGHAM: I believe the Agency made a

1 comparison to say that Ohio had the greatest number  
2 of stream miles.

3           Why can't you make a determination with  
4 respect to Illinois?

5       MR. MOSHER: I don't believe we made any such  
6 comment about Ohio.

7           We said we thought there were many miles  
8 designated as a certain use designation in Ohio.

9       MR. CUNNINGHAM: Well, maybe my memory is worse  
10 than yours.

11       MR. VANCE: That came from Ohio's review. And  
12 that came from an ammonia work group worksheet that I  
13 had found at the Agency.

14       MR. CUNNINGHAM: And from that same sheet, can't  
15 you determine where Illinois stands?

16       MR. VANCE: No. It wasn't mentioned anywhere.

17       MR. STUDER: The rankings were not given, Lee.

18       MR. CUNNINGHAM: Okay.

19           (b) How many major dischargers are there in  
20 Illinois which discharge to streams the Agency has  
21 determined are ammonia impaired?

22       MR. MOSHER: The Agency has not made any all  
23 inclusive counts of these types of impact  
24 situations.



1 MR. CUNNINGHAM: Would that be difficult to do?

2 MR. MOSHER: It's not information that gets  
3 summarized.

4 It would more or less require a survey of  
5 all our field biologists and looking at their past  
6 reports and trying to pull together from a very large  
7 amount of data.

8 MR. CUNNINGHAM: Isn't there a 305(b) report  
9 which identifies the specific stream segments in  
10 Illinois which have major impairment due to ammonia  
11 from which you came up with this 31.1 mile figure?

12 MR. MOSHER: Yes. But the information in the  
13 305(b) report does not allow the linkage between  
14 certain dischargers and certain stream impairments.

15 It simply lists all the causes of impairment  
16 for a certain region, all the sources with no linkage  
17 between source and cause.

18 MR. CUNNINGHAM: Sure. But you have identified  
19 stream segments in that report that are ammonia  
20 impaired, and the Agency certainly has the  
21 information where major dischargers discharge, so  
22 wouldn't it be relatively simple to figure out how  
23 many major dischargers discharge within those  
24 impaired stream segments?

1 MR. MOSHER: Not real relatively simple at all.  
2 It would require as I said going back and  
3 talking talking to all the biologists who made those  
4 decisions and all their reports where those decisions  
5 that are recorded.  
6 MR. CUNNINGHAM: Why? I don't understand.  
7 THE HEARING OFFICER: You can move on. He is  
8 saying the information is not readily available.  
9 MR. CUNNINGHAM: But I don't understand how it  
10 can't be readily available.  
11 MS. HOWARD: First of all, that information, if  
12 it is contained in the 305(b) report, I think  
13 Mr. Cunningham can go through the 305(b) report and  
14 put that data together.  
15 MR. CUNNINGHAM: I don't have where all major  
16 dischargers discharge -- well, may be I do.  
17 MS. HOWARD: I think you do.  
18 MR. CUNNINGHAM: Is that included in the  
19 municipal data base?  
20 MS. HOWARD: That's the municipal data base, and  
21 then you have the copy of the 305 --  
22 MR. CUNNINGHAM: It may not be too hard for us to  
23 do.  
24 MS. MC FAWN: Are you saying that it's hard

1 because the dischargers might not be within the  
2 stretch?

3 MR. MOSHER: No. What I'm saying is there will  
4 be a reach of stream, and there will be possibly  
5 several, possibly a half a dozen different causes for  
6 impairment, metals, non-point sources of different  
7 types, agricultural construction, urban, all of those  
8 kinds of causes will be listed for a certain reach,  
9 and then all of the kinds of sources will be listed  
10 for that reach, livestock operation, eroding crop  
11 land, municipal dischargers, industrial dischargers  
12 and others, and there is no direct linkage to say  
13 that a certain industrial discharge, for example,  
14 caused a certain metals impact, they are not linked  
15 together.

16 MR. CUNNINGHAM: I'm not asking you to do that  
17 linkage.

18 I'm just saying, are there major dischargers  
19 to those stream segments that have been identified as  
20 being subject to major ammonia impairment?

21 MR. CARLSON: If you don't make that linkage,  
22 then you're then having all types of facilities  
23 causing all types of impairments.

24 How is that relevant to this proceeding at

1 all?

2 MR. CUNNINGHAM: Well, actually I kind of guessed  
3 that there's a pretty good shot that we do not have  
4 any major dischargers discharging to the stream  
5 segments.

6 MS. HOWARD: Well then maybe you would like us to  
7 present that data.

8 MR. CUNNINGHAM: Well, I'll take a look at it. I  
9 thought it might be something the Agency had done or  
10 could do.

11 MS. MC FAWN: I had one more question. You said  
12 sources are listed that impact these reaches, are  
13 those listed in the 305(b)?

14 MR. MOSHER: Yes.

15 MS. MC FAWN: Thanks.

16 DR. FLEMAL: Help me on this one, can you  
17 describe a little bit for us where and what nature  
18 these 31.1 miles are?

19 MR. MOSHER: Somewhere around eight miles of that  
20 31.1 miles we believe is Cedar Creek below  
21 Galesburg.

22 But beyond that, we don't have anything  
23 available to say.

24 DR. FLEMAL: 31.1 consists of what, a half a

1 dozen reaches collectively or is it more than that?

2 MR. MOSHER: Probably more than that. We could  
3 look that much up.

4 DR. FLEMAL: I'm trying to get some sense of  
5 where these are.

6 It doesn't include the upper Illinois River  
7 I take it?

8 MR. CROSS: We could easily provide that  
9 information the to you.

10 MS. HOWARD: Break down the 31.1?

11 MR. CROSS: Right.

12 DR. FLEMAL: I think it would help us to put this  
13 number into contexts of what streams we're actually  
14 talking about in the state.

15 MR. CUNNINGHAM: Okay.

16 MS. MC FAWN: That will help.

17 DR. FLEMAL: Actually let me interrupt once  
18 more.

19 Since we're on this issue of ammonia  
20 impairment, we're talking about numbers that have  
21 been specifically passed on to the Congress I take it  
22 as the result of some requirement that we so report.

23 We're not, however -- I take it you're not  
24 saying that these are the sole waters in Illinois

1 where you might apply a classification of ammonia  
2 impairment at some part of the time?

3 MR. CROSS: That would be correct. It's only  
4 based on those waters that we have actually monitored  
5 through our Agency's monitoring programs which may  
6 not cover all the waters of the state.

7 DR. FLEMAL: Thank you.

8 MR. CUNNINGHAM: Fifty-four, please explain how  
9 the Agency will determine the length of an EMW and  
10 whether a stream is ammonia impaired presuming that  
11 the Agency's proposal is adopted?

12 MR. STUDER: Again, I stress that the IEPA has  
13 made a comitment to spell this out through an Agency  
14 rulemaking process for implementing EMW.

15 Because the details of these proceedings are  
16 not yet completely worked out and because the Agency  
17 does not at this time know what conditions the Board  
18 would impose on EMW's should the Board even adopt our  
19 R94-1, I cannot provide a definitive answer.  
20 However, I can give you the basic concept.

21 When the Agency grants a disinfection  
22 exemption pursuant to 35 Illinois Administrative Code  
23 304.121(b), the Agency calculates the distance  
24 downstream that it will take a given discharger to

1 comply with the bacterial water quality standards for  
2 protected waters.

3           This is based on a first-order die-off  
4 equation. The Agency at this time is planning to  
5 calculate the stream reach for EMW's based on a  
6 similar first-order die-off method with an  
7 appropriate die-off coefficient.

8           MR. CUNNINGHAM: What about with respect to  
9 determining ammonia impairment?

10          MR. STUDER: I can't answer that one. That's  
11 done typically through our facility related stream  
12 surveys.

13          MR. CUNNINGHAM: Fifty-five, would the \$50  
14 million, and I'll now amend that to \$132 million, the  
15 Agency anticipates would be incurred unless the  
16 Agency's proposal is adopted have to be incurred if  
17 the Board adopted the amendments to that proposal  
18 offered by the IAWA and the Ammonia Group?

19          MR. STUDER: It could now run as high as \$132  
20 million based on my revised cost estimates given at  
21 the start of the hearing.

22                 If the amendments to this proposal suggested  
23 by IAWA and later further amended by the Agency and  
24 as agreed to by the language submitted earlier, if

1 these are adopted within a reasonable period of time,  
2 these costs could be saved.

3           Such cost savings would require that the  
4 Board adopt the proposed regulation prior to any of  
5 the affected facilities having constructed hardware.

6           However, the longer it takes the Board to  
7 adopt a proposal -- excuse me, let me start over.

8           However, the longer it takes the Board to  
9 adopt a proposal containing effluent modified waters  
10 the more it is going to cost these facilities.

11           Since facilities cannot be constructed  
12 overnight and since the planning of these  
13 construction projects cost money, it is likely that  
14 these facilities may have to spend money on the  
15 planning of the construction.

16           This money for planning purposes could be  
17 lost if the Board fails to adopt revisions to ammonia  
18 water quality standards in the near future.

19           If the Board adopts the revisions by the  
20 Ammonia Group, the compliance cost will likely be  
21 higher than 132 million.

22           Since USEPA has already indicated that they  
23 will not approve the Ammonia Group's proposed  
24 amendments, it is possible that if the Board adopts



1 the Ammonia Group's amendments, USEPA could  
2 promulgate the criteria of the National Criteria  
3 Document in Illinois.

4           Should that happen, my best guess of the  
5 statewide compliance cost will be well in excess of  
6 \$1 billion.

7       MR. CUNNINGHAM: Isn't it true if the Board were  
8 to simply re-adopt its expired rule setting a 4.0  
9 milligram per liter winter effluent limit that these  
10 costs would be saved?

11       MR. STUDER: If the Board re-adopts the 4.0  
12 milligram per liter effluent, I assume you're talking  
13 about 304.301, USEPA has objected to that particular  
14 water quality standard.

15           So if that was adopted by the Board, it  
16 would not have received Federal approval.

17           It could ultimately again result in USEPA  
18 promulgating the National Criteria Document.

19       MR. CUNNINGHAM: A nasty bunch. Okay.

20           Fifty-six, would the Agency identify all  
21 dischargers in Illinois which it believes are in  
22 compliance with existing standards which are causing  
23 ammonia impairment and which would be required under  
24 the Agency proposal to provide additional treatment

1 which would be anticipated to remove that  
2 impairment?

3           If there are none, would the Agency explain  
4 how any additional treatment costs can be justified?

5           MR. MOSHER: For purposes of estimating the  
6 largest portion of costs due to the proposed ammonia  
7 standards, the Agency has provided the Board with the  
8 most accurate costs available for major municipal  
9 facilities given the limitations of the data  
10 presently in our possession.

11           The complete cost of the proposal sought in  
12 this question is answerable in absolute cost figures  
13 only when the NPDES permit process has progressed  
14 through every discharger in the state, a five year  
15 process.

16           It is our belief that we have given the  
17 Board an insight to the costs that far exceeds the  
18 scope and accuracy provided in past rulemakings.

19           Our recent update of costs reflects  
20 additional information provided by potentially  
21 affected dischargers.

22           As stated in our additional comments, we  
23 believe that still other estimated costs will be  
24 proven to be unnecessary given increasing --

1 increasingly better understandings of facility  
2 capabilities and receiving stream characteristics.

3 MR. CUNNINGHAM: Okay. This question asks you to  
4 identify dischargers.

5 What specific dischargers can you identify  
6 that are presently causing ammonia impairment that  
7 would not after improvements are put in place  
8 pursuant to the Agency's proposal?

9 MR. MOSHER: You're saying everyone comes in  
10 compliance with the standards we're proposing?

11 MR. CUNNINGHAM: Who is out there right now  
12 that's in compliance with the existing Board rules  
13 that's causing ammonia impairment that when you adopt  
14 your proposal they will have to be -- they will be  
15 required to put in additional controls which you then  
16 expect will remove that ammonia impairment?

17 MR. MOSHER: We've mentioned some facilities on  
18 the Rock and the Fox River that have in the past  
19 shown olefin toxicity due to ammonia.

20 The mass balance equation show that toxic  
21 ammonia concentrations can exist in the river.

22 I haven't added all those up. I don't know  
23 how many it might be.

24 MR. CUNNINGHAM: Do any of the dischargers that

1 you have listed in Appendix S discharge to waters  
2 which have been determined to be ammonia impaired?

3 MS. HOWARD: I believe that question has been  
4 asked in these proceedings before.

5 MR. CUNNINGHAM: I don't recall that.

6 THE HEARING OFFICER: Can you answer the  
7 question?

8 MR. MOSHER: In terms of a 305(d) ammonia  
9 impairment determination, no.

10 In determines of the localized impacts that  
11 we believe exist, yes.

12 MR. CUNNINGHAM: And those are localized impacts  
13 that you believe exist based upon use of the mass  
14 balance calculation procedure?

15 MR. MOSHER: And whole effluent toxicity data and  
16 the levels of the ammonia standards we have proposed,  
17 all of those are very valuable ways of knowing that.

18 MR. CUNNINGHAM: I'll leave it at that.

19 THE HEARING OFFICER: That concludes your  
20 questions?

21 MR. CUNNINGHAM: Yes, it does.

22 MR. DUNHAM: One comment was made by Mr. Mosher  
23 that I would like to expand on.

24 The Board members have discussed the

1 additional candor in this particular rulemaking on  
2 the part of the Agency in providing data, and we  
3 really appreciate the additional inputs that we've  
4 received at this time and we hope that they  
5 continue.

6 THE HEARING OFFICER: Any other questions or  
7 comments from the Board members?

8 I want to move to a -- some testimony that  
9 wasn't prefiled, but it should only take a few  
10 minutes, and then we'll -- so I would like to -- Mr.  
11 Bill Forcade and Joe Finch, if you'll come forward.

12 MR. FORCADE: My name is Bill Forcade from Jenner  
13 & Block, I'm representing today American Western  
14 Refining Limited Partnership.

15 We would like to offer some brief testimony  
16 by Mr. Joe Finch which pertains to a refinery in  
17 Lawrenceville, Illinois which was previously known as  
18 Indian Refining Limited Partnership.

19 If I could at this time request that  
20 Mr. Finch be sworn.

21 THE HEARING OFFICER: I ask the court reporter to  
22 swear in the witness.

23

24

1 (Witness sworn.)

2 JOSEPH FINCH,

3 called as a witness herein, having been first duly  
4 sworn, was examined and testified as follows:

5 EXAMINATION

6 BY MR. FORCADE:

7 Q. Could you please state your name and address  
8 for the record?

9 A. Joseph A. Finch. My address is Rural Route  
10 3, Box 11 in Vincennes, Indiana, F-i-n-c-h.

11 Q. And who is your employer, please?

12 A. My employer is American Western Refining  
13 Limited Partnership.

14 Q. And what is your job title and description?

15 A. I am the NPDES and RICRA (phonetic)  
16 specialist.

17 Q. Is this a refinery located in Lawrenceville,  
18 Illinois?

19 A. It is.

20 Q. Is this refinery that was previously owned  
21 and operated by the Indian Refining Limited  
22 Partnership?

23 A. It is.

24 Q. Did you work for Indian Refining Limited

1 Partnership, when and if so, what was your function?

2       A.    I worked for Indian as of February 1st, 1991  
3 to present, and my function has always been as I  
4 stated.

5       Q.    Okay.  Could you describe briefly what  
6 happened from late 1994 to the present regarding the  
7 ownership of the Indian Refining Limited Partnership  
8 refinery?

9       A.    The refinery's financial partner through no  
10 fault of our own got caught up in financial problems  
11 and pulled out from backing us.

12                In the previous months through several  
13 efforts to collect financing and everything, all  
14 attempts to get financing failed, and on September  
15 30th it was announced the refinery was closing.

16                As of December 12th of 1995, a new firm came  
17 in, purchased the refinery and renamed it American  
18 Western Refining, and from that point to this day,  
19 we're in the process of establishing capital to get  
20 the refinery up and running which as of yet  
21 happened.

22                We have a plant startup day of approximately  
23 June 1st.

24       Q.    The refinery did close down sometime around

1 the end of November --

2 A. The plant actually laid off all of its  
3 personnel except for an in-house maintenance group as  
4 of November 30th, 1995.

5 Q. Now, I would like to switch to the  
6 particular regulatory proceeding.

7 After the approximately April final comments  
8 that were filed in this proceeding, did either Indian  
9 or American Western have any additional communication  
10 and reach agreements to resolve conflicts concerning  
11 this proceeding?

12 A. No. Due to the financial problems we had,  
13 we were not able to maintain legal contracts or  
14 anything, and so trying to find a new buyer, no work  
15 was done with the Agency as far as this issue.

16 Q. And would it be your intention to  
17 re-initiate contacts with the Agency in the future in  
18 an attempt to work out any possible solutions to  
19 resolve the conflicts in this proceeding?

20 A. Now that we have a new owner, we attempt to  
21 as soon as possible reestablish contact with the  
22 Agency to alleviate the problems that we have with  
23 this issue.

24 MR. FORCADE: Okay. That would be the end of our



1 testimony.

2 I would intent within the next few weeks to  
3 submit a motion to substitute party names and to  
4 enter a new appearance on behalf of the new client.

5 I thought it would be appropriate to mention  
6 this in testimony. And if there are any questions,  
7 we would be happy at this time to answer those  
8 questions.

9 THE HEARING OFFICER: Do you have any?

10 MR. CARLSON: Just briefly.

11 EXAMINATION

12 BY MR. CARLSON:

13 Q. Mr. Finch, you indicated was it from  
14 September of 1995 was when the operations of Indian  
15 Refining ceased?

16 A. They basically slowed -- they didn't come to  
17 an abrupt halt.

18 Units shut down as resources -- as raw  
19 products dwindled in the plant, and so units shut  
20 down as supplies drew down.

21 On November 30th, the warrant notice was  
22 issued giving all employees 60 days notice of the  
23 plant closing.

24 Q. So there was a tapering off of production

1 over a period of several months?

2 A. Yes.

3 Q. And you also indicated that they were  
4 anticipating restarting refining operations around  
5 June 1st of 96?

6 A. That is our best guess at this time, even  
7 though all the financing has not been finished yet.

8 Q. Okay. Is the reason for waiting until June  
9 primarily financial?

10 A. Yes.

11 Q. Okay. And have there been any projections  
12 about what level of production they would start at  
13 when they re-open?

14 A. We believe for a short period of time, maybe  
15 a month and a half we would be at somewhat reduced  
16 capacity.

17 But after that period of time, we expect to  
18 reach Indian production limits which is full  
19 capacity.

20 Q. And Indian was at full capacity --

21 A. Yes. From approximately the middle of 1991  
22 up to January, February of '95.

23 MR. CARLSON: Okay. I don't have anything  
24 further.

1 THE HEARING OFFICER: Okay. I think that  
2 completes the testimony. Thank you.

3 MR. FORCADE: I appreciate the courtesy of  
4 allowing us to interrupt here. Thank you.

5 THE HEARING OFFICER: I think we can take a  
6 little short break, maybe five, ten minute break and  
7 then come back and have the testimony from Borden  
8 Chemicals & Plastics.

9 (Short break.)

10 THE HEARING OFFICER: We're going to proceed with  
11 the testimony of Borden Chemicals & Plastics  
12 Company.

13 I would like you to identify yourself for  
14 the record, please.

15 MS. DOYLE: I'm Carol Doyle of Sidley & Austin  
16 representing Borden Chemicals & Plastics Limited  
17 Operating Partnership.

18 And I have with me Salish Jantrania who is  
19 from the Borden Chemicals plant which is located in  
20 Illiopolis, Illinois which is not too far from  
21 Springfield.

22 He is a technical manager at that plant, and  
23 he is going to give testimony today.

24 We submitted testimony back in January,



1 provision needs to be modified to provide the relief  
2 that the Agency apparently intends to.

3           Four, that the effluent limitations of  
4 Section 304.122 for dischargers to effluent modified  
5 waters should make clear that daily variability  
6 around the monthly average limitations is not  
7 precluded by the regulation.

8           And, five, that the proposed regulation may  
9 impose additional and unnecessary monitoring costs.

10       MS. DOYLE: If I may interrupt for a moment, what  
11 I meant to say upfront also is that Mr. Jantrania is  
12 not going to read his entire testimony.

13           We took to heart your suggestion this  
14 morning, so he's just going to highlight the major  
15 points that Borden wants to make.

16       MR. JANTRANIA: Continuing on, BCP operates a  
17 chemical plant in a rural area approximately one mile  
18 west of Illiopolis, Illinois.

19           The plant produces PVC suspension and  
20 dispersion resin for the vinyl film, fabric,  
21 flooring, plastic pipe and wire insulation  
22 industries.

23           The plant has been in operation since about  
24 1960.

1           The plant discharges treated process  
2 wastewater pursuant to an NPDES permit into a 7Q10  
3 zero-flow stream commonly referred to as the unnamed  
4 ditch.

5           The unnamed ditch drains into Long Point  
6 Slough which in turn flows into the Sangamon River  
7 five miles downstream from BCP's outfall.

8           The primary uses of both the ditch and the  
9 slough are as conduits for agricultural run off and  
10 wastewater treatment plant discharges.

11           Although a variety of acquiring species  
12 inhabit the ditch and the slough, these waters are of  
13 little use for recreational or other purposes due to  
14 their lack of suitable habitat and low and variable  
15 flows.

16           IEPA's response to BCP's testimony stated  
17 that exceedances of the proposed standards by  
18 dischargers to zero or low flow streams will be quite  
19 rare and infrequent because exceedances will occur  
20 only if pH temperature and effluent flow were very  
21 high and river flow was very low.

22           BCP has reviewed its discharge monitoring  
23 reports or MDR's for the past six years and has  
24 determined that discharges at the monthly average and

1 daily maximum levels achievable by BAT would have  
2 exceeded the proposed ammonia WQS during thirty-three  
3 months during this period.

4           Attachment A to this testimony summarizes  
5 the data from BCP's DMR's showing cases in which a  
6 BAT discharge would have exceeded the proposed WQS.

7           It is clearly not the case that while  
8 violations of the proposed standard by a BAT  
9 discharger to a small stream would be quite rare and  
10 infrequent and -- and infrequent as the Agency has  
11 asserted.

12           The effluent modified waters provision is  
13 intended by the Agency to provide relief from the  
14 proposed ammonia nitrogen WQS facilities, like BCP's,  
15 that discharge to small streams because such  
16 facilities cannot attain the proposed WQS end-of-pipe  
17 even using BAT.

18           However, the provision does not appear to  
19 provide the relief claimed by the Agency since the  
20 water cannot be classified an effluent modified water  
21 if the water exceeds the proposed acute standard and  
22 BAT facilities discharging to small streams will, on  
23 occasion, cause exceedances off that standard.

24           In collusion, I would like to remind the

1 Agency that its technical staff is well aware of the  
2 difficulty of treating for ammonia nitrogen.

3           Biological treatment with nitrification is  
4 extremely sensitive.

5           Minor changes in influent quality,  
6 nitrifying bacteria populations, temperature and  
7 treatment chemical use can have a major impact on the  
8 performance of the nitrifying plant.

9           IEPA's wastewater treatment experts are  
10 extremely knowledgeable regarding these problems as  
11 well as large amount of effort, time and money BCP  
12 has expended to comply with the existing ammonia  
13 nitrogen limits.

14           Due to its efforts, BCP has an excellent  
15 overall record in attaining it's existing ammonia  
16 nitrogen limits.

17           Nevertheless, due to the nature of the  
18 biological treatment nitrification process,  
19 variability is inevitable at the very low  
20 concentrations that would be necessary to attain the  
21 standards that would apply under the Agency's  
22 proposal.

23           BCP urges the Board to consider  
24 attainability of the proposed standards for



1 dischargers to low flow streams and to assure that  
2 the effluent modified waters provision is drafted in  
3 such a way that unattainable standards are not  
4 imposed on plants that have done and continue doing  
5 the best they can to consistently comply with  
6 existing standards.

7           That concludes my testimony, and I'll be  
8 happy to answer any questions.

9           THE HEARING OFFICER: Okay. Before I move on to  
10 the questions, I would like to enter the revised  
11 testimony as an exhibit.

12           This will be Exhibit 49. And this is the  
13 testimony dated February 22nd, 1996.

14           And then we do have some prefiled  
15 questions. We'll start with those -- start with the  
16 questions from the Sierra Club.

17           MS. ROSS: I have two questions, I think they  
18 still apply to the amended -- I haven't fully read  
19 the testimony.

20           But the first question, you challenge the  
21 need for new ammonia standard but offer no evidence  
22 to indicate that Borden Chemicals' effluent is not  
23 affecting aquatic life.

24           Have you studied the effect of ammonia on

1 aquatic life?

2 MR. JANTRANIA: We have not studied the current  
3 effect of ammonia discharge on aquatic life.

4 However we did do a study twelve years ago  
5 of the overall effect of effluent on the unnamed  
6 ditch and Long Point Slough.

7 The study in essence concluded that there  
8 was no significant effect on aquatic life.

9 Since that time, BCP has substantially  
10 reduced the level of its ammonia nitrogen  
11 discharges.

12 MS. ROSS: In general, have you looked at the  
13 literature on ammonia and aquatic life for general  
14 use waters outside of your own river and stream?

15 MR. JANTRANIA: I personally haven't looked at  
16 that, no.

17 MS. ROSS: And at least in your previous  
18 testimony, you recommended 3.0 and 8.0 milligrams per  
19 liter maximum ammonia effluent limitations, how did  
20 you determine those numbers?

21 MR. JANTRANIA: The 3.0 and 8.0 levels are  
22 employed in the NPDES permit.

23 MS. ROSS: So because they're in your NPDES  
24 permit you recommend that they be put in the rules as

1 maximum limitations?

2 MR. JANTRANIA: Yes. And it's also been -- you  
3 know, it's general knowledge that those are levels  
4 attainable by BAT, and we recommend we follow those  
5 levels.

6 MS. ROSS: And how would that improve the  
7 existing proposal -- the existing proposal does not  
8 have these maximum daily limitations, is that  
9 correct? The IEPA proposal does not contain those?

10 MR. JANTRANIA: Correct.

11 MS. ROSS: Are you recommending that you  
12 substitute the daily maximum for their proposed  
13 standards?

14 MR. JANTRANIA: What we are saying is do not  
15 change our current limits in the NPDES permit.

16 MS. ROSS: You're directing that to the Board?

17 MR. JANTRANIA: I was directing that answer to  
18 you.

19 MS. ROSS: Oh, okay. But you're asking the Board  
20 not to change your permit limitations?

21 MR. JANTRANIA: Right. Exactly.

22 MS. ROSS: Okay.

23 THE HEARING OFFICER: We also have prefiled  
24 questions by the Agency.

1 MS. HOWARD: As an introduction to the questions  
2 that we have, we have some comments that we think  
3 need to be considered that Mr. Studer has before the  
4 questions are answered by the witness.

5 THE HEARING OFFICER: Go ahead with the comment.

6 MR. STUDER: I reviewed the Agency files  
7 concerning Borden, particularly regarding their  
8 ammonia nitrogen discharge levels.

9 Borden's current NPDES permit contains  
10 monthly average ammonia nitrogen limits of 1.5  
11 milligrams per liter April through October and 4.0  
12 milligrams per liter November through March.

13 The associated daily maxima in this permit  
14 are double these values.

15 However, as the ammonia nitrogen limits and  
16 conditions in the previous permit had been under  
17 appeal, Borden had been reporting the daily maxima on  
18 their discharge monitoring reports or DMR's.

19 The DMR's list the permit limits as 1.5  
20 milligrams per liter and 4.0 milligrams per liter  
21 both as daily maxima, applicable only when the  
22 ammonia nitrogen water quality standard in the  
23 receiving stream was being exceeded.

24 Since 1992, Borden has reported values on

1 their DMR's above these maxima on the following  
2 dates:

3           December 1994, maximum ammonia level of 54  
4 milligrams per liter;.

5           November 1994, 6.4 milligrams per liter;

6           May 1994, 10.0 milligrams per liter;

7           April 1994, 9.9 milligrams per liter;

8           October 1993, 2.8 milligrams per liter;

9           August 1993, 1.8 milligrams per liter;

10          July, 1993, 1.6 milligrams per liter;

11          June 1993, 1.9 milligrams per liter;

12          April 1993, 1.7 milligrams per liter;

13          August 1992, 3.8 milligrams per liter;

14          June 1992, 4.3 milligram per liter;

15          May 1992, 3.9 milligrams per liter;

16          April 1992, 7.9 milligrams per liter.

17          Borden has upgraded their treatment system  
18 for ammonia nitrogen. This upgrade was reflected in  
19 Borden's latest NPDES permit, modified and effective  
20 on January 18th, 1996.

21          The NPDES permit modification was made with  
22 the understanding that Borden would dismiss their  
23 pending permit appeal after the permit was modified.

24          The NPDES permit modification, among other

1 things, removed a special condition containing a  
2 compliance schedule for ammonia nitrogen effluent  
3 limits.

4           This recent treatment plant upgrade became  
5 operational in June of 1994.

6           Borden has had periods of time where  
7 effluent ammonia nitrogen concentrations have  
8 exceeded summer and winter monthly averages of 1.5  
9 milligram per liter and 4.0 milligram per liter  
10 respectively.

11           These times of elevated ammonia  
12 concentrations may have resulted from internal --  
13 from internal waste streams that interfered with the  
14 treatment plant's ability to remove ammonia  
15 nitrogen.

16           One such occurrence of this problem appeared  
17 in late 1994 and resulted in high effluent levels of  
18 suspended solids and BOD.

19           This event is documented in Borden's  
20 provisional variance request granted in PCB 94-300  
21 and later extended in PCB 94-368.

22

23

24



1 Corporation for ten years. Keysor Century  
2 corporation is another PVC manufacturer.

3 Q. What were your responsibilities in that  
4 position?

5 A. I worked as -- during the ten years I worked  
6 as R & D engineer, process engineer and senior  
7 process engineer.

8 Q. What are your responsibilities in your  
9 current position at Borden?

10 A. In my current position, I manage and direct  
11 their technical support for the entire facility which  
12 includes four PVC production plants.

13 I manage and direct product quality control  
14 with coordination from divisional quality assurance,  
15 site total quality management, EPA compliance  
16 activities for the solid waste, provide technical  
17 support for plant cooling water system, waste  
18 treatment and municipal water system.

19 And in a sense, I provide technical  
20 direction and quality control guidance for the entire  
21 facility.

22 Q. What is your educational background?

23 A. I have a BS and MS in chemical engineering.

24 Q. How did you calculate the effluent levels in



1 the two columns on the right side of Attachment A to  
2 your testimony?

3 A. The effluent levels calculated in the two  
4 columns on the right side of Attachment A were  
5 calculated on a Lotus spreadsheet using the equation  
6 provided in Section 302.212 of the proposed  
7 amendments to 35 IAC 302.

8 Q. You testified that "discharges at monthly  
9 average and daily maximum levels achievable by BAT  
10 would have exceeded the proposed ammonia water  
11 quality standards during fourteen months" for the  
12 last six years.

13 Can you explain why all but one of these  
14 fourteen times occurred prior to June of 1991?

15 A. The reason that all but one of the fourteen  
16 examples on Attachment A occurred prior to June of  
17 1991 is because not all monthly DMR results were  
18 used. Only the data that was readily available at  
19 that time was used.

20 Since then, we have calculated un-ionized  
21 ammonia for every month since 1989.

22 In actuality, there are 33 examples since  
23 January of 1989 where levels achievable by BAT would  
24 have exceeded the proposed water quality standards.

1           Several months in every winter since 1989  
2 would require better than BAT performance to meet the  
3 proposed standards.

4           Of the 33 months, twelve were prior to June  
5 of 1991, and 22 fall after June of 1991. See  
6 attached revised Attachment A of, you know, my  
7 revised testimony.

8       Q.    How was that calculated?

9       A.    That was calculated again using the same  
10 spreadsheet and with an equation provided in Section  
11 302.212 of the proposed amendments to 35 IAC 302.

12       MS. HOWARD: I would like to have Mr. Studer ask  
13 a question.

14 BY MR. STUDER:

15       Q.    You calculated in I believe columns columns  
16 10 and 11 on the Attachment A of your testimony  
17 various acute standards and various chronic  
18 standards.

19           What pH levels and what stream levels did  
20 you use to calculate those two columns?

21       A.    On Attachment, column ten and column eleven  
22 use the pH and temperature used in that data itself.

23       Q.    Okay. Where was that data derived?

24       A.    Those are measured values.

1 Q. Were those gathered from a data base?

2 A. Yes, from our DMR's. They those were taken  
3 straight from our DMR's.

4 Q. Is that an effluent pH then?

5 A. That is measured in the receiving stream,  
6 downstream of the effluent.

7 Q. So you did not go through an analysis where  
8 that data base was analyzed and the instream pH of  
9 the 75th percentile and a temperature at the 75th  
10 percentile was used, you used something different?

11 A. We used the data that is contained in our  
12 DMR's.

13 MR. STUDER: Okay.

14 BY MS. HOWARD:

15 Q. Were there any changes in the wastewater  
16 treatment scheme operations or treatment plant unit  
17 constructions since 1991, if so, please describe  
18 them?

19 A. We have modified and improved our wastewater  
20 treatment process over the years.

21 And the major improvements have been, No. 1,  
22 1993, installed fine bubble diffusers and increased  
23 air flow in August, and we installed an equalization  
24 tank in November.

1           No. 2, in 1994, we installed a nitrification  
2 and selector tank.

3           And in 1995, we have modified a settling  
4 tank to accommodate a sludge stripping operation.

5       Q.    Has Borden always complied with the ammonia  
6 nitrogen monthly average and daily maximum effluent  
7 limits in their NPDES permit?

8           If not, provide the dates and the ammonia  
9 nitrogen concentrations for each apparent exceedance  
10 of these NPDES permit limits both on a daily maximum  
11 and a monthly average basis.

12       A.   BCP has had an excellent record of  
13 compliance with its NPDES permits.

14           It's occasional exceedances have been  
15 reported in its DMR's.

16       Q.    Could you state what those exceedances are?

17       A.    Those are in our DMR's.

18       Q.    Are you familiar with the Board's water  
19 quality standards for temperature contained in 35  
20 Illinois Administrative Code 302.211?

21       A.    We are familiar with 35 Illinois  
22 Administrative Code 302.211.

23       Q.    Are you aware that the maximum stream  
24 temperatures in at least eight of the fourteen months

1 listed in Attachment A to your testimony which might  
2 be different now since Attachment A, we have to look  
3 and make sure there's no difference in that, but as  
4 Attachment A to your original testimony, appeared to  
5 exceed these standards?

6 MS. DOYLE: I think his answer may address the  
7 subpart in the next one, so you might want to read  
8 both of those.

9 BY MS. HOWARD:

10 Q. If the stream temperatures were lower, could  
11 Borden discharge a concentration of total ammonia  
12 nitrogen higher than now permissible and still not  
13 exceed the proposed un-ionized ammonia nitrogen water  
14 quality standard?

15 A. We are familiar with 35 Illinois Code  
16 302.211.

17 Our NPDES permit does not require Borden to  
18 collect the data that Section 302.211 may require, so  
19 BCP is unable to answer this question at this time.

20 However, for those dates on which the  
21 temperatures recorded by BCP exceeded sixteen degrees  
22 Celsius in winter and thirty-two degrees Celsius in  
23 summer, we substituted sixteen or thirty-two degrees  
24 as appropriate in the proposed ammonia nitrogen

1 formula for the temperature BCP had recorded.

2           Our analysis is in attachment B of my  
3 revised testimony submitted today.

4           In only two instances out of thirty-three,  
5 January 1990 and December 1995 did the BCP  
6 temperatures higher than the limits in Section  
7 302.211 result in an inability to comply with the  
8 proposed acute standard using BAT performance  
9 levels.

10           For the chronic standard use of the  
11 temperature limits in Section 302.211 did not change  
12 the number of occurrences on which BAT performance  
13 would result in noncompliance with the proposed  
14 standard.

15           Therefore, the higher temperature levels  
16 referred to by IEPA do not significantly affect BCP's  
17 conclusion that it will not be able to comply with  
18 the proposed standard, even when achieving BAT  
19 performance.

20 BY MR. STUDER:

21       Q.    Are you familiar with the other temperature  
22 requirements?

23           You indicated there's a maximum of 16 C in  
24 the winter and 32 C in the summer.

1           Are you familiar with the other requirements  
2 of that provision of Board regulations?

3           A.    Our NPDES permit does not have any  
4 requirements, and the other requirements which I  
5 mentioned are the only ones that I'm aware of.

6           Q.    So you're not familiar with the additional  
7 requirements of Board regulations?

8           MS. DOYLE:  Well, he's read the regulations, but  
9 I don't know what exactly you're asking about.

10          MR. STUDER:  But it's not provided in the NPDES  
11 permit.

12          MS. DOYLE:  Correct.

13 BY MR. CARLSON:

14          Q.    When you use the term best availability  
15 treatment technology, I believe you're referring to  
16 the biological treatment with nitrification that you  
17 have at Borden Chemical, in other words, their  
18 treatment facilities, rather than talking in terms of  
19 actual performance; is that correct?

20          A.    Yes.

21          Q.    In terms of that biological treatment with  
22 nitrification, have there been periods of time within  
23 the last few years when that biological treatment has  
24 not been operable or significantly impaired?

1 A. We just put the latest modification in June  
2 of 1994.

3 It has always been in operation since then.  
4 And what was the other question?

5 Q. Well, my question was: As far as the  
6 performance of that biological treatment with  
7 nitrification, isn't it true that there have been  
8 periods of time at Borden when that nitrification  
9 process has not been operating as it should operate  
10 because of biological die-off?

11 A. We applied for a variance in I believe it  
12 was November and December of 1994, and that was  
13 because of the presence of foreign bacteria in the  
14 system, and the system was impaired at that time.

15 Q. And what was the extent of that impairment?

16 A. There was float out of total suspended  
17 solids, and we were out of compliance for total  
18 suspended solids.

19 Q. Were there other parameters as well that  
20 were out of compliance?

21 A. Not that I'm aware of.

22 Q. Do you know what the ammonia level was at  
23 that time?

24 A. November of '94, I don't have my DMR's with



1 me here, so I can't tell you what they were, but they  
2 were -- they were higher than our NPDES permit.

3 Q. What was done to restore the biological  
4 treatment system?

5 A. At that time, I believe what we did was we  
6 slowed the plant down for sometime and we purchased  
7 bacteria organisms that were commercially available  
8 and kept introducing them in the nitrification part  
9 of the plant in order to, you know, get our  
10 performance back in line.

11 Q. And what was your success in bringing back  
12 those organisms over the period of time when they  
13 died off until they were restored?

14 A. I believe it took a couple of months for,  
15 you know, the system to come back, performance.

16 MR. CARLSON: Okay.

17 FURTHER EXAMINATION

18 BY MS. HOWARD:

19 Q. In your testimony you discuss the  
20 installation of a temperature probe at the out fall.

21 Are you under the impression that the  
22 Agency's proposing that this be required in this  
23 rulemaking?

24 A. We think our point was clear. If the

1 proposed standard requires daily monitoring, the  
2 practical effect would be to require temperature  
3 probe.

4           That is an issue -- that is an issue BCP  
5 would like the Agency to clear up.

6           Is it sufficient to meet the requirements of  
7 the chronic standard under 302.208 to take samples of  
8 floor, different locations in a month so long as  
9 those samples are taken at least four days during the  
10 month or does the Agency contend that more frequent  
11 sampling is required.

12                           FURTHER EXAMINATION

13 BY MR. CARLSON:

14       Q.    I have a question from Mr. Studer's  
15 testimony.

16           It was mentioned that the daily maximum --  
17 daily maximum DMR value for ammonia nitrogen in  
18 December '94 got as high as 54 milligrams per liter  
19 meant.

20           Was there any contemporaneous monitoring of  
21 water quality for ammonia at that time by Borden?

22       A.    What now?

23       Q.    Was there any contemporaneous monitoring of  
24 ammonia nitrogen water quality by Borden in December

1 of '94 when you had those very high levels of  
2 effluent ammonia?

3 A. I'm not sure what your question is. We had  
4 an exceedance, I understand that.

5 Q. And that was of your effluent?

6 A. Right.

7 Q. Was Borden also doing water quality  
8 monitoring at that time at that -- around that time  
9 period in the stream?

10 A. In the receiving stream?

11 Q. For ammonia nitrogen, yes.

12 A. Those samples were taken in the stream, so  
13 those numbers --

14 Q. No. I'm referring to the testimony of Mr.  
15 Studer where he was reporting your effluent values.

16 A. Those were our -- I believe those were our  
17 stream values, not the effluent values.

18 Q. Fifty-four milligrams per liter was your  
19 stream value?

20 A. That's where we measured. That's where we  
21 measured.

22 MR. STUDER: Was that the number you report on  
23 your DMR, your instream numbers?

24 MR. JANTRANIA: What we report on our DMR is our

1 instream numbers, yes.

2 MR. STUDER: Are you sure you report the instream  
3 number on your DMR's and not your effluent value?

4 MR. JANTRANIA: Our DMR's show the stream  
5 numbers, not the effluent numbers.

6 MS. HOWARD: We don't have any further  
7 questions.

8 THE HEARING OFFICER: Do any of the Board members  
9 have questions for Mr. Jantrania?

10 MS. MC FAWN: I wondered if the Agency has a  
11 response to his question.

12 THE HEARING OFFICER: About the temperature?

13 MR. STUDER: As far as?

14 MR. DUNHAM: Number of samples to be taken in a  
15 month I believe it was, wasn't it?

16 MR. STUDER: The Agency as part of this  
17 rulemaking is not necessarily requiring temperature  
18 probes to be installed at outflows.

19 Right now we currently have water quality  
20 standard that is in part based on un-ionized  
21 numbers. We don't anticipate major revisions based  
22 on that.

23 In the case of Borden, there may be  
24 temperature probes required to implement other Board

1 regulations not associated necessarily with this  
2 rulemaking.

3 MR. DUNHAM: There was another question, though,  
4 that I thought he asked regarding the number of  
5 samples to be taken to get a monthly average, was  
6 that not correct?

7 Is there any modification of that plan?

8 MR. MOSHER: The chronic standard will be  
9 implemented like all of our other chronic standards.

10 The monthly average permit limit will  
11 reflect that standard.

12 In this case we're talking about 1.5 and 4  
13 because the effluent modified water character of this  
14 receiving stream.

15 The other point that may have been made or  
16 asked is that when you're actually divorcing yourself  
17 from the treatment plant and looking at the stream  
18 itself, how do you know if a chronic standard is  
19 being met or not.

20 And the rule is proposed to say that it will  
21 be the average of at least four samples taken over a  
22 period of not less than four days.

23 So if someone were to go out to any  
24 receiving stream and take four samples in a month and

1 those samples were spaced out roughly once per week,  
2 then we could average those four samples and decide  
3 if the standard was being met or not.

4 MR. DUNHAM: I guess my question is: Are those  
5 sampling requirements equivalent to the sampling  
6 requirements for any other chronic parameter in the  
7 water quality standards?

8 MR. STUDER: I need to clarify a point here.

9 Borden's NPDES permit has been under appeal  
10 for several years now.

11 The monitoring requirements associated with  
12 pH and temperature were routinely included in past  
13 NPDES permits with ammonia nitrogen.

14 That was a carryover prior to the 1987  
15 amendments to the Clean Water Act.

16 At that particular time, the Agency wrote  
17 effluent limits in NPDES permits that were only  
18 applicable when the water quality stream -- receiving  
19 stream had violations of the particular water quality  
20 standard.

21 Since the 1987 amendments to the Clean Water  
22 Act, the Agency has included in NPDES permits  
23 effluent limits that are applicable at all times to  
24 protect the water quality standard.

1           But because of the pending permit appeal in  
2 the case of Borden, the particular amendments to  
3 their NPDES permit or revisions to their NPDES permit  
4 had not been applicable.

5           So the answer to your question as far as the  
6 monitoring requirements is that it's something that  
7 is not routinely included in permits now.

8           If it is necessary for some given reason,  
9 the Agency may include those in an NPDES permit. Did  
10 I confuse you more?

11          MR. DUNHAM: I was under the impression that the  
12 monitoring requirements in an NPDES permit related to  
13 the flow of effluent compared to the flow of the  
14 stream and the size of the treatment plant and so on  
15 and so forth.

16           I thought you routinely put in sampling  
17 requirements in the NPDES permits.

18          MR. STUDER: We put in sampling requirements for  
19 the effluent but not necessarily for the receiving  
20 water.

21          MR. DUNHAM: But those requirements are based on  
22 the effluent flow, on the size of the treatment  
23 plant.

24          MR. STUDER: The frequency of monitoring.

1 MR. DUNHAM: Frequency of monitoring is what  
2 we're talking about I thought.

3 MR. STUDER: That's typically based on the amount  
4 of flow at a given facility.

5 MR. DUNHAM: And these proposed standards make no  
6 change in the frequency of monitoring that is  
7 currently required in Illinois?

8 MR. STUDER: That is correct.

9 MR. DUNHAM: Okay.

10 MS. DOYLE: Could I just make sure, Mr. Mosher,  
11 that the unnamed ditch in your view is going to  
12 qualify as an effluent modified water?

13 MR. MOSHER: Well, we have to make the  
14 determination, we have to put the appropriate permit  
15 limits in Borden's permit, and I have -- do we know  
16 if there's ammonia impairment in that ditch?

17 I don't believe there's ammonia impairment,  
18 so it could qualify for effluent modified water.

19 MS. DOYLE: Well, that was sort of our whole  
20 issue, if we can't meet the acute standard, then how  
21 could we qualify for that.

22 MR. MOSHER: Well, you can't. You'll get a  
23 permit that has daily maximum limits set at the  
24 proposed acute standards, and that will be based on



1 the pH and temperature at some downstream monitoring  
2 point.

3           And I said earlier, those are going to range  
4 from somewhere between three and eight, depending on  
5 the pH and temperature, and so instead of daily max  
6 limits of what do you got now, three and eight?

7           MS. DOYLE: Right.

8           MR. MOSHER: It's going to be whatever our new  
9 acute standard dictates.

10          MS. DOYLE: Right.

11          MR. MOSHER: You'll have that, you'll have  
12 monthly averages of 1.5 and 4, and the verdict in the  
13 receiving stream that there's no ammonia impairment,  
14 you meet those three things, you got the effluent  
15 modified water.

16          MS. DOYLE: But I guess our analysis was showing  
17 we're not likely to meet the acute standard all the  
18 time, so how could we qualify?

19          MR. MOSHER: Well, if you can't meet those permit  
20 limits, you can't qualify.

21          MS. DOYLE: Okay.

22          MR. DUNHAM: I have a question of methodology.

23                 It appears when you write the permit, you  
24 take, I'm not going to say arbitrary, but a

1 reasonable figure that you presume to be the  
2 temperature of the stream and pH of the stream based  
3 on whatever -- some average of pH of the stream --  
4 the 75th percentile of the temperature, and what is  
5 the pH again?

6 MR. STUDER: 75th percentile of the pH.

7 MR. DUNHAM: And you use those numbers to  
8 calculate the acute standard.

9 What you seem to be doing is taking the  
10 daily pH, daily temperature, daily ammonia number and  
11 calculating what the -- calculating using the  
12 algorithm for the acute standard and coming up with a  
13 number, the daily number.

14 MR. JANTRANIA: Right.

15 MR. DUNHAM: You're not using a 75th percentile  
16 single figure -- I use a single -- the Agency uses a  
17 single figure in calculating -- for pH and for  
18 temperature for summer and winter to arrive at the  
19 acute standard for a permit.

20 MR. STUDER: I don't know if you can say -- part  
21 of what you're saying is correct and part of it is  
22 not.

23 No. 1, there's no acute standard currently  
24 in place. But the NPDES permit is derived based on

1 the 75th percentile, and --

2 MR. DUNHAM: But you derived a single 75th  
3 percentile number.

4 MR. STUDER: For winter and for summer.

5 MR. DUNHAM: And from that you calculate what  
6 will be the acute standard in the permit?

7 MR. STUDER: That's right.

8 MR. DUNHAM: So you're not using daily  
9 temperature, you're not using daily pH.

10 MR. STUDER: That is correct.

11 THE HEARING OFFICER: I think that completes  
12 their testimony then.

13 The next testimony we have is from Greg  
14 Buchner of the Fox Metro Water Reclamation District.  
15 I want to have you identify yourself for the record  
16 and have you sworn in as a witness.

17 MR. BUCHNER: My name is Gregory J. Buchner. I'm  
18 the special projects coordinator for the Fox Metro  
19 Water Reclamation district.

20 THE HEARING OFFICER: I would ask the court  
21 reporter to swear you in.

22 (Mr. Buchner sworn.)

23 THE HEARING OFFICER: Now, you have some prefiled  
24 testimony, but you have some revisions you want to

1 make to that?

2 MR. BUCHNER: Yes. Can I sort of summarize the  
3 revision.

4 Essentially back on November 8, 1995 at the  
5 hearing that was held, Board members requested more  
6 information regarding monitoring being performed by  
7 communities on the Fox River and the number of  
8 community wastewater treatment plants which might  
9 need to seek adjusted effluent standards or other  
10 forms of relief if R94-1 was adopted as proposed.

11 In response to the Board request, the Fox  
12 Metro Water Reclamation District, and I'll use Fox  
13 Metro, formerly known as the Aurora Sanitary  
14 District, indicated that it would submit some  
15 information regarding these matters at a future Board  
16 hearing on a date that was to be announced.

17 Fox Metro submitted a report containing such  
18 information to the Board on January 26, 1996, the  
19 presubmitted testimony deadline for the January 22nd,  
20 1996 Board hearing on R94-1(B).

21 The report was entitled impact of the  
22 proposed R94-1(B) ammonia nitrogen water quality  
23 limits upon the Fox Metro Water Reclamation District  
24 publicly owned wastewater treatment works which I

1 will call Fox Metro report.

2           On page four of the Fox Metro report it was  
3 indicated that data from the last four scheduled  
4 sampling events of the one year study could not be  
5 included in the report because of the January 26th,  
6 1996 presubmitted testimony deadline.

7           What I have here today I'm calling Addendum  
8 A, and it is meant to be added to the original  
9 report, and it contains updated tables including the  
10 data from the last four sampling events from the  
11 study, and updated calculations of water quality  
12 based ammonia nitrogen effluent limits for Fox Metro  
13 outfall 001 reflecting the additional data obtained  
14 from these last four sampling events.

15           Illinois Environmental Protection Agency, or  
16 the Agency, on the first page of its questions for  
17 myself indicated that it used the long-term average  
18 for upstream concentrations -- excuse me, a long term  
19 ammonia nitrogen concentration average for upstream  
20 when determining permit limits.

21           Also as part of my recalculations here I'm  
22 using used the long term average which the Agency  
23 indicated in a November 7th, 1994 fax that it had  
24 sent to me.

1           On the basis of all the new data and the  
2 Agency value for upstream ammonia nitrogen  
3 concentrations, I didn't find it to affect the  
4 summary contained in the original report.

5           And I do have copies that I can provide to  
6 anyone that would like them.

7           THE HEARING OFFICER: I think we would like a  
8 couple copies up here. Give one to the Agency, too.

9           Go ahead and enter the prefiled testimony  
10 along with the supplement as an exhibit. That would  
11 be Exhibit No. 50.

12           Do you have any other additional comments  
13 that you would like to make?

14           MR. BUCHNER: No.

15           THE HEARING OFFICER: We do have some questions  
16 on your testimony.

17           We have questions from the Sierra Club.

18           MS. ROSS: First if I understood your supplement  
19 correctly, you have more data but it didn't  
20 essentially change the nature of your testimony?

21           MR. BUCHNER: No.

22           MS. ROSS: Then the second question is on page  
23 10, you describe an area of concern regarding the use  
24 of monitoring data.

1           I guess I didn't understand how this would  
2 affect the establishment of the standard, the aquatic  
3 life standard, the ambient water quality.

4           MR. BUCHNER: In response to your question, the  
5 use of sound monitoring data should be basic in the  
6 establishment of a standard for the protection of  
7 aquatic life.

8           If sound monitoring data is not used,  
9 erroneous standards may be set that either not  
10 protect the aquatic life or will not result in any  
11 benefit to aquatic life, but in either instance may  
12 result in a wasteful expenditure of taxpayer dollars  
13 on building facilities or creating programs in an  
14 attempt to achieve compliance with the erroneous  
15 standards.

16           However, the second area of concern  
17 expressed on page ten of the Fox Metro report is not  
18 about the use of monitoring data in the establishment  
19 of a stream standard as the question asked seems to  
20 imply.

21           The second area of concern is about two  
22 agencies with separate enforcement powers agreeing  
23 over appropriate monitoring locations to determine  
24 compliance with the proposed standards and how

1 compliance is to be determined for an area where two  
2 streams mix when the standard to be complied with has  
3 eight interacting variables associated with it.

4           These variables being the flow, pH,  
5 temperature and ammonia nitrogen concentration for  
6 each of the two streams.

7       MS. ROSS: The two agencies are IEPA and the  
8 USEPA?

9       MR. BUCHNER: That the correct.

10       MS. ROSS: Is it common for them to disagree on  
11 the data?

12       MR. BUCHNER: I do not know. I heard testimony  
13 earlier today which suggested that that was not the  
14 case.

15       MS. ROSS: What would you suggest?

16       MR. BUCHNER: We have met with the Agency, and  
17 this will come up I believe in the discussion of the  
18 Agency's question, we have worked with the Agency to  
19 obtain what we believe to be a suitable sampling  
20 location.

21           But as expressed on page 10, that's our area  
22 of concern is that even though we may have reached an  
23 agreement with the Agency which involved a lot of  
24 hard work on both parties' part, USEPA can review



1 that permit and say, well, we don't agree with you.

2 MS. ROSS: My confusion I guess is that I don't  
3 see what the Board can do about that because that's  
4 in the Clean Water Act, this USEPA oversight.

5 Is there something that the Agency can do in  
6 the rule?

7 MR. BUCHNER: I think that's the question that  
8 could be addressed to the Agency. I don't know.

9 MS. ROSS: Okay. My second question had to do  
10 with your clause, your recommended clause except for  
11 natural causes.

12 And my question is: When you say natural,  
13 what do you mean by natural? Is it something just  
14 upstream from you or does it really pertain to the  
15 historic conditions of the Fox River?

16 MR. BUCHNER: During the course of the  
17 proceedings here, I think that's one of the basic  
18 question, what is truly causing the high pH of the  
19 Fox River.

20 And to date, I don't believe that any  
21 testimony other than that offered by the Agency  
22 suggesting either the limestone bottom of the river  
23 might be contributing to that high pH or the  
24 possibility of algal blooms.

1           To date that's the only thing I've heard  
2 that's been entered into the record as far as causing  
3 that high pH value. Both of those seem to be  
4 naturally occurring to me.

5           MS. ROSS: But if -- regardless of what the cause  
6 is, if something upstream is causing it, shouldn't  
7 the water quality standards still be met?

8           MR. BUCHNER: If it's a natural cause that is  
9 creating the violation of a standard -- I guess I'm  
10 missing the point here.

11           I don't see how legislating a standard can  
12 change what's out in the environment.

13           MS. ROSS: I guess my question was more to the  
14 point that it was --

15           MR. BUCHNER: What is your definition of a  
16 natural -- I saw in your prefiled question, a natural  
17 cause of pollution, I was confused by what you meant  
18 by natural cause of pollution.

19           MS. ROSS: Natural versus other sources of  
20 pollution, such as run off upstream that causes algal  
21 blooms or other changes in the waterway.

22           No. I didn't mean natural pollution, I  
23 meant between a natural event or some other source of  
24 pollution, and I think we've probably beaten that

1 question to death.

2           But my issue is more shouldn't we still have  
3 ammonia standards that are protective of aquatic  
4 life?

5           And if there's an upstream cause, that  
6 shouldn't cause the Agency to waive standards at a  
7 downstream site, the Agency should take action at the  
8 upstream site, if that's the case.

9           But my question is: Shouldn't we set  
10 standards that are protective of aquatic life?

11       MR. BUCHNER: I think that's the whole purpose of  
12 the rulemaking.

13           I think our concern, in answer to the  
14 question as it was posed to me, this current hearing  
15 is a rulemaking process, and that we are not asking  
16 for any standards to be waived, therefore.

17           I mean we're in the process of making a  
18 rule, but we are concern that any standards that may  
19 be set as a result of this rulemaking process will be  
20 based upon sound science, real world Illinois stream  
21 field data presented during these hearings and a  
22 recognition of the temperature influence limits of  
23 biologically based wastewater treatment processes,  
24 that's all we're asking for.

1 MS. ROSS: Okay. I'll quit.

2 THE HEARING OFFICER: Now does the Agency have  
3 some questions for Mr. Buchner?

4 MR. CARLSON: Yes. Before we start those  
5 particular questions, we had some comments to  
6 introduce that led into our questions, Mr. Vance will  
7 present here.

8 THE HEARING OFFICER: I think we're losing you,  
9 too, so speak up.

10 MR. CARLSON: Sorry.

11 MR. VANCE: The testimony of Greg Buchner offers  
12 "suggested solutions" to the problems he perceives  
13 in regard to the Agency's proposed ammonia nitrogen  
14 water quality standards.

15 Mr. Buchner emphasizes in his first argument  
16 the term "naturally occurring pH" and the  
17 preservation of the current 1.5 milligram per liter  
18 floor for ammonia nitrogen permit limits.

19 It is the Agency's understanding that  
20 Mr. Buchner feels that the 1.5 milligram per liter  
21 limit should be implemented in cases where the  
22 naturally occurring pH value of a stream exceeds the  
23 average pH value of all Illinois streams.

24 As the Agency has stated from the date this

1 regulatory proposal was filed with the Board two  
2 years ago, the 1.5 milligram per liter water quality  
3 standard found in Illinois Administrative Code  
4 302.212(c) was based on an outdated understanding of  
5 the toxicity of ammonia to aquatic life.

6           Since the adoption of this standard, studies  
7 have shown that the un-ionized portions of ammonia  
8 nitrogen is far more toxicologically significant than  
9 total ammonia nitrogen.

10           The 1.5 milligram per liter floor value is,  
11 therefore, no longer scientifically defensible as a  
12 general use standard.

13           Mr. Buchner also suggests what he terms as  
14 "a simpler solution."

15           His second solution involves amending the  
16 now expired 35 Illinois Administrative Code 304.301  
17 standard.

18           Specifically he suggests reimplementing the  
19 4.0 milligram per liter effluent standard for  
20 discharges during the months of November through  
21 March.

22           In addition he feels a 1.5 milligram per  
23 liter effluent standard for discharges during the  
24 months of April through October should be included

1 and the contents of 35 of Illinois Administrative  
2 Code 304.301(b) and (c) can be eliminated.

3           In response, the Agency would again like to  
4 reiterate USEPA's views concerning the 4.0 milligram  
5 per liter effluent standard.

6           In 1988 the original 4.0 milligram per liter  
7 standard expired. At this time, the Agency requested  
8 that the 4.0 milligram per liter standard be included  
9 permanently in Section 304.301 of the effluent  
10 standards.

11           USEPA denied this request based on the fact  
12 that given the updated information that revealed  
13 un-ionized ammonia as the primary toxic component of  
14 ammonia nitrogen.

15           4.0 milligram liter may not be protective of  
16 the aquatic life of higher pH and/or temperature  
17 values.

18           They did allow an extension of the 4.0  
19 milligram per liter floor until July 1st, 1991 and  
20 suggested that new standards should be calculated  
21 based on the latest toxicity information available.

22           The extension was given with the  
23 understanding that the Agency would revise the  
24 state's ammonia water quality standards which would

1 be implemented prior to July 1st, 1991.

2           The Agency feels that the proposed standards  
3 address USEPA's concerns for the implementation of a  
4 water quality standards that are not in conflict with  
5 Federal regulations requiring water quality standards  
6 to be protected of designated uses.

7           The new concept of the effluent modified  
8 waters reinstates 1.5 and 4.0 milligrams per liter as  
9 summer and winter monthly average permit limits for  
10 many discharges with provisions that some receiving  
11 waters will have these values as standard.

12           It is the provisions associated with the  
13 designation of the effluent modified waters that  
14 separate this concept from a simple renewal of the  
15 4.0 milligram per liter standard, and thereby gaining  
16 the approval of the USEPA.

17           The Agency views Mr. Buchner's compliance  
18 situation at Fox Metro as being somewhat removed from  
19 the issues.

20           When the Agency calculates potential permit  
21 limits from this discharge, the resulting values are  
22 not as stringent as postulated in his January 24th,  
23 1996 testimony.

24           Incorporating his recently collected pH and

1 temperature data from 3,000 feet downstream of the  
2 Fox Metro outfall, monthly averages of 1.4 milligrams  
3 per liter in the summer and 1.9 milligrams per liter  
4 winter, the daily maxima of 4.1 milligrams per liter  
5 summer and 5.3 milligrams per liter winter are  
6 obtained using the Agency's proposed standards.

7           A mixing zone for the chronic standards is  
8 recognized in these calculations. Acute standards  
9 are directly applied as daily maxima.

10           No effluent modified water is necessary.  
11 Recent effluent monitoring data indicates that these  
12 limits can consistently be met by Fox Metro.

13           MR. BUCHNER: May I respond to those comments or  
14 just a couple of them?

15           THE HEARING OFFICER: Okay.

16           MR. BUCHNER: There seems to be a problem here  
17 with data bases being used.

18           In the past there has been some  
19 communication between the Agency and Fox Metro in an  
20 attempt to resolve some of these issues.

21           So these numbers that are being presented  
22 today, I have no idea how they were derived because I  
23 don't have any idea what the data bases were.

24           And we'll be -- in the course of the



1 Agency's discussions, I'll be explaining what our  
2 numbers were, and I would appreciate finding out what  
3 numbers or what data bases the Agency used in coming  
4 up with the numbers that they just surprised me with  
5 now.

6 MS. HOWARD: Could we ask our questions first?

7 Can you describe how had you calculated the  
8 summer and winter daily maximum and monthly average  
9 limits shown on pages 8 and 9 of your testimony?

10 Please indicate the percentile pH,  
11 percentile temperature and percentile ammonia  
12 concentration and stream flow used in these  
13 calculations.

14 MR. BUCHNER: The summer and winter daily maximum  
15 and monthly average limits shown on pages 8 and 9 of  
16 the Fox Metro report were calculated using procedures  
17 shown in a single page document that was faxed to Fox  
18 Metro by the Agency on November 7th, 1994.

19 This document was entitled Aurora  
20 S.D. - Ammonia analysis (for ammonia standards review  
21 purposes) which I will refer to as the Agency fax.

22 Regarding the calculation of summer and  
23 winter daily maximum limits, the Agency fax indicated  
24 near the end of that page that the acute water

1 quality standard will be directly applied as a daily  
2 maximum.

3           In the bottom of the page, acute water  
4 quality standards shown were indicated to have been  
5 calculated using the proposed revisions to 35  
6 Illinois Administrative Code 302.212.

7           In other words, daily maximum effluent  
8 limits were to be set equal to the acute water  
9 quality standards calculated using the proposed  
10 revisions to 35 Illinois Administrative Code  
11 302.212.

12           The formula for the determination of  
13 un-ionized ammonia concentrations found at 35  
14 Illinois Administrative Code 302.212 was  
15 algebraically rearranged to solve for total ammonia  
16 nitrogen.

17           The rearranged formula was then incorporated  
18 into a Lotus 1-2-3 computer software spreadsheet.

19           The validity of the rearranged formula was  
20 confirmed by inserting the parameter values from the  
21 Agency fax into the spreadsheet which subsequently  
22 yielded the same calculated acute and chronic water  
23 quality standards as shown on the Agency fax.

24           Fox Metro report tables 15, 16, and 17 are

1 copies of that spread sheet, each table reflecting  
2 calculations resulting from the data bases  
3 indicated.

4           The acute and chronic total ammonia nitrogen  
5 water quality standards calculated for each data base  
6 are found in the top sections of tables 15, 16 and  
7 17.

8           The summer and winter daily maximum limits  
9 shown on pages 8 and 9 of the Fox Metro report are  
10 taken from tables 15, 16 and 17 and are equal to the  
11 acute water quality standards calculated using the  
12 proposed revisions to 35 Illinois Administrative Code  
13 302.212.

14           With regard to the calculation of summer and  
15 winter monthly average limits, the Agency fax  
16 indicated near the middle of the page that the total  
17 ammonia concentration in the effluent to meet the  
18 chronic water quality standard shall be the result of  
19 a mass balance equation that takes into account the  
20 chronic water quality standard in terms of total  
21 ammonia to be met outside a mixing zone, the seven  
22 day ten year low flow of the Fox River directly  
23 upstream of the outfall, the average Fox River  
24 ammonia nitrogen concentration from a point upstream

1 of the outfall, and the average three consecutive  
2 month low flow for the outfall for the last two  
3 calendar years.

4           In other words, the monthly average effluent  
5 limits were to be calculated using a mass balance  
6 formula that allows for mixing of the effluent with  
7 the receiving stream so that the chronic water  
8 quality standards calculated using the proposed  
9 revisions to 35 Illinois Administrative Code 302.212,  
10 would not be exceeded outside of the mixing zone.

11           The mass balance equation from the Agency  
12 fax was shown on page 7 of the Fox Metro report.

13           This mass balance equation was entered into  
14 the same Lotus 1-2-3 computer software spreadsheet  
15 that was mentioned earlier.

16           The validity of the entered mass balance  
17 formula was confirmed by inserting the parameter  
18 values from the Agency fax into the spreadsheet which  
19 subsequently yielded the same calculated effluent  
20 limits as shown on the Agency fax.

21           As indicated earlier, Fox Metro report  
22 tables 15, 16 and 17 are copies of that spreadsheet,  
23 each table reflecting the calculations resulting from  
24 the data bases indicated.

1           The monthly average final effluent ammonia  
2 nitrogen limits calculated for each data base are  
3 found in the bottom sections of tables 15, 16 and  
4 17.

5           The monthly average effluent limits in  
6 tables 15, 16 and 17 were labeled as chronic to  
7 reflect the fact that the proposed chronic water  
8 quality standards for ammonia nitrogen had been used  
9 in their calculation.

10           The summer and winter monthly average limits  
11 shown on pages 8 and 9 of the Fox Metro report are  
12 the monthly average final effluent ammonia  
13 concentration limits found in the bottom section of  
14 Fox Metro report tables 15, 16 and 17.

15           Regarding the parameter values used in the  
16 calculations, tables 15, 16 and 17 of the Fox Metro  
17 report indicate that the 75th percentile pH, the 75th  
18 percentile temperature and the 75th percentile  
19 ammonia concentrations of the stated data bases were  
20 used in the mass balance calculations.

21           The stream flow used in the calculations was  
22 176 cubic feet per second and was obtained from the  
23 Agency fax.

24           MS. HOWARD: You indicated that upstream

1 concentrations for ammonia nitrogen are determined by  
2 using the 75th percentile concentration of the  
3 upstream data when applying the mass balance  
4 equation.

5           The Agency uses a long term average for  
6 upstream concentrations when determining permit  
7 limits.

8           Were your calculations based on a long term  
9 average concentration or on the 75th percentile data  
10 for upstream ammonia calculations?

11       MR. BUCHNER: The calculations in the Fox Metro  
12 report were made using 75th percentile for upstream  
13 ammonia nitrogen concentration data gathered during  
14 the course of the study.

15           Upon receiving the Agency's questions  
16 concerning the upstream ammonia nitrogen values used  
17 to calculate the effluent limits in the Fox Metro  
18 report, Fox Metro reviewed the Agency fax.

19           The review found the Agency fax did indicate  
20 that average upstream ammonia nitrogen values had  
21 been used in Agency effluent limit calculations and  
22 that the averages had been determined from a stated  
23 January 1983 through November 1992 data base.

24           The Agency fax indicated averages for

1 ammonia nitrogen concentrations upstream of the Fox  
2 Metro outfall to be 0.1.2 milligrams per liter for  
3 the summer and 0.26 milligrams per liter for the  
4 winter.

5           Fox Metro has subsequently used the long  
6 term average upstream ammonia nitrogen values found  
7 in the Agency fax to recalculate the daily maximum  
8 and monthly average limits which could be derived for  
9 the Fox Metro outfall under the different scenarios  
10 described in the Fox Metro report.

11           The recalculated limits also took into  
12 account data from four final sampling events which as  
13 explained in the Fox Metro report could not be  
14 included in it at the time of its preparation.

15           The recalculated effluent limits were not  
16 significantly different than those originally  
17 calculated in the Fox Metro report.

18       MS. HOWARD: The Agency calculated potential  
19 effluent limits based on data collected by Fox River  
20 Water Reclamation District from June 5th, 1985 to  
21 December 26th, 1990.

22           Why were the effluent limits in your  
23 testimony based on one year worth of data rather than  
24 the entire data base?

1 MR. BUCHNER: The Fox Metro report was prepared  
2 in response to a board request made at the November  
3 8, 1995 prehearing conference on R94-1 for any  
4 information regarding monitoring being performed by  
5 communities on the Fox River and the number of  
6 community wastewater treatment plants which might  
7 need to second adjusted effluent standards or other  
8 forms of relief if R94-1 was adopted as proposed.

9 The data in the Fox Metro report was  
10 collected as a result of an informal agreement with  
11 the Agency that was referenced during Agency  
12 testimony at the November 11th, 1994 Board hearing on  
13 R94-1.

14 During testimony regarding the calculation  
15 of effluent limits for the Fox Metro outfall, then  
16 being referred to as Aurora, the Agency indicated  
17 that -- and I'll quote:

18 "Data from a close  
19 by downstream sampling  
20 point is preferred, something  
21 that is not available in  
22 this case.

23 "In discussing this  
24 dilemma with Aurora, it



1 has been agreed that pH  
2 and temperature data will  
3 be directly Aurora at a  
4 point" -- excuse me, let me reread that.

5 "In discussing this  
6 dilemma with Aurora, it  
7 has been agreed that pH  
8 and temperature data will  
9 be collected by Aurora  
10 at a downstream site  
11 representative of the  
12 mixing characteristics  
13 at Aurora.

14 "At the time of permit  
15 renewal, this data will  
16 be used to set permit  
17 limits."

18 Fox Metro took the term "would be collected"  
19 in the testimony to mean that such data was to be  
20 collected at a point in time after November 11th,  
21 1994, the date on which the testimony was entered  
22 into the record.

23 On December 8th, 1994, Agency and Fox Metro  
24 representatives met at Fox Metro at the the Fox Metro

1 wastewater treatment works.

2           A joint field inspection was made and a  
3 mutually agreed upon monitoring station downstream  
4 from the wastewater treatment works outfall was  
5 selected where Fox River samples could be collected  
6 for the purposes stated at the November 11th, 1994  
7 Board hearing.

8           At the December 8th, 1994 meeting, Fox Metro  
9 also gave the Agency the June 5th, 1985 through  
10 December 26, 1990 data which the Agency has referred  
11 to in its question No. 3.

12           At no time during the December 8th, 1994  
13 meeting does Fox Metro recall a suggestion being made  
14 that the provision of the June 5th, 1985 through  
15 December 26, 1990 data would negate the need for  
16 future -- excuse me, would negate the need for the  
17 collection of future downstream data to be used for  
18 the purposes stated at the November 11th, 1994 board  
19 hearing.

20           In summary, the Fox Metro report was  
21 prepared in response to a board request regarding  
22 monitoring currently being more formed by communities  
23 on the Fox River and included data collected only  
24 after the November 11th, 1994 Board hearing and a

1 December 8th, 1994 determination of a suitable  
2 downstream sampling location agreed upon by Fox Metro  
3 and Agency representatives.

4 MS. HOWARD: That's all the questions we have.

5 MR. VANCE: Mr. Buchner already mentioned that  
6 the difference is, the potential limits I calculated  
7 are based on 1985 to '90, in addition to the 1995  
8 data, and his limits were calculated based on the  
9 1995 data.

10 THE HEARING OFFICER: Is this a follow up or  
11 clarification?

12 MR. CUNNINGHAM: A couple questions.

13 Could you describe briefly where your  
14 outfall is in relation to -- where this agreed upon  
15 monitoring point is in relation to your outfall, your  
16 ZID and mixing zone?

17 MR. BUCHNER: We do not have a ZID established  
18 for our outfall, and I don't believe that we have a  
19 formal mixing zone that has been determined.

20 Although I did give the Agency copies of  
21 work that we had done that attempted to indicate what  
22 I think we called a mixing pattern.

23 I definitely want to stay away from the term  
24 mixing zone at that point.

1           Sampling point that we agreed upon was at a  
2 point, I believe it was about 3,000 feet downstream  
3 from our outfall, and wading out and collecting the  
4 sample as far as we can without putting the well  
5 being of our sample collector in jeopardy.

6           MR. CUNNINGHAM: If the districts were to receive  
7 the limits that you have set forth in the bottom of  
8 page three, I guess that would be 1.28 summer monthly  
9 average and a -- or if the answer is different, the  
10 1.4 and 1.9 that the Agency has just referred to, are  
11 those limits that the district would find acceptable  
12 or would the district consider filing for an adjusted  
13 standard or appealing those permit conditions?

14          MR. BUCHNER: The limits that were just  
15 offered -- I shouldn't say that were offered, but  
16 that were read into the record by the Agency  
17 representative, I believe that we would have no  
18 problems with those.

19          MR. CUNNINGHAM: And do you believe that would be  
20 true at design loads of --

21          MR. BUCHNER: I'm not an engineer, so I wouldn't  
22 want to speculate on that. I would refer to our  
23 engineering consultant.

24          MR. CUNNINGHAM: That's all.

1 THE HEARING OFFICER: Okay. Are there any other  
2 comments, questions?

3 MS. MC FAWN: I don't know if we need this or  
4 not, maybe you can help me out here.

5 The facts that support your calculations, is  
6 that all that material contained within your  
7 testimony or would it help the Board to have that  
8 particular fax from November of '94?

9 MR. BUCHNER: I guess that -- I do have copies of  
10 the fax if the Board would like it, but it's  
11 essentially the procedure which has been described by  
12 the Agency.

13 MS. MC FAWN: Okay. I'm just going to -- I'm  
14 looking at their technical expert.

15 MR. DUNHAM: You said that you're not an  
16 engineer, I don't remember seeing in the record  
17 anywhere your technical qualifications.

18 MR. BUCHNER: I graduated from North Central  
19 College in Naperville, Illinois in 1974, I graduated  
20 magna cum laude with a bachelor of arts degree, major  
21 in biology, minor in chemistry.

22 I'm presently a class one wastewater  
23 treatment works operator in the State of Illinois.

24 I joined the Fox -- well, it's the Aurora

1 sanitary district, I believe, in 1982, it might be  
2 '83 as their laboratory supervisor, and I was in  
3 that position till late 1987.

4           At that time I became the special projects  
5 coordinator where I became involved in special  
6 projects such as this.

7       MR. DUNHAM: Thank you.

8       THE HEARING OFFICER: Thank you. I think we got  
9 time for testimony from one more person.

10           I ask Jim Daugherty from the Illinois  
11 Association of Wastewater Agency to come forward.

12       MR. DAUGHERTY: I do plan to expand upon my -- I  
13 would be happy to wait till tomorrow if you want to.  
14 It might take a few minutes. It's up to you.

15       MR. DUNHAM: It might be easier to do it  
16 tomorrow.

17       THE HEARING OFFICER: Okay. Off the record for a  
18 minute.

19   (Discussion had off the record.)

20       THE HEARING OFFICER: Okay. Since we are nearing  
21 the end of the date, we're going to proceed with the  
22 questions from the Sierra Club of Mr. James Huff for  
23 today, and then we will reconvene tomorrow for the  
24 testimony of Mr. Huff and for the testimony from Mr.



1 water quality standards.

2 Wild species may be 50 percent more tolerant  
3 than laboratory species, and the reference 11EQ  
4 document 7703 at page 255 and 256.

5 MS. ROSS: That's in this report here?

6 MR. CUNNINGHAM: No.

7 MS. ROSS: You're just giving that information.  
8 Okay.

9 And that's one report that was conducted by  
10 the Illinois EPA; is that right?

11 MR. HUFF: Illinois Institute of Environmental  
12 Quality.

13 MS. ROSS: And they compare laboratory with --  
14 did they do a series of laboratory studies and a  
15 series of outdoor experimental?

16 MR. HUFF: No. The question -- that report has  
17 responses from five biologists that were brought in  
18 as expert witnesses, and in a proceeding before the  
19 Board, a question was posed to them with respect to  
20 the differences between wild species and laboratory  
21 reared species.

22 MS. ROSS: Okay. So that was expert opinion  
23 offered at previous testimony?

24 MR. HUFF: That's correct.



1 MS. ROSS: And question 14 and 15, I just really  
2 didn't understand your comment on the implementation  
3 of the ammonia standard. I didn't understand what  
4 you intend to do.

5 MR. CUNNINGHAM: Are we skipping 1(b)?

6 MS. ROSS: Is there a 1(b)?

7 THE WITNESS: Maybe I just broke it down.

8 MS. HOWARD: The portion of the question  
9 regarding the outfalls.

10 MS. ROSS: Oh, yeah.

11 MS. ROSS: Isn't it true that there are quite a  
12 few reasons why you could be able to fish in a mixing  
13 zone, and it doesn't necessarily mean that the  
14 quality of the water is particularly good?

15 MR. HUFF: Well, the presence of fish in a mixing  
16 zone may not necessarily be indicative of high  
17 ecosystem quality.

18 It does suggest that the ammonia levels in  
19 the outfalls are not sufficiently high, i.e., chronic  
20 levels to cause the natural avoidance mechanisms of  
21 fish to my migrate out of the area.

22 Evidence of excellent fishing in my  
23 testimony was far more extensive than the "sighting  
24 of a fisherman in a mixing zone."

1           The Fox River study included a summary of a  
2 report by the Department of Conservation on the fish  
3 qualify on the Fox.

4           On the Rock River, the attachments to the  
5 testimony provide firsthand information from local  
6 outdoor writers, bait shops and professional guides  
7 on the overall health of fish on the Rock.

8           These individuals have decades of experience  
9 and represent for more than the sighting of one  
10 fisherman in a mixing zone.

11           For example, Mr. Merlin Howe is a retired  
12 conservation police sergeant with years of experience  
13 on the Rock River.

14           Improved fishing is not limited to the Fox  
15 and the Rock Rivers.

16           The 1994 report, "The Changing Illinois  
17 Environment: Critical Trends," prepared jointly by  
18 the Illinois Department of Energy and Natural  
19 Resources and the Nature of Illinois Foundation  
20 reported that since 1977 angling days statewide have  
21 increased by 21 percent.

22           MS. ROSS: But isn't it true that at an outfall,  
23 there can be such things as increased temperature,  
24 increased turbulence or changes in -- I mean the fact

1 that there are fish in a mixing zone, doesn't  
2 necessarily mean that there is no toxicity there?

3 MR. HUFF: I don't think I could answer that  
4 beyond what I just said.

5 If they -- fish have, especially as Mr.  
6 Mosher pointed out, the adult specie, a natural  
7 avoidance mechanism, so if there is a stress placed  
8 on them in the form of some toxicant, their natural  
9 tendency should be to avoid that area.

10 Now, if there are things that are attracting  
11 them, maybe those are overbalancing the toxic  
12 effects, I suppose that's possible.

13 MS. ROSS: The second question was: Could you  
14 just explain what it is you intend the Agency to do  
15 with your comment? It begins on page fourteen.

16 MR. HUFF: Could you read that comment? I had  
17 trouble understanding exactly what question you were  
18 referring to.

19 MS. ROSS: You say that the Agency's proposal  
20 lowers un-ionized from .05 to .02.

21 But you suggest that allowing dischargers to  
22 monitor stream temperature at their option when the  
23 temperature is above twelve degrees Celsius, the  
24 applicable un-ionized standard --

1 MR. HUFF: One of the proposal of the Ammonia  
2 Group is that at a discharger's option, they go out  
3 and measure stream temperature, and if the stream  
4 temperature is above twelve degrees Celsius, then the  
5 applicable un-ionized ammonia standard should be 0.05  
6 as opposed to 0.02 during the months of November  
7 through March.

8 THE HEARING OFFICER: We have a question.

9 MR. SONI: My name is Hiten Soni, I'm with the  
10 Board's technical staff.

11 Are you proposing where exactly would you  
12 measure the temperature, in the river?

13 MR. HUFF: Certainly in the river. In order to  
14 establish an un-ionized ammonia, you have to collect  
15 a temperature, a pH and a total ammonia, so my answer  
16 would be wherever you're collecting a total ammonia  
17 sample and the pH is where you would collect the  
18 temperature sample.

19 MR. SONI: Would you also recommend the time of  
20 the day that you would do this?

21 MR. HUFF: Same answer. If that's specified in  
22 permits today, the Agency certainly has done that on  
23 parameters such as dissolved oxygen.

24 They certainly can do the same thing on

1 ammonia nitrogen. If they didn't specify the time of  
2 day, then, no, but if one wanted to go out there,  
3 whether it was an EPA field inspector or the  
4 discharger, they would have some discretion as what  
5 time of day they would be collecting those samples.

6 MR. CUNNINGHAM: If I might, I think there may be  
7 a misunderstanding as to the scope of what we're  
8 talking about here.

9 We're really talking about a situation where  
10 a discharger is required to do instream monitoring,  
11 and we don't believe that somebody who is required to  
12 do instream monitoring and who is doing that instream  
13 mon-monitoring at some particular point in the stream  
14 should be held to a standard that's applicable to  
15 under twelve degrees when it's actually being done at  
16 above twelve degrees.

17 It would not be a defense to an effluent  
18 limit violation, for example, it's a defense against  
19 violation of an instream water quality standard where  
20 that would have to be measured, and it would be  
21 measured at whatever monitoring point would be  
22 determined pursuant to the permit and at whatever  
23 times were specified.

24 MS. ROSS: Well, then, it does appear -- maybe

1 I'm still confused.

2           You're sort of proposing a two level  
3 standard then for below twelve and above twelve  
4 degrees; is that right?

5       MR. HUFF: Yes. Because toxicity data was  
6 divided at the twelve degrees centigrade in order to  
7 derive the 0.02 and the 0.05 standards.

8       MS. ROSS: Okay. All right. I understand that.

9       MR. DUNHAM: Can I interject?

10           You are proposing then that those people who  
11 are willing to install perhaps continuous or at least  
12 fixed monitoring stations for temperature be allowed  
13 to do this, this is something that they -- the  
14 discharger would make an agreement with the EPA to  
15 actually install additional equipment in order to be  
16 able to make -- take this option?

17       MR. HUFF: I think it would be at least in the  
18 initial part up to the discharger, whether they felt  
19 it was necessary.

20           If you had a discharger such as Fox Metro  
21 who is right now consistently discharging below one  
22 milligram per liter, there would be no reason for  
23 them to go out in the stream and monitor the  
24 temperature and pH because they can meet a more

1 rigorous limit.

2           If you have somebody on the other hand  
3 that's on the low flow stream that effective November  
4 1st that un-ionized standard just went from 0.05 to  
5 0.02, he may be discharging at a level that the  
6 stream is going to be over .02, but because it's a  
7 warmer day, he could go out there, measure the  
8 temperature and say, well, it's not toxic to the fish  
9 because in order to be toxic to the fish it has to be  
10 below twelve degrees centigrade to be -- the  
11 applicable standard to be the .02, so it would be at  
12 the discharger's option if they wanted to go out  
13 there in the stream that day to take those samples.

14           If he's already taken those samples, now, if  
15 he goes out there say on November 1st, and he back  
16 calculates a standard -- or an un-ionized ammonia of  
17 .03, that's a water quality violation, whereas if  
18 the temperature on that day was fourteen degrees  
19 centigrade based on the technical literature, that's  
20 not chronically toxic to a biota.

21           MR. CUNNINGHAM: It may well be that the most  
22 important aspect of this part of the proposal is in  
23 the analysis, the data collection that would be done  
24 and the analysis of worse case conditions in order to

1 make a determination of whether projected under worse  
2 case conditions there would be an instream violation  
3 that's a part of -- you know, the data gathering  
4 aspect of the Ammonia Group's proposal.

5 MR. STUDER: Can I ask a question here? How  
6 would you apply that then as a four day average?

7 MR. HUFF: I think you could either separate the  
8 four days in a row that are less than twelve degrees  
9 versus the four days in a row that are above twelve  
10 degrees.

11 MR. STUDER: But weren't you indicating that you  
12 would go out and have instream temperature, instream  
13 pH and instream ammonia gathered, and that that would  
14 be there, and then you go back and do the same thing  
15 the next time?

16 MR. HUFF: The next day.

17 MR. STUDER: So you've got an averaging that's  
18 occurred, then what's the standard, 02 or 05?

19 MR. HUFF: I think high I separate the data into  
20 less than twelve degrees and above twelve degrees.

21 MR. STUDER: Even though there may be days in  
22 between there where the temperature may --

23 MS. HOWARD: She can't take down both of you  
24 talking at the same time.



1 MR. HUFF: You may have days where you're above  
2 twelve degrees centigrade on the 1st, 5th, 7th and  
3 9th, so you could average those four and compare  
4 those to the .05, and on the days it's less than  
5 twelve degrees centigrade, average those.

6 THE HEARING OFFICER: Let's go back to the Sierra  
7 Club's question.

8 MS. ROSS: Well, my question was -- I didn't  
9 understand what you were saying. I think I better  
10 understand it.

11 I guess I have a hard time seeing how it  
12 would be implemented, but you have answered the  
13 question, so we'll move to page 16 and 18.

14 I guess once again -- for a while there, I  
15 thought you were agreeing with me, but then it didn't  
16 appear that you were.

17 And I wasn't clear on what you were  
18 recommending that the Agency do about effluent  
19 modified waters.

20 Why should the Board simply raise the  
21 standard to .02 -- from .02 to .03, just so they  
22 didn't have to worry about so many effluent modified  
23 waters?

24 MR. HUFF: I think there's a lot more reasons

1 just so you would have fewer effluent modified  
2 waters.

3           The 0.03 milligrams per liter un-ionized  
4 ammonia standard is not more lenient than the  
5 existing 1.5 total ammonia and the 0.04 milligram per  
6 liter un-ionized water quality standard.

7           The 0.03 milligram per liter limit can be  
8 derived from the same data base as utilized by IEPA  
9 following USEPA protocols.

10           The evidence supporting the 0.03 milligrams  
11 per liter is the same "evidence" used to support the  
12 0.02 milligram per liter standard.

13           The only difference is the methodology used  
14 to calculate the acute/chronic ratio.

15           If the Board adopts the Agency's proposal as  
16 written, I believe the Board will be inundated with  
17 adjusted standards, permit appeals, variances, et  
18 cetera.

19           Many of the other dischargers will be to  
20 receiving streams where there won't be even a chronic  
21 water quality standard, the ones with the effluent  
22 modified waters, so what good is a standard when the  
23 Agency is going to grant waivers of an un-ionized  
24 standard to 94 out of 120 of the major nitrifying

1 facilities.

2           A waiver is considerably more lenient than  
3 either the 0.02 milligram per liter or the 0.03  
4 milligram per liter standard.

5           The intent of our proposal is not to  
6 accommodate the dischargers, rather our proposal is  
7 structured to set an ammonia water quality standard  
8 protective of native species while at the same time  
9 protect citizens, taxpayers, and rate payers from  
10 being forced to finance wastewater treatment plant  
11 "improvements" that will not benefit the receiving  
12 waters.

13       MS. ROSS: So you're just saying that they don't  
14 need to change the ammonia standard, that it's not  
15 necessary.

16       MR. HUFF: I don't think that's what I said at  
17 all.

18       MS. ROSS: Well, additional changes aren't going  
19 to have any benefit for the environment.

20       MR. HUFF: The question is what benefits will be  
21 derived from a standard of 0.02 milligrams per liter  
22 if you turn around then and grant this effluent  
23 modified waters designation up to 94 out of 120 major  
24 dischargers.

1           It's like you have this very restrictive  
2 standard, but then you don't apply it on the streams  
3 where it's going to be exceeded.

4           MS. ROSS: And we have opposed the granting of  
5 widespread waivers to a water quality standard, so  
6 the Sierra Club has opposed effluent modified waters  
7 category just on that basis, that it's a waiver of  
8 water quality standard.

9           So in a sense you're agree with that, that  
10 it's senseless to set a standard and then waive it  
11 for most districts?

12          MR. HUFF: I guess the question is is there a  
13 better way of doing it, and I think the answer to No.  
14 1 is, well, maybe the 0.02 is too restrictive, we've  
15 heard today, the Agency I think now is supporting a  
16 0.025, I think going back to Dr. Sheehan's analysis  
17 with the same data, you could easily support a 0.03  
18 even without the more recent data in there.

19           Then there's the question of the 1.5  
20 milligram per liter floor, maybe on intermittent  
21 streams we should keep that in there which would  
22 eliminate the need for granting waivers altogether.

23          MS. ROSS: How would that eliminate the need for  
24 granting waivers?

1 MR. HUFF: Well, the 1.5 milligram per liter  
2 millimeter total ammonia water quality standard  
3 remained in effect, then all these intermittent  
4 streams or the lower flow streams would be compliant  
5 with that.

6 MS. ROSS: So the floor would be put in place --  
7 it would supersede the chronic standard? I don't  
8 understand.

9 MR. HUFF: Just exactly like what you have now  
10 where you have an un-ionized ammonia standard today,  
11 .04, but it only is applicable when the total  
12 ammonia is above 1.5.

13 MS. ROSS: I thought I heard testimony previously  
14 that that 1.5 standard is not based on what people  
15 call good science. Have you evaluated?

16 MR. HUFF: I guess I go back to the Agency's  
17 repeated assertions that they've never seen any  
18 ammonia impairment in streams where the -- that  
19 standard basically has been applicable where they've  
20 had 1.5 as the effluent limit, and they haven't seen  
21 any ammonia impairment on those streams.

22 MS. ROSS: Well, I would challenge the assertion  
23 that the ammonia hasn't impaired streams, but this is  
24 no place for a debate.

1           So let me move on to the last I think  
2 question in regards page seventeen, it's about  
3 effluent modified waters again.

4           You recommend that the Board tie the  
5 effluent modified water status to existing stream  
6 conditions; is that right?

7           Are you, in fact, saying that effluent  
8 modified water status should be based on some  
9 instream conditions, some sampling or how would you  
10 know whether there's stream degradation? How is that  
11 different from the effluent modified waters now?

12         MR. HUFF: Can you repeat the question?

13         MS. ROSS: You say here if winter -- let's see.

14           You say allowing EMW designations for one  
15 season another based on the effluent limit of the  
16 season -- why use this designation when not required  
17 during one season or the other? I don't understand  
18 how you're tying effluent waters to season.

19         MR. HUFF: Under the Agency's proposal, the  
20 effluent modified waters designation is applied both  
21 summer and winter, it's an all or nothing  
22 proposition, and my comment was if a discharger only  
23 needs the effluent modified waters designation for  
24 one season, why impose it on both seasons because

1 that way you would at least have a chronic water  
2 quality standard several months of the year.

3           For example, if they would grant an EMW for  
4 just the winter month, so why throw out both chronic  
5 water quality standards when you only need to grant a  
6 waiver for one season or the other.

7           MS. ROSS: So you would base the effluent  
8 modified waters waiver or whatever you're going to  
9 call it on which season they need relief, winter or  
10 summer?

11          MR. HUFF: That would be one factor, yes, or  
12 both.

13          MS. ROSS: I'm just not clear on how you're  
14 distinguishing when you get -- I mean it seems pretty  
15 clear that effluent modified waters is based on  
16 ammonia impairment in the streams.

17          MR. HUFF: No. No. That's not correct. In  
18 order to be granted an effluent modified waters,  
19 there can be no ammonia impairment in the stream.

20          MS. ROSS: So what is your concern here, and what  
21 are you suggesting when you ask how the Agency will  
22 determine ammonia impairment.

23          MR. HUFF: The way the Agency determines it now,  
24 they go out, they do biological eco invertebrate

1 collections, and they determine whether a downstream  
2 sampling site is degraded relative to upstream sites  
3 and perhaps other downstream sites.

4           If they find degradation, then they go back  
5 and attempt to find the cause of that, and cause is  
6 generally correlated with an exceedence of a water  
7 quality standard.

8           So if you found degradation downstream of a  
9 discharger and they go back and they look at the  
10 ammonia levels, and the un-ionized ammonia levels  
11 were .04 in the winter, they would classify that as  
12 ammonia impairment.

13           If they classify a .04 milligram per liter  
14 level in the winter as ammonia impairment, that  
15 discharger would be excluded from being granted an  
16 EMW.

17       MS. ROSS: You're saying it could be something  
18 else that's causing impairment?

19       MR. HUFF: Yes.

20       MS. ROSS: But if there's also ammonia standard  
21 exceedence --

22       MR. HUFF: Where it gets trickier now is if you  
23 adopt a .02 standard for the winter, what do you  
24 determine to be an ammonia water quality exceedence,



1 is it .02 and now you say anything above .02 is  
2 ammonia impairment or do you set that level at .04,  
3 or .05 or some even higher number.

4 MS. ROSS: Well, I didn't understand that. But  
5 if you have a standard -- you said if you set a  
6 standard of .02, then wouldn't anything over .02 be  
7 an exceedence?

8 MR. HUFF: And if that's the case and there's  
9 stream degradation downstream, that discharger is not  
10 entitled to an EMW.

11 MS. ROSS: And that's bad?

12 MR. HUFF: Well,, I think the 94 people  
13 that have been earmarked for EMW designations,  
14 some of those aren't going to be granted EMW's, and  
15 then the economic impact would be significantly  
16 greater.

17 MS. ROSS: Okay. I think I understand what  
18 you're saying.

19 THE HEARING OFFICER: That completes the  
20 questions from the Sierra Club. Off the record for a  
21 minute.

22 (Discussion had off the record.)

23 THE HEARING OFFICER: That completes the hearing  
24 for today. We will reconvene the hearing tomorrow at

1 9:00 o'clock in room 225 in the James R. Thompson  
2 Center. Thank you.

3 (Whereupon, the hearing in  
4 the above-entitled cause was  
5 continued to February 23,  
6 1996 at 9:00 o'clock a.m.)

7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24