

**ORIGINAL**

**BEFORE THE ILLINOIS POLLUTION CONTROL BOARD**

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22  
23  
24

**RECEIVED**  
CLERK'S OFFICE  
FEB 11 2009  
STATE OF ILLINOIS  
Pollution Control Board

IN THE MATTER OF: )  
NITROGEN OXIDES EMISSIONS )  
FROM VARIOUS SOURCE ) R08-19  
CATEGORIES: ) (Rulemaking - Air)  
AMENDMENTS TO 35 ILL. ADM. )  
CODE PARTS 211 and 217. )

Hearing  
Taken February 3, 2009

REPORTER: Bobbi L. Hamlin, RMR  
Illinois License # 084-002797  
Keefe Reporting Company  
11 North 44th Street  
Belleville, Illinois 62226

1 WHEREUPON, THE FOLLOWING PROCEEDINGS WERE MADE OF  
2 RECORD:

3 MR. FOX: Good morning, everyone and welcome  
4 to this Illinois Pollution Control Board hearing.

5 My name is Tim Fox. And I'm the hearing  
6 officer in this proceeding it is entitled Nitrogen  
7 Oxides Emissions From Various Source Categories:  
8 Amendments to 35 Illinois Administrative Code Parts 211  
9 and 217. The board docket number for this rule making  
10 is R08-19.

11 The Illinois Environmental Protection  
12 Agency filed this rule making proposal on May 9th of  
13 2008 and The Board accepted it for hearing in an order  
14 dated June 5th of 2008.

15 We are, of course, holding today the third  
16 hearing in this rule making. The first hearing took  
17 place on October 14th, 2008 in Springfield and the  
18 second took place over two days on December 9th and  
19 December 10th, 2008 in Chicago.

20 I want to take just a moment to introduce  
21 the other people who are present here from the board  
22 with me today. To my immediate left is board member  
23 Andrea Moore, who is the lead board member assigned to  
24 this rule making, to her left is board member

1 Thomas E. Johnson and to my right is Dr. Anand Rao. We  
2 also refer to him -- refer to you that way, apparently,  
3 it's Mr. Anand Rao, who of course is known to many of  
4 you from the board technical and scientific staff.

5 This proceeding, as is all other rule  
6 making hearings, is governed by The Board, its  
7 procedural rules and applicable information that is  
8 relevant and that is not repetitious or privileged will  
9 be admitted into the record of this hearing.

10 Please note that any questions that are  
11 posed either by the board members or the staff are  
12 intended solely to develop a complete and clear record  
13 of this proceeding and do not reflect any prejudgment or  
14 any conclusions regarding the merits of the agency's  
15 proposal or any of the testimony offered on it.

16 The Board did receive pre-filed testimony  
17 for the second hearing from the Illinois EPA on, I  
18 believe, January 20th of 2009, specifically the  
19 testimony of Mr. Robert Kaleel, Mr. Michael Koerber and  
20 Dr. James Staudt.

21 And in speaking about procedural matters  
22 with Ms. Roccaforte before hearing I believe she  
23 intended to offer those three witnesses in that order.  
24 And I see her agreeing that that is correct.

1                   In addition to the testimony, pre-filed  
2 testimony, from the three witnesses on behalf of the  
3 Environmental Protection Agency The Board did receive on  
4 Monday, February 2nd a pre-filed testimony from  
5 Mr. Blake Stapper on behalf of United States Steel. And  
6 the hearing officer order setting this hearing date and  
7 the order for hearings did contemplate that we would  
8 follow the pre-filed testimony with the testimony of any  
9 other witnesses who wish to testify, including those who  
10 did not pre-file at all. So, it's my intention at the  
11 conclusion of The Agency's testimony by it's three  
12 witnesses and all of the questions based upon that to  
13 proceed to Mr. Stapper's testimony and any questions  
14 that the other participants may have on that testimony.

15                   In addition, the board also received  
16 post-hearing comments from the Illinois Environmental  
17 Regulatory Group or IERG. And I understand from Ms.  
18 Hodge that IERG did not wish to offer any testimony  
19 today on the basis of those post-hearing comments from  
20 the second hearing.

21                   MS. HODGE: That's correct, but IERG's  
22 counsel, Alec Davis, and executive director probably  
23 have some questions for the agency.

24                   MR. FOX: Very good. Thank you.

1 Ms. Hodge, we also received post-hearing  
2 comments from Saint-Gobain from Mr. Smith.

3 And it was my understanding, Mr. Smith,  
4 that you did not wish to offer testimony either, but  
5 were here perhaps to ask some questions or perhaps  
6 solely to monitor the course of that proceeding.

7 Does that sound correct?

8 MR. SMITH: No. Actually, I'd like to  
9 testify, but very, very brief.

10 MR. FOX: Very good. Perhaps what we can  
11 do is have you do so after Mr. Stapper and then we can  
12 proceed to you as soon as he's complete and the  
13 questions are wrapped up.

14 MR. SMITH: Thank you.

15 MR. FOX: Surely.

16 And we also received post-hearing comments  
17 from ConocoPhillips. And I believe that there was,  
18 while no intent to testify on their part, their  
19 representatives may have some questions that they wish  
20 to pose of The Agency and the other witnesses; is that  
21 correct, Ms. Hodge?

22 MS. HODGE: That's correct.

23 MR. FOX: Very good.

24 And finally, we also received some

1 supporting materials in response to questions from  
2 The Board and The Agency, those materials from  
3 United States Steel, which I believe were filed on  
4 Friday the 30th, as well as I wanted to reflect that  
5 those were part of The Board's records.

6 MS. HODGE: Thank you.

7 MR. FOX: If -- if any other participants  
8 do wish to testify and doesn't need be right away, it  
9 certainly can be at a break, which we probably will take  
10 mid morning, there is a sign up sheet, it will be here  
11 on the counter next to the court reporter. If you would  
12 like to offer testimony and did not pre-file it or if  
13 you would like to offer a comment at the conclusion of  
14 the testimony, please, do so just as a housekeeping  
15 matter so we can keep track of what we need to expect to  
16 allow time for and how long this hearing may run.

17 At the conclusion of the testimony,  
18 pre-filed and otherwise, we will, as time allows,  
19 provide an opportunity for people to offer comments  
20 those, of course, are not sworn but we will make  
21 every -- make every effort to include an opportunity --  
22 opportunity for people to offer those. I am aware of at  
23 least one person who would like to offer a comment.

24 For the benefit of the court reporter,

1 finally, who's transcribing our hearing today, please,  
2 make an effort to speak clearly. We can, as I said,  
3 activate the public address system if that's helpful.  
4 And, please, avoid talking at the same time as any other  
5 person I know that will simplify her task and help us  
6 have a clearest possible transcript.

7 I do want to take care of just one or two  
8 quick housekeeping matters.

9 In looking over the transcript of our --  
10 our last hearing on December 10th we had in the course  
11 of that hearing effectively reserved Exhibit Numbers 15  
12 and 16 for two USEPA charts that related to Midwest  
13 Generations Boiler Number 3 and Joliet Number 71 Boiler  
14 respectively. Ms. Bassi, at that hearing indicated that  
15 she would submit those into the docket. I believe that  
16 there was an issue of both the number of copies, the  
17 quality of the copies and the availability of another  
18 copy that did have the USEPA web page on the document  
19 all of which would help make it a little clearer and a  
20 little more useful for the record. Ms. Bassi had  
21 indicated that she would submit those to the board that,  
22 quote, improved copy, which she promptly did in a file  
23 on December 19th and that she would then propose  
24 admission formally into the record under the exhibit

1 numbers that we had set aside.

2 And Ms. Bassi, that sort of sets you up for  
3 any motion that you may wish to offer.

4 MS. BASSI: Thank you.

5 I would move to offer Exhibit Number 15  
6 titled Baldwin 3 and Exhibit Number 16 titled Joliet 71  
7 Boiler into the record as exhibits.

8 And I would like to show Baldwin 3 to  
9 Mr. Philbright here, who is from Baldwin.

10 MR. FOX: Mr. Philbright from --

11 MS. BASSI: Who is from Dynegy.

12 MR. FOX: And I should have noted in  
13 speaking earlier that Ms. Bassi not only had served  
14 those on The Board, but on the service list.

15 MS. BASSI: That's correct.

16 MR. FOX: And at this point I'll ask I  
17 can't recall, Ms. Bassi, I'm sorry if you had formally  
18 moved to -- those into the record.

19 Was there any objection to the admission of  
20 those documents as Exhibits Number 15 and 16?

21 (No response.)

22 MR. FOX: Neither seeing nor hearing any,  
23 Ms. Bassi, they will be admitted under those docket  
24 numbers we had reserve on the hearing on December 10th.



1 MS. BASSI: Thank you.

2 MR. FOX: Secondly, I did want to note also  
3 I'm sure all of you are aware Friday, January 30th, 2009  
4 the Illinois Environmental Protection Agency did file a  
5 motion to amend it's rule making proposal. That motion  
6 is directed to The Board. And the 14-day response  
7 period has not yet run. However, that motion to amend  
8 is in the record in these proceedings and we can deal  
9 today with any questions or comments that may arise on  
10 the substance of this motion. Certainly, The Board will  
11 take that up at very quick opportunity to address the  
12 merits of that motion.

13 Any questions about our procedures or any  
14 procedural issues that anyone wishes to address before  
15 we get under way?

16 MS. ROCCAFORTE: I would.

17 MR. FOX: Ms. Roccaforte?

18 MS. ROCCAFORTE: Good morning.

19 My name is Gina Roccaforte, assistant  
20 counsel on behalf of the Environmental Protection  
21 Agency. And with me today are Dana Vetterhoffer,  
22 assistant counsel; Shannon Bilbrook, legal specialist;  
23 Robert Kaleel, Manager of the Air Quality Planning  
24 Section Division of Air Pollution Control Bureau of Air;

1 Mike Koerber, Executive Director Lake Michigan Air  
2 Directors Consortium; and Dr. James Staudt, President  
3 Andover Technologies Partners; also two engineers in the  
4 Bureau of Air Vera Hoopta and Hojin Maji.

5 I'd just like to note for the record that  
6 the agency objects to the pre-filed testimony of  
7 Blake Stapper on behalf of United States Steel  
8 Corporation.

9 As you indicated pre-filing deadline for  
10 this testimony was January 20th, 2009 and Mr. Stapper's  
11 testimony was filed yesterday and we haven't had  
12 adequate time to prepare for this hearing.

13 And I'd also like to note for the record  
14 that at the December 10th hearing information was  
15 requested of United States Steel Corporation and  
16 U.S. Steel submitted these supporting materials last  
17 Friday, which hasn't given us much time to prepare, but  
18 we will do our best.

19 Thank you.

20 MR. FOX: Very good. Thank you,  
21 Ms. Roccaforte.

22 Any -- any further comments before we get  
23 under way with the substantive testimony and questions?  
24 (No response.)

1 MR. FOX: Very good

2 Ms. Roccaforte, you had indicated that it  
3 made the most sense to proceed from Mr. Kaleel, to  
4 Mr. Koerber, to Mr. Staudt. Does it make the most sense  
5 to swear them all in at once and simply take care of  
6 that before the agency begins?

7 MS. ROCCAFORTE: That would be fine.

8 MR. FOX: Excellent.

9 WHEREUPON, ROBERT J. KALEEL, DR. JAMES E. STAUDT AND  
10 MICHAEL KOERBER WERE FIRST DULY SWORN AND THEN TESTIFIED  
11 AS FOLLOWS:

12 MS. ROCCAFORTE: Forgive me, did you enter  
13 the testimony --

14 MR. FOX: Yes. I'm sorry, I will make that  
15 clear that under The Board's procedural rules the  
16 provision is, I believe it's in Section 102424 F of  
17 The Board's procedural rules the pre-filed testimony  
18 will be entered as if read.

19 And Ms. Roccaforte, if you wish to begin  
20 with a brief summary or any other introduction, please,  
21 feel free to do that.

22 MS. ROCCAFORTE: I have introduced my  
23 witnesses and I believe they may have statements -- I've  
24 introduced them and I believe they will each make a

1 brief statement.

2 MR. FOX: Very well.

3 Mr. Kaleel, it looks like we're ready for  
4 you if you're set to begin.

5 MR. KALEEL: Thank you.

6 I appreciate The Boards's attention to this  
7 matter having this third hearing. We -- we hope that  
8 we're able to clarify the record about this ongoing rule  
9 making.

10 The purpose of my pre-filed testimony -- at  
11 least one of the purposes was to explain the contents of  
12 the amendment that was recently filed with The Board.  
13 At the time that I wrote that testimony we were still  
14 working on an amendment. And in fact, we're continuing  
15 to work with affected industries and anticipate a future  
16 amendment as well.

17 There are a couple of things that I'd like  
18 to clarify about my testimony with respect to what  
19 either was included in the amendment or not and also,  
20 some additional efforts that we have with the group of  
21 stakeholders.

22 First off, I think my testimony had  
23 mentioned on page one that the Illinois EPA was  
24 recommending a compliance date for refineries to

1 coincide with already planned maintenance turnarounds.  
2 That language was, in fact, not included in the  
3 amendment, so I just wanted to note that, that we  
4 anticipated we'd be able to include language in our  
5 amendment and we -- we've not been able to finalize that  
6 yet. I would note that we are still working on this and  
7 we have every expectation that we'll be able to work out  
8 this issue with the affected industries, but that  
9 amendment is not -- that language is not included in the  
10 amendment that's now before The Board.

11           Also in my testimony we anticipated  
12 continuing to work with two companies, Saint-Gobain  
13 Containers and also Midwest Generation. And at the time  
14 that I wrote the testimony we didn't really have those  
15 discussions completed. I'm pleased to report to  
16 The Board that we have completed discussions with these  
17 companies. I guess at least from The Agency's  
18 perspective the amendments that are now before The Board  
19 resolve the outstanding issues or comments provided by  
20 both of those companies.

21           So, I think -- I think those -- those  
22 issues are resolved by this amendment.

23           I think that concludes my opening  
24 statement.

1 MR. FOX: Very good. Thank you, Mr.  
2 Kaleel.

3 Were there any questions that any of the  
4 participants had for Mr. Kaleel on the basis of his  
5 statement or his provided testimony here today?

6 Ms. Bassi, I'm sorry, through the glare I  
7 didn't see you right away.

8 MS. BASSI: Am I out of the glare?

9 Thank you.

10 Do you -- how would you like us to do this?  
11 Would you like us to file a reply to this testimony?

12 I'm speaking on behalf of Midwest  
13 Generation.

14 Would you like us to file a response to  
15 this motion to amend or would you like us to just  
16 express our response today?

17 MR. FOX: If there was a response that you,  
18 on behalf of your clients, wish to make either opposed  
19 to or in favor of the motion you certainly would be free  
20 to do that. The 14-day deadline would not run until  
21 Friday the 13th of February that certainly would be  
22 in -- in order, Ms. Bassi, if that answers your  
23 question.

24 MS. BASSI: My client is not here today,

1 but we have reviewed this motion and we do accept the  
2 motion as far as it applies to Midwest Generation. And  
3 we would waive any further time for The Board to address  
4 the motion at least as far as Midwest Generation goes.

5 MR. FOX: So noted, Ms. Bassi. Thank you.

6 MS. BASSI: Thank you.

7 MR. FOX: I think there was one other --  
8 very good. Thank you.

9 Ms. Hirner.

10 MS. HIRNER: Thank you very much.

11 Deirdre Hirner, Executive Director.

12 I'd like to say I think the IERG and it's  
13 members are reviewing the motion that was submitted by  
14 The Agency. We think it's -- we appreciate The Agency's  
15 efforts to work with the impacted regulated community.  
16 And we think it's a good step in the right direction,  
17 but we're still reviewing it for particular impacts.

18 With that I do have some questions for  
19 Mr. Kaleel.

20 MR. FOX: Please proceed, Ms. Hirner.

21 MS. HIRNER: I'm going to kind of tie these  
22 together these references, the bottom of pages two and  
23 the bottom of page three of your pre-filed testimony.  
24 We have some specific questions that we may follow up

1 on, but in light of some of the proposed changes that  
2 we've seen in the motion just a couple just to clarify a  
3 bit of confusion that we have about the purpose of this  
4 proposed rule.

5                   So, as we look at the language of the rule  
6 and some of the other issues that have been addressed in  
7 separate regulatory actions by the agency, more  
8 specifically those that deal with the ozone designation  
9 and maintenance plan. So, the question I'm going to ask  
10 goes to the purpose of the proposed rule. Is this rule  
11 before us intended by The Agency to be a NOx RACT rule  
12 designed to achieve a 1997 ozone standard and the old  
13 PM 2.5 standard or is the purpose of this rule now to be  
14 a NOx control rule that's designed to meet some yet  
15 uncertain emissions levels that will need to be achieved  
16 to address the 2006 PM 2.5 24-hour standard and the 2008  
17 ozone standard?

18                   MR. KALEEL: That's quite a question.  
19 Maybe I'll try to break this down.

20                   I think there's been testimony filed by me  
21 and also answered numerous questions on this in terms of  
22 the purpose of the rule making. I think -- I think  
23 we've been clear on the record that -- that this rule is  
24 intended to address the requirements for NOx RACT



1 reasonably available control technology for our ozone  
2 and PM 2.5 non-attainment areas and we believe that this  
3 requirement will do that.

4 The RACT requirement is tied to the 1997  
5 ozone standard and also tied to the 1997 PM 2.5  
6 standard. It isn't the same question that we are  
7 relying upon these reductions to attain those standards.

8 The whole purpose of a control program, of  
9 course, is to reduce emissions, in this case of nitrogen  
10 oxides, that will achieve or is intended to achieve  
11 improvements in air quality both in the non-attainment  
12 area and downwind of the non-attainment area.

13 It is true that the Chicago area is  
14 attaining the 1997 ozone standard based on the three  
15 most recent years of ozone data and that that was at  
16 least one of the purposes of the public hearing  
17 sponsored by the agency in December in Chicago was to  
18 present the maintenance plan as required by USEPA to  
19 support the re-designation petition for the 1997  
20 standard.

21 Metro East area does not attain the 1997  
22 standard for ozone or PM 2.5. There are areas, and I  
23 think Mike Koerber will address this in his testimony as  
24 well, there are areas directly downwind of Chicago that

1 are impacted by Chicago that have not yet attained the  
2 1997 standard and certainly have not attained the new  
3 recent revised ozone standards.

4 So, the purpose of the rule is to achieve  
5 improved air quality, but it also is intended to address  
6 the NOx RACT requirement. We don't and have never  
7 characterized NOx RACT as being the only program that  
8 will bring us into attainment of any of these standards.  
9 It's one element of a very complex suite of control  
10 measures that the agency is relying on to address  
11 attainment of both of those standards.

12 MR. DAVIS: Alec Davis, also on behalf the  
13 IERG.

14 Mr. Kaleel, you described the new standards  
15 both for ozone and you described the new ozone and  
16 PM 2.3 standard both in your testimony and in your  
17 response just now.

18 When will the Illinois EPA be able to make  
19 a determination regarding NOx RACT requirements for  
20 these new standards?

21 MR. KALEEL: Obviously, we're just now  
22 beginning on the process to address the new standards.  
23 As I mentioned in my testimony USEPA just in December of  
24 2008 had established the boundaries for PM 2.5 the

1 24-hour standard, so that that's, obviously, very recent  
2 development ozone standard that was revised last year.  
3 We still haven't even made a recommendation to USEPA.  
4 The USEPA has not acted yet establishing non-attainment  
5 boundaries. We do know that the Metro East area and the  
6 Chicago area will not be attaining or are not attaining  
7 the new ozone standard. We expect that USEPA will act  
8 to finalize the non-attainment boundaries some time in  
9 2010. If they do that we would be required to provide a  
10 SIP provision, State Implementation Plan, revision three  
11 years after that. So, that would be some time in 2013.  
12 I don't know exactly when a RACT demonstration will be  
13 required for that new standard. We know that there will  
14 be a requirement to address RACT for the new standard.

15           The RACT requirement is -- is hardwired  
16 into the Clean Air Act, so we know that there will be a  
17 RACT requirement for these non-attainment areas for the  
18 new standards, obviously, with a -- with a later date  
19 than as required by the 1997 standard.

20           I add to that we fully expect that the NOx  
21 RACT limits that we are proposing today would be  
22 adequate and we would support this before USEPA would be  
23 adequate to address the NOx RACT requirement for the  
24 future standards. So, as long as they are implemented

1 in time The Board is -- has finalized those  
2 requirements, we believe that this would address those  
3 requirements at least for those areas and those sources  
4 that are affected by this proposal.

5 MS. HIRNER: So, if I could please, just to  
6 clarify, you said this NOx RACT rule will satisfy NOx  
7 RACT for the future rule, the new standard, I'm sorry,  
8 for the new standards?

9 MR. KALEEL: I don't think I said it quite  
10 like that, but that would be our contention. If  
11 there's -- if there's a breakthrough in technology  
12 between now and the time that we have to address the  
13 eight-hour standard that makes a different control level  
14 reasonably available it's possible that we would need to  
15 amend this proposal, but we believe given the short  
16 amount of time that we have that this requirement would  
17 satisfy NOx RACT for the future standards for the areas  
18 and for the sources that are affected by this proposal.

19 MR. DAVIS: Thank you.

20 I'd like to know has the Illinois EPA  
21 drafted a draft NOx RACT -- NOx RACT SIP for these  
22 current standards?

23 MR. KALEEL: I guess I'm not quite certain  
24 the nature of this question.

1                   This -- this proposal when it -- when it's  
2 adopted by The Board, presuming it is adopted by  
3 The Board, would be part of our overall attainment  
4 demonstration SIP. We would -- we would submit these --  
5 these rules when finalized along with other supporting  
6 documentation to USEPA with a statement. And I guess  
7 this is what you're asking whether the statement is in  
8 a -- the form of a letter saying we've adopted NOx RACT  
9 and this constitutes our submittal. I mean, it could be  
10 just, I don't mean to be flippant, but it could be that  
11 our indication USEPA is just that simple, here's --  
12 here's the proposed rule or here's the final rule,  
13 here's -- here's the evidence that we have all the  
14 technical support that we relied upon, here's the  
15 evidence of hearing I mean, these are the kinds of  
16 things that USEPA would require in a submittal. So, I  
17 think -- I think this rule making constitutes NOx RACT.

18                   I don't know if I exactly answered your  
19 question.

20                   MS. HIRNER: Just again to clarify, so when  
21 this is submitted, and we're thinking about this in the  
22 context of the -- the federal sanctions, so will this  
23 meet a deadline to prevent possible federal sanctions?

24                   MR. KALEEL: I guess -- I guess we hope so.

1 Obviously, we -- we don't -- we don't set The Board's  
2 calendar. We can't predict when The Board will take  
3 action on this.. They -- I mean, they certainly are  
4 aware of the sanctions issue we've -- we've highlighted  
5 that in our statement of reasons. So -- so, we -- we  
6 hope it does. And to the extent that the -- the rule  
7 making is still pending at the point that the sanctions  
8 kick in I think at that point we'd have some discussions  
9 with USEPA to see if they're satisfied that we made  
10 enough progress to avoid the sanctions. I -- I -- I  
11 guess it's -- given that it's statutory I -- I -- I  
12 don't know whether a pending rule would be sufficient to  
13 avoid the sanctions.

14 MR. DAVIS: Okay. Thank you.

15 My last question I'd like to ask just a few  
16 really quick clarifications regarding the CAIR Rule  
17 Program that you described on page three of your  
18 testimony.

19 You state that the Illinois EPA will be  
20 developing a regulatory proposal to incorporate non-EGUs  
21 in the CAIR Program for the purpose of non-EGUs meeting  
22 their emission budget obligations under the Federal NOx  
23 SIP program.

24 Would you say that's a correct

1 characterization of your testimony?

2 MR. KALEEL: Trying to go back and find the  
3 specific language in my testimony. Excuse me.

4 MR. DAVIS: It's the first paragraph on  
5 page three.

6 MR. KALEEL: I think the way you phrased  
7 the question is the Illinois EPA working on a proposal  
8 to include the non-EGUs in the trading program. That  
9 isn't what my testimony says.

10 What I intended to say is that the NOx SIP  
11 Call budget that was established for the non-EGUs that  
12 that budget still applies under CAIR. There is an  
13 obligation upon the State of Illinois to -- to -- to  
14 address how it intends to ensure that that budget is  
15 being maintained in Illinois given that the NOx SIP Call  
16 rules will soon be sunset as a result of the CAIR Rule  
17 making we -- we know that we need to address that both  
18 sunsetting the CAIR Rule for EGUs and to address in some  
19 fashion the budget or the emission cap for non-EGUs.  
20 That isn't the same thing as saying that the non-EGUs  
21 will be included in the trade.

22 MR. DAVIS: What is the current  
23 compliance -- compliance status affected units that are  
24 subject to the non-EGU NOx SIP Call Program provided for

1 in sub part U that is, excuse me, are affected units  
2 required to hold allowances for the 2009 compliance year  
3 even though they have not been given the allowances  
4 specified by sub part U?

5 MR. KALEEL: Well, I guess I would note  
6 that this rule -- this rule making before us right now  
7 is not a sub part U rule making. My -- my understanding  
8 and I did not look at this specifically, but my -- my  
9 understanding is that -- that the rule would work in the  
10 manner that -- that you described and we understand  
11 that -- that, because the non-EGUs are not in CAIR, they  
12 will not be receiving allocations under the SIP  
13 programs. We recognize the problem.

14 MR. DAVIS: Okay. Thank you.

15 That's all from us.

16 MR. FOX: Thank you.

17 Any further questions at this point from  
18 any participant for Mr. Kaleel?

19 Mrs. Hodge?

20 MS. HODGE: Yes. Okay. I have just a  
21 couple questions.

22 I don't think this is working.. Can you  
23 hear me?

24 MR. FOX: You're quite clear. Yes.



1 MS. HODGE: Okay. Mr. Kaleel, when I read  
2 through the pre-filed testimony of The Agency for  
3 today's hearing I noted that The Agency's witness,  
4 Dr. Staudt, indicated that ConocoPhillips has not made  
5 available it's information to support the cost  
6 associated with recent ultra Low-NOx burn projects at  
7 the Wood River Refinery.

8 Are you aware that ConocoPhillips submitted  
9 cost information to the agency in January of 2008?

10 MR. KALEEL: Yes, I am aware of that.

11 MS. HODGE: Has the agency reviewed this  
12 information?

13 MR. KALEEL: We -- we have reviewed it,  
14 yes.

15 MS. HODGE: Has the agency made it  
16 available to Dr. Staudt for review?

17 MR. KALEEL: We have not made it available  
18 to date.

19 We noted in that the information was  
20 provided to the agency with a claim of confidentiality  
21 and we -- we -- we've respected that. We've not shared  
22 it with Dr. Staudt.

23 We have requested through -- through you  
24 and ConocoPhillips that Dr. Staudt be allowed to review

1 this information, but to date he has not. We've not  
2 received it, any assurance from you or ConocoPhillips  
3 that that would not be a problem.

4 MS. HODGE: And when did the agency make  
5 this request?

6 MR. KALEEL: We made the request after the  
7 December 9th hearing. I don't remember the specific  
8 date.

9 We also weren't aware before the  
10 December 9th hearing that ConocoPhillips would be filing  
11 that information to The Board or making this information  
12 available to The Board, so we didn't really see a need  
13 to share that information with Dr. Staudt prior to the  
14 December 9th hearing.

15 We -- we fully anticipated and still  
16 anticipate continuing dialogue with ConocoPhillips about  
17 that information and about their specific concerns with  
18 the rule. We weren't aware that they were going to  
19 actually file.

20 MS. HODGE: Do you think it was on or about  
21 January the 19th of 2009 when The Agency made that  
22 request?

23 MR. KALEEL: I -- I don't recall the  
24 specific date, but yeah, it was in January.

1 MS. HODGE: Okay. That's all I have.

2 Thank you.

3 MR. FOX: Thank you, Ms. Hodge.

4 Any -- any further questions for Mr. Kaleel  
5 this morning?

6 (No response.)

7 MR. FOX: Seeing -- seeing none,  
8 Ms. Roccaforte, it looks like it's an appropriate time  
9 to go to Mr. Koerber if he had a brief statement or  
10 summary he would like to offer it appears to come to  
11 that time.

12 Mr. Koerber, please go ahead.

13 MR. KOERBER: I wish to emphasize two  
14 points in my pre-filed testimony. Number one: My  
15 testimony summarizes the air quality analyses performed  
16 by LADCO and it's contractors, it supports data and  
17 implementation plans for ozone fine particles and K's in  
18 the states of Illinois, Indiana, Michigan, Ohio and  
19 Wisconsin. The variety of technical analyses provide a  
20 weight of evidence approach for the states attainment  
21 demonstration.

22 Number two, current ozone air quality  
23 monitoring data in our model projections show that one  
24 location in the Lake Michigan area is not attaining 1997

1 version of the eight-hour ozone standard namely Holland,  
2 Michigan on the west coast of Michigan. Pursuant to the  
3 Energy Policy Act of '05 EPA is required to address the  
4 Western Michigan ozone problem. My written testimony  
5 anticipated the release of EPA's Western Michigan ozone  
6 study report that did happen on January 21st. And I  
7 brought paper copies of it to The Board today. I want  
8 to hand those out. I don't know how that happens.

9 The report is available electronically on  
10 EPA Region five's web site.

11 Two key findings in EPA's report are number  
12 one, Holland, Michigan does not now nor will by it's  
13 attainment date meet the 1997 version of the eight-hour  
14 ozone standard.

15 And number two, shoreline areas in Western  
16 Michigan like Holland are dominated by ozone transport,  
17 for example, the technical analyses show that  
18 one-quarter, 25 percent, of the ozone on high  
19 concentration days at Holland is from Northeastern  
20 Illinois.

21 Thank you. That concludes my summary of my  
22 testimony.

23 MS. ROCCAFORTE: I have some questions for  
24 Mr. Koerber.

1 MR. FOX: Please, go ahead, Ms. Roccaforte.

2 MS. ROCCAFORTE: Has LADCO conducted any  
3 sensitivity analyses using the air quality model to  
4 determine whether NOx emissions reduction improved ozone  
5 in 2.5 air quality?

6 MR. KOERBER: Yes. The weight of evidence  
7 approach, as I indicated, includes a variety of  
8 technical analyses. One of the technical analyses was  
9 to look at the sensitivity reducing ozone precursors  
10 such as VOCs, organic compounds or oxidized nitro NOx.  
11 The technical analyses did show that reduction in VOC,  
12 reduction in NOx, would improve ozone concentration in  
13 downwind areas.

14 MS. ROCCAFORTE: In general would you say  
15 that additional NOx reductions yield additional air  
16 quality benefits?

17 MR. KOERBER: Sensitivity analyses did show  
18 that more emission reduction resulted in more  
19 improvement in air quality.

20 MS. ROCCAFORTE: Do you know if the  
21 St. Louis Metropolitan area attained the 1997 ozone  
22 standard?

23 MR. KOERBER: Based on the 2006 to 2008  
24 monitoring data it has not. I believe there's at least

1 one location that is out of compliance with the 1997  
2 version of the standard.

3 MS. ROCCAFORTE: And isn't it true that  
4 USEPA tightened the ozone standards in 2008?

5 MR. KOERBER: In March of 2008 Rob Kaleel  
6 did indicate the EPA lowered ozone standards from 85  
7 parts billion to 75 parts per billion.

8 MS. ROCCAFORTE: Is the Chicago area  
9 attaining that standard?

10 MR. KOERBER: The new lower standard?

11 MS. ROCCAFORTE: Yes.

12 MR. KOERBER: It is not attaining the new  
13 75 EPA standard.

14 MS. ROCCAFORTE: Do you know if the  
15 St. Louis area is attaining that standard?

16 MR. KOERBER: It is not. And again, that's  
17 based upon monitoring data, real world measurements,  
18 collected by this agency.

19 MS. ROCCAFORTE: Last question: Was  
20 Illinois's NOx RACT proposal included in the 2012 model  
21 run that demonstrated attainment of the 1997 ozone  
22 standard in Holland, Michigan?

23 MR. KOERBER: The NOx RACT emission  
24 reductions were included along with a number of other

1 control measures there are a bundle of control measures  
2 this were included in this modeling in order to show  
3 what the future air quality would be.

4 MS. ROCCAFORTE: Thank you.

5 MR. FOX: That's it?

6 Any further questions for Mr. Koerber this  
7 morning?

8 Ms. Hirner or Mr. Davis, I see both of you  
9 indicating.

10 MR. DAVIS: Thank you.

11 Mr. Koerber, I'd like to ask you a few  
12 questions about the role that base year choice and  
13 meteorology played in the model results.

14 You state that meteorology similar to 2002  
15 will make it less likely that the ozone standard will be  
16 attained, this is referring to bottom of page five and  
17 top of page six of your testimony.

18 Is that an accurate statement?

19 MR. KOERBER: Ozone is very sensitive to  
20 two primary parameters, the emissions, the ozone  
21 precursor emissions and meteorology. So, hotter summers  
22 result in higher ozone concentrations. So our latest  
23 modeling analysis was included in our technical support  
24 document relying on 2005 meteorology we found to be

1 above normal based on statistical analyses, but not as  
2 severe in 2002. 2002 was very extreme meteorology and  
3 resulted in much higher ozone concentrations.

4 MR. DAVIS: Thank you.

5 Could you elaborate perhaps a little bit on  
6 the role that emissions reductions would play in -- in  
7 those base year differences?

8 MR. KOERBER: Emissions reductions would  
9 result in lower estimates of future year air quality,  
10 but with 2002 meteorology the models projecting somewhat  
11 higher future year air quality levels compared to 2005  
12 meteorology.

13 MR. DAVIS: It's my understanding that a  
14 model run was performed using 2002 base year with future  
15 years emissions reduction included and it did not show  
16 attainment for ozone. Is that accurate?

17 MR. KOERBER: As I indicated, the  
18 attainment demonstration was based upon a weight of  
19 evidence approach where we considered a number of  
20 modeling analyses, a number of emissions analyses and  
21 analysis of ambient monitoring data. And it was the  
22 collective review of that information that provided the  
23 foundation for the state's attainment demonstration  
24 not -- not one single model.



1 MR. DAVIS: I see.

2 Is -- is it also true that an important  
3 component of modeling protocol, one that improves the  
4 model accuracy, is to use what is known as relative  
5 reduction factors to apply against actual ozone data  
6 measured in base year to predict future levels?

7 MR. KOERBER: Yes, that is how we actually  
8 use the mathematical computer model in our technical  
9 analysis. We use the relative change in air quality in  
10 combination with observed monitoring data, estimate the  
11 future air quality. So, you're absolutely right as to  
12 relative change that is important in terms of model.

13 MR. DAVIS: Did the modeling based on the  
14 2005 base year, essentially, predict the ozone  
15 attainment levels that have now been measured in the  
16 Chicago area and elsewhere and isn't it these modeling  
17 results that are being used to support the Illinois EPA  
18 rule request to designate Chicago as a non-attainer?

19 MR. KOERBER: Yes, our model projections  
20 using the 2005 meteorology due tend to agree with the  
21 most current monitoring data and that is not surprising  
22 given that meteorology is somewhat similar to what we've  
23 observed over the past couple of summers it was not as  
24 severe as what we saw in 2002.

1 MR. DAVIS: Thank you.

2 Have you evaluated the PM 2.5 air quality  
3 data through 2008 to determine the status of attainment  
4 of PM 2.5 standard?

5 MR. KOERBER: I do not believe states have  
6 certified 2008 monitoring data, so no, I've not reviewed  
7 2008 final data submitted by the states.

8 MR. DAVIS: Thank you.

9 What about based on the '06 and '07 data.

10 MR. KOERBER: Question again, based on 2006  
11 or 2005 to 2007?

12 MR. DAVIS: Whether you have been able to  
13 determine status of attainment with the PM 2.5 standard.

14 MR. KOERBER: There are a number of sites  
15 that are not in compliance based on 2005 to 2007 data.

16 MR. DAVIS: Last series of questions: At  
17 the bottom of page five and top of page six of your  
18 testimony, again, you state that the 2006 PM 2.5  
19 standard and 2008 ozone standard were not obtained in  
20 several sites in the Lake Michigan area. Is this  
21 conclusion based on using '05 base year in the actual  
22 PM 2.5 ozone design values from '05?

23 MR. KOERBER: It is based on the modeling  
24 using the 2005 base year condition, correct.

1 MR. DAVIS: What base year do you believe  
2 will be used for the PM 2.5 and ozone modeling for these  
3 new standards?

4 MR. KOERBER: That question is currently  
5 being discussed by the states and no decision has been  
6 made.

7 MR. DAVIS: Do you believe that a more  
8 current base year and more current air monitoring data  
9 would make a difference in your conclusions?

10 MR. KOERBER: With regard to the 1997  
11 standards or the 2006 version?

12 MR. DAVIS: The new standards.

13 MR. KOERBER: Really don't know the answer  
14 to that.

15 Certainly, in putting together our protocol  
16 for the next round of state implementation analyses we  
17 will look at the most current air quality -- air quality  
18 information we want to use the most up to date  
19 information.

20 MR. DAVIS: Thank you very much.

21 That's all I have.

22 MR. FOX: Very good. Thank you, Mr. Davis.

23 Any further questions for Mr. Koerber?

24 Ms. Hodge, I see your hand.

1 MS. HODGE: Thank you. I have just a few  
2 questions..

3 Katherine Hodge.

4 Mr. Koerber, did LADCO evaluate the amount  
5 of NOx reductions needed to meet the standards?

6 MR. KOERBER: We did not use the modeling  
7 to set emission reduction targets or percent control,  
8 rather we evaluated the bundle of control measures that  
9 were required of each of the states and that the states  
10 collectively agreed to implement in order to improve air  
11 quality in the region.

12 MS. HODGE: Thank you.

13 Do -- do the LADCO models reflect any  
14 recent emission controls in reduction and by recent I  
15 mean 2005 by various industrial categories, for example,  
16 such as petroleum refineries?

17 MR. KOERBER: With respect to petroleum  
18 refineries we are aware there were a number of federal  
19 consent decrees that were incorporated in our emission  
20 inventories. In addition to NOx RACT there are number  
21 of other control measures, both state and federal, that  
22 are included for non-EGU point sources, but really all  
23 sectors of the inventory have control included.

24 MS. HODGE: Okay. Just to clarify, so your

1 model did consider the post '05 reductions at petroleum  
2 refineries?

3 MR. KOERBER: The -- the inventory -- when  
4 we project future year air quality we start with the  
5 base year inventories, in this case '05. We apply  
6 various growth factors by sector for mobile sources,  
7 point sources, utilities, etc. And then on top of that  
8 we apply all of the control programs, quantify those  
9 emission reductions and that's the future year emission  
10 estimate that we have available. That's the inventory  
11 we plug in the model statement, the future air quality.

12 MS. HODGE: Okay. So, would the -- the  
13 petroleum refinery consent decree reductions be a factor  
14 into --

15 MR. KOERBER: Yes.

16 MS. HODGE -- the controls. Yes?

17 MR. KOERBER: Yes.

18 And we have a contract report that  
19 discusses those particular consent decrees, as well as  
20 other consent decrees that were included in our emission  
21 inventory.

22 MS. HODGE: Thank you.

23 Could you tell us a little bit about how  
24 you consider the contribution of mobile sources in doing

1 this model?

2 MR. KOERBER: We actually undertook a very  
3 rigorous approach for the mobile sector. We worked with  
4 the transportation agencies, formally CATS, in the  
5 Chicago area with link base, so segments of roadway got  
6 information on the amount of traffic, the speed of  
7 traffic, over each -- much of those links as a function  
8 of day of week, time of day. So, highly detailed  
9 emissions inventory for on-road mobile sources based  
10 upon our consultation with metropolitan planning  
11 organizations and used EPA's mobile six model to  
12 estimate the amount of emission reduction that we would  
13 expect as a result of a number of different federal  
14 control programs both tailpipe and fuel programs.

15 MS. HODGE: Okay. Thank you.

16 I have to take just a quick break, please.

17 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
18 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
19 OF RECORD:

20 MS. HODGE: That's all I have for  
21 Mr. Koerber. Thank you.

22 MR. FOX: Thank you, Ms. Hodge.

23 Any -- any further questions by any of the  
24 participants for Mr. Koerber?

1 MS. ROCCAFORTE: I have a few follow up.

2 Mr. Koerber, do you know if the St. Louis  
3 area has attained the 1997 PM 2.5 standard?

4 MR. KOERBER: I do not believe it has.

5 MS. ROCCAFORTE: Do you know if it will  
6 attain the standard by the applicable attainment date?

7 MR. KOERBER: It will not according to our  
8 model projections. So, my understanding is based on the  
9 most current air quality monitoring data based on our  
10 model projections it will not meet the PM 2.5 standard  
11 by it's by the applicable attainment..

12 MS. ROCCAFORTE: Thank you.

13 I have nothing further.

14 MR. FOX: Any more questions?

15 (No response.)

16 MR. FOX: I understand Mr. Rao has a  
17 question for Mr. Koerber.

18 MR. RAO: One question.

19 Mr. Koerber, on page four of your pre-filed  
20 testimony you have noted that you did not include  
21 midwest ozone groups modeling as part of the weight of  
22 the evidence that you stated that several reductions  
23 were made by midwestern group modeling were counter to  
24 USEPA guidance. Could you, please, elaborate on what

1 those were?

2 MR. KOERBER: Right.

3 One of the assumptions that were counter to  
4 EPA guidance is the use of ambient monitoring data that  
5 EPA specifies procedure for averaging ambient monitoring  
6 data with the modeling as part of the attainment  
7 demonstration. The approach that they use was not  
8 consistent with EPA's procedure for using monitoring  
9 data. Given that this attainment demonstration must  
10 meet EPA guidelines in order to be approved by EPA we  
11 were not able to include that analysis in our weight of  
12 evidence demonstration. We nevertheless did meet with  
13 the company. We did discuss their information and  
14 pointed out our concerns.

15 MR. RAO: Okay. Thank you.

16 MR. FOX: Ms. Hirner? Yes.

17 MS. HIRNER: Deirdre Hirner with Illinois  
18 Environmental Regulatory Group.

19 May I ask a follow up though to clarify?

20 The -- the conclusions reached by the  
21 modeling and the LADCO modeling after the two groups met  
22 it's my understanding, and could you clarify, ended up  
23 in kind of the same place?

24 MR. KOERBER: The -- their conclusions was



1 that all sites would be in compliance with the ozone  
2 standard.

3 Our conclusion was that we still had  
4 residual non-attainment problems in western Michigan.

5 MS. HIRNER: Okay. Thank you.

6 MR. FOX: Any further questions for  
7 Mr. Koerber?

8 MS. ROCCAFORTE: I'd like to move that the  
9 Western Michigan ozone study draft report be entered as  
10 an exhibit. I forgot to do so before.

11 MR. FOX: My -- my next question: The  
12 agency had kindly circulated copies of the Western  
13 Michigan ozone study draft report dated January 21st,  
14 2009. Is that the correct date, Ms. Roccaforte?

15 MS. ROCCAFORTE: Correct.

16 MR. FOX: Great.

17 And move that that be admitted into the  
18 record of proceeding as Exhibit Number 19. Was there  
19 any objection to that motion?

20 (No response.)

21 MR. FOX: Neither seeing nor hearing any it  
22 will be marked, Ms. Roccaforte, as Exhibit Number 19.  
23 Thank you.

24 MS. ROCCAFORTE: Thank you.

1 MR. FOX: Once again, any further questions  
2 for Mr. Koerber on the basis of his testimony or his  
3 answers today?

4 (No response.)

5 MR. FOX: Then, Ms. Roccaforte, it appears  
6 we've come to the time for Mr. Staudt and his pre-filed  
7 testimony and questions if he's prepared to offer a  
8 brief introduction or summary it appears that would be  
9 in order right now.

10 MS. ROCCAFORTE: Before he does that I  
11 would like to move to enter four exhibits -- four or  
12 five.

13 I don't know I recall the number.

14 MR. FOX: We can take a second. That's  
15 just fine.

16 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
17 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
18 OF RECORD:

19 MS. ROCCAFORTE: Five tables to be  
20 incorporated into his pre-filed testimony.

21 MR. FOX: Do you have -- does the agency  
22 have copies of those?

23 MS. ROCCAFORTE: We -- we do.

24 MR. FOX: Very good. Thank you very much.

1                   With that number of exhibits,  
2 Ms. Roccaforte, without proceeding to any motion to  
3 admit, why don't we preliminarily at least give them  
4 some exhibit numbers so that it's at least as clear as  
5 possible to folks exactly which ones we would be talking  
6 about.

7                   Do you have in front of you one that you  
8 might name as the next Exhibit Number 20?

9                   MS. ROCCAFORTE: Calculation of available  
10 COG, which stands for coke oven gas after consumption  
11 and reheat furnaces.

12                  MR. FOX: Is there a date or any source  
13 that might help distinguish that?

14                  MS. ROCCAFORTE: No.

15                  MR. FOX: That should be just fine. No  
16 worries.

17                  And that again, would be number 20.

18                  Preliminarily would there be a next exhibit  
19 that we would want tentatively to assign as Number 21?

20                  MS. ROCCAFORTE: Entitled boiler analysis.  
21 I need to clarify that one from the other ones. This  
22 one is boiler analysis calculation of Siebenberger  
23 Exhibit A information COG burn and reheat furnaces per  
24 Siebenberger's December testimony.

1                   The next one is a chart titled total boiler  
2 COG usage.

3                   MR. FOX:   Again, COG, coke oven gas.

4                   MS. ROCCAFORTE: Correct.

5                   MR. FOX:   Thank you.

6                   And that would be, of course, 22  
7 tentatively.

8                   MS. ROCCAFORTE: Thank you.

9                   The next one is boiler analysis calculation  
10 of Siebenberger Exhibit A information with 2008 COG rate  
11 35-day scrubber maintenance.

12                   And the final one?

13                   MR. FOX:   Sorry to interrupt that  
14 proceeding one, Number 23; and this one Number 24.  
15 Sorry to state the obvious.

16                   MS. ROCCAFORTE: Thank you.

17                   This one is boiler analysis calculation of  
18 Siebenberger Exhibit A information with 2008 COG rate no  
19 COG scrubber maintenance.

20                   MR. FOX:   Thank you for bearing with us  
21 while we try to minimize any risk of misunderstanding or  
22 mislabeling.

23                   The Agency is passing these out. They  
24 should be in your hands fairly shortly then we can

1 proceed.

2 Ms. Roccaforte, thank you for your  
3 patience.

4 MS. ROCCAFORTE: That's all I have.

5 MR. FOX: Thank you once again to The  
6 Agency for making these copies available. It looks like  
7 they are or are very nearly distributed to the parties  
8 here today.

9 You, I can't recall, Ms.. Roccaforte, if you  
10 made a motion. Something I always seem to forget.

11 MS. ROCCAFORTE: I believe I did, but I can  
12 do so again.

13 I move that these tables be entered as  
14 exhibits and incorporated into our Dr. Staudt's  
15 pre-filed testimony.

16 MR. FOX: Thank you very much for the  
17 repetition..

18 Ms. Roccaforte has, of course, moved that  
19 these exhibits as described earlier as we assigned  
20 preliminary exhibit numbers to them, Numbers 20, 21, 22,  
21 23 and 24 be admitted into the record as she had  
22 described.

23 Is there any objection?

24 MS. HODGE: Mr. Fox, Katherine Hodge,

1 United States Steel Company Corporation.

2 I -- I don't have a firm objection right  
3 now, but I would ask you to wait to rule on her motion  
4 until we do have an opportunity to review those perhaps  
5 at the next break.

6 MR.. FOX: That seems fair under the  
7 circumstances.

8 Dr. Staudt is, of course, here and is, I  
9 believe, perhaps to offer his testimony.

10 MS. HODGE: I understand that.

11 MR. FOX: Make himself available for  
12 questions. I'll make a note. We can address that.

13 In the meantime they are, of course, in  
14 front of you for your review.

15 MS. HODGE: Thank you.

16 MR. FOX: With that, Ms. Roccaforte, I  
17 think we have come to the time for any summary or  
18 introduction that Dr. Staudt would want to offer, unless  
19 you have something else you wish to address?

20 MS. ROCCAFORTE: No. I will turn it over to  
21 Dr. Staudt.

22 MR. FOX: Dr. Staudt, good morning. Thank  
23 you for waiting.

24 DR. STAUDT: Thank you.

1 My name is James Staudt. Thank you for  
2 giving me the opportunity to come here to speak before  
3 this board again.

4 And just to -- I have been engaged by the  
5 Illinois EPA to rule making as since the last hearing.  
6 I did pre-file testimony. Very briefly summarize it.

7 MR. FOX: Dr. Staudt, before you do that if  
8 you could pull the microphone just a little closer to  
9 your face. I'm getting the sign that some people are  
10 having a hard time hearing. I apologize. Thank you for  
11 that.

12 DR. STAUDT: Okay. Thank you.

13 Just briefly summarize my pre-filed  
14 testimony. At the last hearing U.S. Steel presented  
15 arguments for why they felt the emissions rates proposed  
16 in the rules to be increased by my pre-filed testimony  
17 for this hearing stated that I found their argument  
18 unconvincing and in general under two grounds. One is  
19 that my opinion was that there was, based upon some of  
20 the conclusions and assertions that they made, there was  
21 inadequate supporting information. Second, I -- I found  
22 some -- I found what appears to be some errors in the  
23 calculations for emission estimates.

24 Some things have happened since my

1 pre-filed testimony as already has been discussed.  
2 Friday night we received information from U.S. Steel  
3 that we requested that included the report by URS that  
4 was revised on January 19th, 2009. It was a proposal  
5 from Bloom Engineering, a burner supplier, that is dated  
6 January 22nd, 2009. And there was also some information  
7 on coke oven gas usage, historical coke oven gas usage  
8 at the boilers at the Granite City site.

9 In addition to that I received last night a  
10 copy of Mr. Stapper's testimony. I'd like to impress  
11 upon you I appreciate this information. It will give us  
12 the opportunity to take a close look at it. We --  
13 having had a short time to look at it I don't know that  
14 I've been able to fully review it, but there are a few  
15 pieces of information that I would like to present here  
16 that are related to some of the information I have been  
17 provided.

18 First, I would like -- like to draw your  
19 attention to Exhibit 20. It's the table. Exhibit 20  
20 bears very similar resemblance to table five of my  
21 pre-filed testimony. Just as a matter of introduction,  
22 because coke oven gas has significant amounts of fuel  
23 bound nitrogen is the amount of fuel -- amount of coke  
24 oven gas that is fired at either the boilers or at slab



1 reheat furnaces is significant with respect to the  
2 amount of NOx that we generate.

3           And what we show here on Exhibit 20 there's  
4 information that was taken from Mr. Siebenberger's  
5 pre-filed testimony, Exhibit B, which is total heat  
6 input. Mr. Siebenberger provided us in the last hearing  
7 a breakdown of their assumed percent of coke oven gas  
8 that was used in each reheat furnace and that that is --  
9 these percentages are used to estimate the amount of  
10 coke oven gas used in his assumptions for each reheat  
11 furnace.

12           In my pre-filed testimony I referred to  
13 information provided by Mr. Siebenberger to Mr. Kaleel  
14 regarding the total available coke oven gas and that is  
15 shown, see line total available coke oven gas of three  
16 million 830,400 million BTUs per year. That is based  
17 upon information provided by Mr. Siebenberger and  
18 Mr. Kaleel. Of course, if you have the amount of coke  
19 oven gasses you can't burn more coke oven gas than is  
20 available. So if, assuming, based upon the amount of  
21 heat that Mr. Siebenberger, coke oven gas that is used  
22 in reheat furnaces you can develop total amount of coke  
23 oven gas that is used in those reheat furnaces, compare  
24 that to the available coke oven gas and find out well,

1 how much is actually available to the boilers, Boilers  
2 11 and 12. And you can find that balance available to  
3 the boilers is 36,180 million BTUs per year.

4 Now, if you -- if you compare that to the  
5 amount of coke oven gas that is estimated to be used as  
6 part inherent to Mr. Siebenberger's Exhibit A his  
7 pre-filed testimony now this, of course, is something  
8 that I had to calculate and it is shown in my pre-filed  
9 testimony how I arrive at these. You can see the total  
10 whether, coke oven gas input, you see it's, whether you  
11 assume 60 percent usage when the blast furnace is down  
12 or 40 percent with the blast furnace gas down either way  
13 you're been 1.4 million Btu, which is over a trillion.  
14 So, in essence, you have a short fall. You can't use  
15 the amount of coke oven -- there isn't enough coke oven  
16 gas available to satisfy all of the assumptions that  
17 Mr. Siebenberger uses in his estimates of emissions.

18 Exhibit 21 actually is -- is very similar  
19 to a number of tables that are in my pre-filed  
20 testimony. It, essentially, uses the same -- many of  
21 same assumptions that U.S. Steel used in order to come  
22 up with their emissions estimates. And I won't review  
23 the tables that are -- that are in my -- my pre-filed  
24 testimony, but what -- what with this spread sheet

1 you're able to compare what -- determine what the annual  
2 emission rate would be. And if you use assume that the  
3 amounts of coke oven gas that Mr. Siebenberger testified  
4 to are being used in the reheat furnaces and therefore,  
5 only about 36,000 million Btu's are available to the  
6 boilers you come up with a -- an annual NOx emission..  
7 It's using the very same emission rates per each gas as  
8 provided by U.S. Steel and it's consultants come up with  
9 annual emission rate of 0.05, which is under the -- the  
10 limit that is proposed for the rule.

11 Now, the numbers Mr. Siebenberger assumed  
12 in his -- in his testimony for it's usage in the reheat  
13 furnace -- reheat furnaces is as he said he wanted to  
14 assume the maximum both reheat furnaces and for the --  
15 for the boilers. They don't. They made -- may  
16 historically -- they have -- perhaps they haven't used  
17 quite as much as is shown there, but if you go to  
18 Exhibit 22 based upon information that was provided  
19 Friday night it showed a trend of coke oven gas usage in  
20 the boilers. And if you go back to -- if you can see  
21 based upon Exhibit A if you go back to exhibit or excuse  
22 me, Exhibit 20, the assumptions for Mr. Siebenberger's  
23 emission estimates from Boilers 11 and 12 or U.S. Steel  
24 emission is based on about 1.4 million -- million Btu's

1 per year. And as you can see there has not been that  
2 much -- we have not seen that much usage since at least  
3 back 2001.

4 So, it's the trend over the last -- since  
5 2001 has generally been downward. As you can see  
6 they've been using less and less. And this is the total  
7 using for all boilers one through 10, 11 and 12  
8 recognizing that once boilers one through 10 are  
9 decommissioned coke oven gas that would have been burned  
10 and boiled in one through 10 would therefore be burned  
11 in Boilers 11 and 12.

12 So, historically we see the general trend  
13 downward in -- in the level of coke oven gas that is  
14 used in -- in the boilers. And what that suggests that  
15 is most likely being used in the reheat -- increasingly  
16 being used in repeat furnaces.

17 The -- 2008 was roughly 450 thousand  
18 million Btu's were actually used in the coke oven to  
19 coke oven. And the coke oven gas was actually used in  
20 the -- in the boilers. If you use that the two -- the  
21 2008 coke oven gas usage consumption that is provided --  
22 that was provided to us as Attachment C of -- on Friday  
23 of U.S. Steel's submission what you'll see is that,  
24 again, using the emission rates assumed by -- for -- for

1 firing gas the NOx emission rates firing associated with  
2 the firing coke oven gasses that -- that are -- you  
3 estimate in U.S. Steel you end up with, if you look down  
4 at the bottom you will see NOx rate under annual NOx  
5 rate 0.083 pounds per billion Btu's, again, very close  
6 to the proposed emission.

7 Finally, if you perform that calculation  
8 again and leave out -- leave out the -- the -- the time  
9 for the increased emissions due to scrubber maintenance  
10 you would see that, again, going down to what that NOx  
11 emission record would be it comes to 0.074 parts per  
12 billion Btu's under the emission rate proposed in the  
13 rule.

14 And again, I want to reaffirm that these  
15 are -- this is using the same NOx emission rates that  
16 URS has provided us in air analysis. So, the difference  
17 is we're -- we're looking at the actual coke oven gas  
18 usage as used by U.S. Steel.

19 So, as I've shown here our calculations  
20 show that it is possible for U.S. Steel to achieve the  
21 proposed emission rate for Boilers 11 and 12.

22 MR.. FOX: Does that wrap up your --

23 DR. STAUDT: Thank you.

24 MR. FOX: Didn't mean to rush you. I'm

1 sorry..

2 Are there any questions for Dr. Staudt on  
3 the basis of his pre-filed testimony and comments? Is  
4 there anyone who wishes to pose a question at this time  
5 for Dr. Staudt? Ms. Hirner?

6 MS. HIRNER: Thank you, Mr. Fox.

7 Dr. Staudt, just a couple of -- couple of  
8 questions.

9 And the first one is with regard to the  
10 technical support document on page five, the technical  
11 support document with reference to industrial boilers.

12 MR. FOX: Ms. Hirner, just for  
13 clarification, that's the technical support document  
14 originally filed by The Agency with it's proposal in  
15 this hearing?

16 MS. HIRNER: Yes, it is.

17 MR. FOX: Thank you. Sorry to interrupt  
18 you.

19 MS. HIRNER: Thank you.

20 Second paragraph referencing combustion  
21 modification techniques: These techniques are often  
22 less expensive than most combustion techniques such as  
23 SCR and SNCR. However, a combination of combustion and  
24 post-combustion control can sometimes be the most

1 effective approach.

2                   So, should I read that statement to say  
3 that SNCR is appropriate as an appropriate control for  
4 purposes of achieving NOx RACT?

5                   DR. STAUDT: Well, it is my opinion it has  
6 been used for NOx RACT. So, I think that that pretty  
7 much states that it is appropriate and that's not just  
8 my opinion it's the opinion of the number of companies  
9 that have selected SNCR for NOx RACT compliance.

10                   MS. HIRNER: Then as a follow up to that,  
11 same page five, third full paragraph, second sentence:  
12 To economically control NOx RACT or NOx emissions from  
13 such boilers the -- it may be necessary to use fuel that  
14 is low in nitrogen content and choose combustion  
15 conditions that generate lower amounts of NOx during  
16 combustion.

17                   Should I read that to say that you believe  
18 mandatory fuel switching is an appropriate means of  
19 control to achieve NOx RACT?

20                   DR. STAUDT: No. My opinion is that I  
21 think you're -- you're reading something into that that  
22 is not intended. Just generalized this section points  
23 are that for every situation you're going to have a  
24 unique set of circumstances that need to be evaluated.

1 And in some cases someone may choose combustion control.  
2 In some cases someone may choose combustion control and  
3 post-combustion controls. In other cases if someone has  
4 the ability to easily switch fuels they may go to a  
5 lower -- they go may to lower nitrogen fuel. So that  
6 this is not to state that any specific approach should  
7 be defined as RACT. As we've discussed, testified  
8 couple of times, RACT is really an emission rate that is  
9 achievable at a reasonable cost that we have discussed,  
10 not a specific technology.

11 MS. HIRNER: So, have you done any specific  
12 evaluation of those alternative techniques?

13 DR. STAUDT: I'm not sure what you're  
14 talking about specific to a particular facility?

15 MS. HIRNER: Or emissions, yeah, facility.

16 DR. STAUDT: Well, I've done -- I've done  
17 it for other -- other clients, but not -- not specific  
18 to this other than what you see -- other than what you  
19 see in the mechanical support document that that --  
20 that's what was provided. I'm not sure if you are  
21 looking for a specific facility's --

22 MS. HIRNER: The subject facility's --  
23 specific to the facilities that are subject.

24 DR. STAUDT: No. As I testified before we



1 did not provide -- we did not do analysis for each and  
2 every facility in Illinois.

3 MS. HIRNER: Did you do it for any of the  
4 facilities in Illinois?

5 DR. STAUDT: Well, we've been taking a look  
6 at Boilers 11 and 12 lately based upon some -- some of  
7 the information from U.S. Steel, but -- but other than  
8 that we have -- we have not been examining it, not been  
9 doing unit by unit type of analysis.

10 MS. HIRNER: May I ask another question?

11 MR. FOX: Please, go ahead, Ms. Hirner.

12 MS. HIRNER: The pages 43 and 44 of this  
13 same original technical support document you offer a  
14 description of a range of numbers, a range of control  
15 levels. And I'm uncertain whether this question is --  
16 actually can be answered by Dr. Staudt or it may take  
17 combination of Dr. Staudt and the agency asking: The  
18 control levels that were selected for this particular  
19 rule making fall -- tend to fall at the more stringent  
20 end of the range. Now, did The Agency or how did  
21 The Agency working with Dr. Staudt or did Dr. Staudt  
22 recommend which number within the range to choose?

23 DR. STAUDT: Well, first of all,  
24 comments -- it comments to these tables and what's in

1 these tables. And perhaps maybe, you know, in terms of  
2 how the emissions was developed we can talk about that  
3 further with The Agency.

4 This table is actually just citing data  
5 sources. Now, you'll see a number of these reference  
6 one reference four, etc., lot of them are reference  
7 within which actually is the -- the ICI Boiler -- EPA's  
8 alternative control techniques document, which I believe  
9 was dated in 1994, which is pretty -- for the most part  
10 is dated in some respects. So, while it's useful to  
11 cite this I think it's useful to cite it to show that in  
12 1994 these emissions levels were being achieved with  
13 these technologies. And these were the estimated cost  
14 effectiveness. It's the range -- the ranges are because  
15 in some cases rather than having reach one of those --  
16 those -- those data points a table with multiple data  
17 points, because sometimes they -- they showed different  
18 usage rates for or capacity levels, what have you.

19 What happened is we condense, just to be  
20 able to cover the full range of -- of cost effectiveness  
21 shown in that reference and of course, the reference is  
22 cited there. People can go to see the reference table  
23 with the information.

24 MS. HIRNER: On Exhibit 1 to Dave Colaz's

1 pre-filed testimony submitted November 25th, 2008 we  
2 offered -- IERG offered a comparison IEPA emission list  
3 and IERG's proposed emissions limits. IERG's limits  
4 falling within the range -- range -- ranges shown on  
5 page 43 and 44.

6                   Then if I look on page six of that same  
7 technical support document, which references EGUs low  
8 emissions unit, can you point to some place in the  
9 technical support document that would demonstrate a  
10 similar level of detail for industrial boilers that  
11 would demonstrate that the numbers selected by the  
12 Illinois EPA are better than the limits proposed by  
13 IERG, those numbers falling within the range?

14                   DR. STAUDT: Well, I guess -- I guess you  
15 have to, first of all, define what you mean by better.

16                   I think your -- perhaps you're -- what you  
17 think is better might be different from what I think is  
18 better, but these -- these emission rates were -- were  
19 developed through discussions -- through discussions  
20 with -- between -- with -- among IEPA people and myself.  
21 And they were -- they were developed based upon what  
22 we -- what we knew current technology was capable of  
23 doing, not necessarily reflected in 1994 EPA control  
24 techniques document, but other supporting information

1 that is provided in here. We discuss different types of  
2 combustion technologies and other kinds of controls.  
3 So, whether or not -- whether or not you feel that  
4 that -- I'm sure that you believe that your -- your  
5 table here is better, but I don't know of a -- I'm not  
6 aware of analysis -- there's no analysis that I  
7 performed that compared these numbers to what other  
8 states are doing.

9 MS. HIRNER: Just to follow up on that, on  
10 the page six table, 21 A, on the emission requirements  
11 of proposed industrial and small EGU boiler RACT, since  
12 this is in this type of support document would it be  
13 correct that -- that you proposed those emission limits  
14 and if so, what did you base --

15 DR. STAUDT: No, I do not propose emission  
16 levels. I don't have that authority and I certainly  
17 wouldn't want them.

18 I was consulted. These are The Agency's  
19 proposed emission limits or what -- what I can say is  
20 they consulted on -- with me on these. These are not --  
21 you know, I don't have the authority to -- to propose  
22 emission levels.

23 MS. HIRNER: So, what would have been the  
24 technical support on which those were based?

1 DR. STAUDT: Well, you -- you've got it in  
2 front of you that this is -- this is the document.

3 MS. HIRNER: Okay. If -- the document  
4 proposes a range. So, maybe I guess the question would  
5 be better directed to Mr. Kaleel as to why they would  
6 have recommended those numbers.

7 MR. FOX: Perhaps Mr. Kaleel would  
8 appreciate a repetition or rephrasing of your question.

9 MS. HIRNER: On the emissions requirements  
10 of the proposed industrial small EGU boiler RACT on page  
11 six there are proposed emissions limits. And then on  
12 pages 43 and 44 there are a range of NOx control levels.  
13 And my question would be what was the -- what was the  
14 basis for The Agency's selection of the limits it chose  
15 for this proposed rule?

16 MR. KALEEL: Well, I guess I would agree  
17 with Dr. Staudt's characterization that -- that these --  
18 these two pages, and there may be other information  
19 that's supportive of this summary, but that these two  
20 pages provide, I guess, our -- our review of the  
21 available literature as to the performance of various  
22 control options for various boiler types and various  
23 boiler sizes. And we did cite a number of -- of  
24 references that are -- that are available in literature

1 and we also tried to summarize the cost effectiveness  
2 numbers that have been published in those references.

3           The selection of the specific emission  
4 limit, I won't say it's subjective, but I do appreciate  
5 that there are different control levels in the  
6 literature that are cited. I'm, just as an example, on  
7 page 43 the first grouping of boilers that are listed  
8 are the natural gas fired water tube single burner  
9 boilers and there are numbers listed for a number of  
10 different unit capacities. We did not generally look at  
11 control options that would require SCR, for example,  
12 generally believe that SCR were going to be too  
13 expensive. Although, I would -- would note that at  
14 least for this particular category of boilers the --  
15 even the SCR costs that are cited there are generally  
16 less than \$3,000 a ton and in some cases significantly  
17 less than that.

18           But looking at the performance of these  
19 boilers for this category I see a number of boilers  
20 that -- with Low-NOx burners, plus flue gas  
21 recirculation are meeting levels of, you know .07, maybe  
22 in some cases .08.

23           Need to refresh my memory what these  
24 acronyms mean in terms of -- excuse me for just a

1 minute.

2 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
3 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
4 OF RECORD:

5 MR. KALEEL: I need to refresh my memory on  
6 what some of these acronyms mean. Just a moment.

7 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
8 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
9 OF RECORD:

10 MR. KALEEL: All right. I apologize.

11 I think the WI refers to water injection.  
12 OT is oxygen trim.

13 The performance of these particular boilers  
14 using, for example, is it looks to be well below the .08  
15 that the agency recommended as it's emission limit. So  
16 just looking at the information on this table it looks  
17 like there's a number of control options that are easily  
18 within the control cost that we've used in our analysis  
19 that could meet the .08 emission limit.

20 The number that IERG had recommended for  
21 this particular source category is .12 pounds per  
22 million Btu. That, obviously, is at the upper end of  
23 the range. In fact, it -- it doesn't even appear on  
24 this table. I mean, certainly, it's -- in some cases

1 it's double the performance of -- of what these control  
2 technologies would achieve, so I --

3 DR. STAUDT: If -- I'd like to add,  
4 these -- these tables are really to show cost  
5 effectiveness estimates of certain technologies. And in  
6 the balance of the document they are discussions of use  
7 in reference citing to the use of these technologies  
8 that have -- that are more current, that have some more  
9 current information that may show lower emission limits.

10 May recall one of the hearings it was  
11 discussion about some of the -- some of the gas fired  
12 boilers and in many -- but in those cases the published  
13 information did not include cost effectiveness  
14 calculation. Well, they're using somewhat the same  
15 technology as cited here just that it's, you know, is  
16 more technical information that those -- that  
17 information as far as determining emission rates is not  
18 just facts that helped us determine the appropriate  
19 emission rates. It's not just found on those tables.  
20 It's found throughout this document.

21 What this -- these tables do is just give  
22 us -- give us some ranges, cost effectiveness in large  
23 variety of sources. And that's what this, in my  
24 opinion, fairly compelling about some of these



1 calculations. Some of these estimates is that you find  
2 large variety of sources coming up with for a particular  
3 control technology pretty -- very similar cost  
4 effectiveness ranges. So, we have another source where  
5 they show it for a particular technology emission rate.  
6 We have a sense of what that cost effectiveness would  
7 be.

8 MS. HIRNER: Would you agree that there  
9 are, within your tables for demonstration purposes,  
10 nearly an equal amount of units that are at the high end  
11 as are at the low end of the range?

12 DR. STAUDT: I'm not sure what you mean by  
13 the high end versus the low end. High end of what?

14 MS. HIRNER: Say, for example, that you  
15 have natural gas fired boiler at -- with an ignition  
16 rate of 1.5 versus .06.

17 DR. STAUDT: Where? You're talking about  
18 that Low-NOx burner .15 down there?

19 MS. HIRNER: Yes.

20 DR. STAUDT: Reference one. And reference  
21 one is also the -- the '93 or '94 ACT document, so --

22 MS. HIRNER: .06 -- isn't the .06 also  
23 included in reference one?

24 DR. STAUDT: Yes. So, I'm not sure what

1 your point is.

2 I mean, the reference one had had a variety  
3 of different -- different pieces of information there  
4 and not every facility is going to be, you know, exactly  
5 the same and that's why, that's as Mr. Kaleel stated, we  
6 had to use a certain amount of judgment in coming up  
7 with the proposed emission rates.

8 MS. HIRNER: Okay. Thank you.

9 I don't have any further questions.

10 MR. FOX: Thank you, Ms. Hirner.

11 Any further questions for Mr. Kaleel -- I'm  
12 sorry -- for Dr. Staudt? My mistake.

13 Ms. Hodge?

14 MS. HODGE: Yes, I have a few questions.

15 Katherine Hodge.

16 MR. FOX: Please, go ahead.

17 MS. HODGE: And I am, first off, on behalf  
18 of United States Steel.

19 And the testimony of Dr. Staudt gave today  
20 on these new exhibits, Exhibit 20 through 24, as I said  
21 we really need a few minutes to take a look to fully  
22 understand what this is, so I don't have any questions  
23 right now.

24 Mr. Larry Siebenberger would like to offer

1 a brief statement today regarding, you know, his initial  
2 thoughts on these and -- and we would ask the hearing  
3 officer that we be allowed to do that at or about the  
4 same time that Mr. Stapper offers testimony today.

5 MR. FOX: Very good.

6 MS. HODGE: Now, I do have just some more  
7 general questions for Dr. Staudt specifically on behalf  
8 of U.S. Steel.

9 MR. FOX: We have been at it for nearly two  
10 hours. Mr. Johnson has a wise suggestion, why don't we  
11 take a break, come back at five after 12 and we will --  
12 I'm sorry, my mistake. You'd think I could read a  
13 clock. We'll come back at five after 11 and resume for  
14 some time before we take a break for lunch.

15 MS. HODGE: That's sounds great.

16 MR. FOX: Thank very much.

17 WHEREUPON, THE PARTIES TOOK A SHORT BREAK; SUBSEQUENT TO  
18 WHICH THE FOLLOWING PROCEEDINGS WERE MADE OF RECORD:

19 MR. FOX: And when we broke approximately  
20 20 minutes ago for a break I think, Ms. Hodge, we were  
21 at the point where you were preparing to begin some  
22 questions of Dr. Staudt and if that matches everyone's  
23 recollection, why don't we just get right into that.

24 MS. HODGE: That's correct. Thank you very

1 much.

2 Dr. Staudt, in your pre-filed testimony you  
3 indicated that some of the vendors that you talked with  
4 said that system's economically available. Did you get  
5 any guarantees or warranties from these vendors on  
6 performance?

7 DR. STAUDT: The vendors as -- as, in fact,  
8 Mr. Stapper points out in his testimony is not possible  
9 to provide a guarantee based upon what -- what limited  
10 information I had access to and was able to provide  
11 them.

12 The main purpose of my exercise was to --  
13 was to determine if some of these burner suppliers did  
14 have experience with some of these -- with firing  
15 multiple -- multiple fuels, including low Btu fuels with  
16 those Low-NOx burners, because Mr. Stapper's testimony  
17 suggested that -- that that wasn't -- that wasn't  
18 available. With more detailed information on the  
19 boilers it would be able to provide guarantees.

20 MS. HODGE: Okay. So, you would agree then  
21 that the vendors' guarantees on performance that would  
22 be dependent on site specific factors for a particular  
23 unit?

24 DR. STAUDT: Yes, I would agree with that.

1 MS. HODGE: Thank you.

2 Did any of the reported studies that were  
3 included in the TSC for industrial boilers involve  
4 boilers burning refinery fuel gas?

5 DR. STAUDT: This, again, refinery fuel  
6 gas, yes, there were the -- there was a LADCO study that  
7 included the study of boilers burning refinery fuel gas.

8 MS. HODGE: Could you show me where that is  
9 in the TSC?

10 DR. STAUDT: There is actually a typo in  
11 the TSC.

12 These are actually gas fired here on  
13 tables.

14 MS. HODGE: I am speaking with industrial  
15 burner.

16 DR. STAUDT: Oh, industrial boiler --  
17 industrial burners firing refinery -- well, that  
18 would -- that would be burning refinery fuel gas.

19 There was also a study -- we have natural  
20 gas fired boilers. Believe that was probably back in --  
21 do you recall such -- recall such information?

22 I do recall seeing it. I can't find it at  
23 this point, so...

24 MS. HODGE: And I had a hard time locating

1 it too, but that's a question that we would like an  
2 answer to, you know, after hearing that would be fine.

3 DR. STAUDT: Yeah.

4 MS. HODGE: Isn't it true that it's well  
5 recognized that refinery fuel gas emits more NOx than  
6 natural gas would burn in the same unit?

7 DR. STAUDT: Well, I guess it depends upon  
8 the exact constituents within the refinery fuel gas.  
9 My -- but whether or not it is higher or -- or not  
10 depends upon the exact constituents. And you can see if  
11 you -- it was a paper that was included in the filing by  
12 Wibell, have to do with burner use -- use in -- in this  
13 case for -- for refineries by John Zink. And you can  
14 see that -- go to table, see -- you would see natural  
15 gas. You can see a range of different fuels used there.  
16 Some cases the NOx is higher. In some cases it's about  
17 the same as natural gas. So, it will depend upon what  
18 the -- what the specific makeup of the gas is.

19 MS. HODGE: Okay. Okay. Thank you.

20 So, is -- is it accurate to say though that  
21 the TSC's analysis of industrial boilers for -- for the  
22 most part focus on the gas fired, focused on burning  
23 natural gas?

24 DR. STAUDT: Well, with regard to -- there

1 was probably more emphasis on gas fired boilers, because  
2 that's what most gas fired -- gas fired boilers fire  
3 natural gas, because that's what most of them do fire.

4 MS. HODGE: Most of them fire natural gas?

5 DR. STAUDT: Most of them fire natural gas.

6 MS. HODGE: Okay. Thank you.

7 Are you aware that most petroleum  
8 refineries consume the treated refinery fuel gas on site  
9 in facility heaters and boiler?

10 DR. STAUDT: Yes, I do.

11 MS. HODGE: If a refinery cannot consume  
12 the refinery fuel gas what impact would that have on the  
13 energy efficiency of the refinery?

14 DR. STAUDT: Well, I -- I presume that you  
15 want to use that gas on site, because -- because you  
16 would otherwise have to -- have to purchase fuel  
17 otherwise.

18 MS. HODGE: Thank you.

19 And again, if they didn't burn the refinery  
20 fuel gas in facility heaters and boilers what would your  
21 thoughts be about how the refinery fuel gas should be  
22 disposed of?

23 DR. STAUDT: I -- I -- my personal view is  
24 that it makes sense to -- to burn it in a way that

1 utilizes energy efficiency.

2 MS. HODGE: Okay.

3 And I have just a few questions too on your  
4 testimony about comments on some of the cost information  
5 that was provided by ConocoPhillips.

6 And you state that, this is on page three  
7 of your pre-filed testimony, that the assumptions that  
8 capital cost amortization that cost to actually capital  
9 charge was -- assumes initial versus the final and  
10 that's -- and so forth.

11 Is it possible to arrive at a wide range of  
12 cost per ton per given project? Would you agree that  
13 that's the case?

14 DR. STAUDT: It depends, as I pointed out,  
15 depends on the assumptions you use. You're able to --  
16 if you make assumptions about very rapid amortization of  
17 capital or you make assumptions about very high indirect  
18 costs these -- these all will increase cost. Of course,  
19 if you -- if you use longer amortization capital that  
20 that cost effectiveness will go down. Point being that  
21 when -- when you prepare the -- the cost estimates that  
22 were provided just -- just the values that were  
23 provided, because I haven't seen the estimates, there  
24 are so much higher than what has been published by a



1 wide number of different sources that my point is that  
2 there has to be something very different or unique about  
3 the way that estimate was crafted, because it's 15 to 20  
4 times what a wide range of other -- other sources have  
5 arrived at, so -- and that is why it's important to  
6 examine the assumptions of that cost effectiveness  
7 estimate.

8 MS. HODGE: Okay. Thank you..

9 And in the studies that you reviewed and  
10 included in the technical support document, do you know  
11 whether the cost associated that let's say for Low-NOx  
12 burner, for example, is that the cost for the burner and  
13 it's installation or would that have been the total  
14 project cost?

15 DR. STAUDT: These -- these would be the  
16 total cost associated with -- with -- with the -- I'm  
17 not sure what you mean by the total project cost, but  
18 they would be the total cost of the burner and the  
19 installation and specific costs that are associated with  
20 that project.

21 There may be -- there may be inhouse  
22 engineering costs, things like that. But typically it  
23 would include all of those things. It would include  
24 amortization of capital taxes and other things

1 associated with the program.

2 MS. HODGE: Okay. Has USEPA prepared any  
3 kind of methodology that it points people to in  
4 calculating?

5 DR. STAUDT: Yeah, that's used. They do  
6 have methodology in their cost estimated.

7 MS. HODGE: And would that be the USEPA Air  
8 Pollution Control Cost Manual?

9 DR. STAUDT: That would. The information  
10 should be in there, yes.

11 MS. HODGE: Okay. So, if a facility used  
12 the methodology there you would be comfortable with  
13 that?

14 DR. STAUDT: Well, you know, there's -- the  
15 cost estimating document also allows a fair amount of  
16 latitude in some things. So, the -- it would depend,  
17 again, I'd have to examine the specific estimate and to  
18 really get myself some confidence that -- of how it was  
19 being done.

20 MS. HODGE: Okay.

21 And -- and I believe that this control cost  
22 manual has been updated several times. Are you aware of  
23 the most recent version?

24 DR. STAUDT: I the link I provide in my

1 testimony I presume is the link to the most recent  
2 version on the EPA's web site.

3 MS. HODGE: Okay. Thank you.

4 You stated earlier today that NOx RACT is  
5 not a specific technology, but the term does refer to  
6 technology, reasonably available technology, and not to  
7 an emission rate. And maybe this is appropriate for  
8 The Agency, as well as Dr. Staudt. What technology is  
9 reasonable assuming, you know, economic as well for  
10 certain applications? And did you look at any specific  
11 technologies and attempt to make that assessment?

12 DR. STAUDT: As far as what, you know, the  
13 way my understanding of how we're -- we're looking at  
14 RACT is -- is technology that can be -- achieve NOx  
15 reduction within a -- here's an economic threshold and  
16 talking about is 3,000 -- as high as 3,000 maybe 3500 a  
17 ton, somewhere in that range.

18 When you look at some of the TSD that shows  
19 various technology that have been used you can see that  
20 large, for the most part, combustion control fall in  
21 that range, that would be Low-NOx burners who fire air  
22 from gas or circulation. That doesn't mean that these  
23 are -- these are specifically technology for any and  
24 every application, they might, but there are appropriate

1 where they have been used.

2 As SCNR has been shown to fall into that  
3 range and even under some circumstances, but not all  
4 I -- I -- if -- if you're starting at a low emission  
5 grade SCR would not -- would probably be above that  
6 threshold, but we have seen SCRs installed that that's  
7 been documented that provide emission reductions in the  
8 ranges of hundreds of dollars per ton that NOx reduce  
9 and that that's been, but those coal fire units higher  
10 emission rate.

11 So, if you want to define RACT from the  
12 perspective of -- I'm not a -- I'm not a regulator. So,  
13 I'm more of a technology guy. So, my understanding of  
14 the way we're approaching RACT is can it be done at a  
15 reasonable cost, reasonably available, achievable at a  
16 reasonable cost. If there's, you know, there's another  
17 reason, there's another definition some place within  
18 the, you know, the CFR document or something like that  
19 I'm not sure about that. That's what we've been working  
20 on.

21 MS. HODGE: Did you make any specific  
22 recommendations to the agency as to technologies  
23 involving RACT?

24 DR. STAUDT: It's not -- it doesn't -- no,

1 not specifically, because what we needed to do and you  
2 can -- there -- there are some things that you could see  
3 from my original pre-filed testimony from the October  
4 hearing. And I commented on the type of technology that  
5 I envisioned potentially being used for different types  
6 of sources. But it's not -- it's not for -- the  
7 objective was not to dictate a specific technology for  
8 each source. The objective was to set emission limits  
9 that technologies have been demonstrated to achieve  
10 within the cost -- within the cost range that we've been  
11 looking at and that will -- that will differ from one  
12 application to another.

13 MS. HODGE: Okay. Thank you. Thank you.

14 And again, this question I think is to  
15 The Agency, as well as Dr. Staudt: Did The Agency and  
16 Dr. Staudt in preparing the TSD consider higher emission  
17 limits than those proposed in the rule or lower limits?

18 And can you share what factors were  
19 considered in the selection of -- of the proposed limits  
20 here?

21 DR. STAUDT: Well, you know, we -- we did  
22 discuss different limits and what we looked at -- limits  
23 were discussed. And in some cases the feeling was in  
24 some cases it may have been, you know, too low and it

1 may sense to increase it, because we didn't feel that  
2 the limit would be achievable without -- without using  
3 something that would likely be more costly than what we  
4 envisioned. You know, when my -- my -- my -- my  
5 involvement mainly, you know, involved getting my  
6 opinion on some of these emission levels. And in some  
7 cases we -- we -- I've provided input that they -- they  
8 needed to be adjusted and those, generally, they were  
9 adjusted and in other cases they said that they were  
10 fine. The emissions levels that are in the new proposed  
11 rules are emissions rules that I do feel comfortable  
12 with at this point.

13 MS. HODGE: Thank you.

14 Mr. Kaleel?

15 MR. KALEEL: I'm not sure that I can add  
16 too much to the -- to the comments that Mr. Staudt had  
17 just provided.

18 We, you know, our process, you know, it's  
19 been described already on the record was to identify the  
20 types of emissions sources within our non-attainment  
21 areas that were NOx emissions, emission units that  
22 existed at a -- at a major source within the  
23 non-attainment area, look at the population of the  
24 units, whether there are -- whether they're boilers,

1 whether they're process heaters, whether they're blast  
2 plants, whether they're steel furnaces, what -- what are  
3 the emission units that exist in Illinois for those  
4 emission units. We -- we viewed the literature in terms  
5 of proven control technologies for a wide range of  
6 applications and what were their associated costs. And  
7 we did arrive from that analysis I think -- I think the  
8 example that Deirdre K. Hirner was pointing us to a  
9 moment ago was an example of that was you look at the  
10 technologies that are available, again, for a wide range  
11 of sources and see if -- if they're cost effective.

12           And emission limits were -- were based on a  
13 review of that information. I would point out that I  
14 don't perceive it to be the agency's job to establish an  
15 emission limit that works for every unit in the State of  
16 Illinois, that there's hundreds of NOx emission limits.  
17 And I think it would be inappropriate for us to  
18 establish a limit that is at the high range to wherever  
19 any unit in the state can easily comply. I don't think  
20 we would achieve any emission reduction or very little  
21 emission reduction at all.

22           I think the job is to try to establish an  
23 emission limit that we think is cost effective for most  
24 of the units in the state and through this process both

1 our own outreach process and the regulatory process  
2 before The Board to identify the outliers. And I think  
3 this process has accomplished that. We've heard from  
4 individual industries that have pointed out in unique  
5 circumstances. Certainly, U.S. Steel is here today as a  
6 unique circumstance. My understanding they're the only  
7 unit within the State of Illinois that burns coke oven  
8 gas and natural gas and various combinations. That is a  
9 unique circumstance.. And we envision a dialogue to try  
10 to address those specific circumstances, but the rules  
11 intend to provide a -- a cost effective approach that  
12 works for most industries. And again, I think we've --  
13 I think what we've proposed does that.

14 MS. HODGE: Thank you.

15 You -- you said that in doing this that  
16 The Agency identified the subject units in the State of  
17 Illinois. And let's just take a look at industrial  
18 boiler and process heaters. And then in then evaluating  
19 RACT was there any consideration of alternative fuels in  
20 setting the proposed limits here for gas fired  
21 industrial boilers and for process heaters?

22 MR. KALEEL: Well, certainly in the case of  
23 industrial boilers our -- our technical support document  
24 and the emission limits that we've proposed envision a



1 variety of fuels. There's emission limits proposed for  
2 natural gas, for fuel oil, for solid fuels. So, I think  
3 we did look at that. I understand the process heaters  
4 perhaps as smaller population of affected units, but  
5 we -- we envision that these will apply for the most  
6 part to refineries. And we're certainly aware that  
7 refineries just process gasses for those fuels. And we  
8 believe we've identified cost effective control options  
9 and established emission limits that will work with the  
10 types of fuels that are used at refineries.

11 We -- we have every confidence that  
12 we've -- if we've overshot the mark that we're going to  
13 hear from those stakeholders and, in fact, we have. And  
14 we've talked about ways to be more flexible in the  
15 application of -- of these requirements. We've -- the  
16 average plant is an example that flexibility where a  
17 company would have the option of perhaps controlling  
18 first those units that are easiest and most cost  
19 effective to achieve reductions with the idea that  
20 perhaps other units that might be more difficult perhaps  
21 don't need to be controlled at all or would be  
22 controlled as a lesser level as long as the average  
23 works out. And I think that would satisfy the  
24 requirements and the rules that we've -- we have tried

1 to be flexible in the approach.

2 MS. HODGE: And I acknowledge and -- and  
3 I'll tell you I think regulate does appreciate that, but  
4 again, I just want to clarify in -- in setting the  
5 proposed limit here .08 for gas fired industrial boilers  
6 did The Agency consider the use of alternative fuels  
7 such as refinery fuel gas setting that limit of .08?

8 MR. KALEEL: We -- I think we have  
9 considered whether refinery fuel gas is being used. And  
10 I believe that we have seen information provided to us  
11 by the refineries that -- that the technologies that we  
12 envision within RACT will achieve the .08 limit that is  
13 contained in the rule. We understand there are some  
14 unique circumstances and we -- we have always been  
15 willing to talk about those and remain to be willing to  
16 talk about those, but we think in general the .08 limit  
17 works quite well for processors.

18 MS. HODGE: So, The Agency continues to be  
19 open to consideration of the case by case RACT?

20 MR. KALEEL: Absolutely. I don't know case  
21 by case, that's a different -- different concept, but  
22 we're -- certainly are willing to continue working with  
23 stakeholders that -- to develop an approach and perhaps  
24 pursue an amendment to this proposal that is a better

1 fit for unique circumstances.

2 MS. HODGE: Okay. Thank you.

3 I think that's all my questions.

4 May I have just a moment?

5 MR. FOX: Yes, that's fine, Ms. Hodge.

6 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
7 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
8 OF RECORD:

9 MS. HODGE: I'm -- I don't have any more  
10 questions.

11 MR. FOX: Very good. Thank you, Ms. Hodge.

12 Was there any other participant that had  
13 questions for Dr. Staudt on the basis of his pre-filed  
14 testimony at this point?

15 (No response.)

16 Seeing that there's no indication of any  
17 follow up questions for Dr. Staudt, Dr. Staudt, thank  
18 you for your testimony and your responses to questions

19 That brings us to Ms. Roccaforte's standing  
20 motion to admit hearing Exhibits 20 through 24, which  
21 were, as I recall, offered as attachments or supplements  
22 to his pre-filed testimony and we had deferred  
23 consideration of that motion specifically at your  
24 request, Ms. Hodge. Do you or any other participant

1 wish to be heard on motion to admit hearing Exhibits  
2 Number 20 through 24 as attachments to Dr. Staudt's  
3 pre-filed testimony?

4 MS. HODGE: We have no objection as  
5 U.S. Steel, but we will be making some brief comments  
6 today and we do expect to be submitting post hearing  
7 comments, additional comments on --

8 MR. FOX: We'll certainly take up the  
9 hearing -- the post-hearing comments and those deadlines  
10 before we wrap up today.

11 Seeing or and hearing no objection to the  
12 admission of those exhibits, Ms. Roccaforte, they have  
13 been marked and will be admitted as Exhibits Number 20  
14 through 24 corresponding to the, of course, to the  
15 preliminary numbers that we had assigned to them  
16 earlier. So, we have addressed those.

17 That would in effect bring us to U.S.  
18 Steel. Noting the objections, Ms. Roccaforte, you had  
19 made The Board did receive pre-filed testimony from  
20 Mr. Stapper.

21 And Ms. Hodge, I believe you had indicated  
22 that Mr. Siebenberger wished to be sworn and offer a  
23 brief statement or summary of --

24 MS. HODGE: Yes.

1 MR. FOX -- of the company's position. Did  
2 you have a specific sense of whether you prefer to begin  
3 with Mr. Siebenberger or Mr. Stapper?

4 MS. HODGE: I think we prefer to start with  
5 Dr. Siebenberger.

6 MR. FOX: Why don't we do this then, why  
7 don't we have the court reporter swear both gentlemen  
8 in.

9 And Mr. Siebenberger, if you're ready we  
10 could go ahead with a statement or summary of remarks on  
11 your part in just a moment then.

12 WHEREUPON, MR. SIEBENBERGER AND MR. STAPPER WERE FIRST  
13 DULY SWORN; AND THEN TESTIFIED AS FOLLOWS:

14 MR. FOX: Mrs. Hodge, please, go ahead if  
15 you want to make any introductions.

16 MS. HODGE: Thank you so much.

17 As Mr. Fox indicated we did file this  
18 pre-filed testimony of Mr.. Stapper yesterday afternoon.  
19 We did serve everyone on the service list electronically  
20 so they'd have a copy, but I note some members of the  
21 public here today. We do have additional copies of the  
22 testimony if anyone wants a copy.

23 MR. FOX: I appreciate that, Ms. Hodge.

24 MS.. HODGE: And I guess before we get

1 started I would like to move for the admission of that  
2 pre-filed testimony.

3 MR. FOX: Do you have copies that could be  
4 circulated, Ms. Hodge?

5 MS. HODGE: Yes. How many do you need?

6 MR. FOX: Just a single one, frankly.

7 MS. HODGE: Okay.

8 MR. FOX: And Ms. Hodge has moved admission  
9 into the record of Mr. Stapper's pre-filed testimony,  
10 which would be hearing Exhibit Number 25.

11 Is there any objection to the motion?

12 MS. ROCCAFORTE: I indicated at the  
13 beginning of hearing The Agency's objection to the  
14 pre-filed testimony of Mr. Stapper.

15 MR. FOX: Certainly I acknowledge your  
16 objections, Ms. Roccaforte.

17 I'll go ahead and admit that as I indicated  
18 as Exhibit Number 25.

19 Mr. Stapper certainly is available here and  
20 has been sworn and will be available for questions on  
21 the basis of that pre-filed testimony today.

22 That will be, as I said, be marked as  
23 Exhibit Number 25.

24 And Ms. Hodge, thank you for supplying a

1 copy and please, go ahead.

2 MS. HODGE: We'll do.

3 Also, as -- as we've discussed  
4 Mr. Siebenberger has a brief statement.

5 And then as to Mr. Stapper, again, since  
6 this was filed late I would like him to read some of  
7 this into the record, not all of it, of course, but just  
8 so folks do have an opportunity to -- to hear the  
9 testimony, but --

10 MR. FOX: It would be a long read in its  
11 entirety. If in your judgment there are some select  
12 portions of it that would be appropriate. That would be  
13 fine.

14 MS. HODGE: Okay. Thank you so much..  
15 And then let's -- let's start with  
16 Mr. Siebenberger.

17 MR. SIEBENBERGER: Okay. Thank you.

18 We are currently reviewing Dr. Staudt's  
19 submittals and I'm sure upon our analysis we will have  
20 additional comments we will file post hearing, but at  
21 this point in time I just had a couple of general  
22 statements I'd like to make regarding our analysis thus  
23 far.

24 First of all, you know, I do not disagree

1 with Dr. Staudt's premise that we, obviously, can't burn  
2 more coke oven gas in a given year than we produce and I  
3 think it's physically impossible and we understand that.

4 I think though that what Mr. Staudt is not  
5 considering is that from year to year our operating  
6 scenarios that we may operate our facilities under can  
7 change. And as historically you can look at how we've  
8 operated our facilities where we were operating coke  
9 ovens, blast furnaces and steel making shops and  
10 finishing, which includes our reheat furnaces all at the  
11 same time. But as an example of how what can happen  
12 going forward today we are operating our facility with  
13 just the coke ovens running and our boilers running.  
14 Our blast furnaces are idle. Our steel making  
15 facilities are idled and reheat furnace is idle. And we  
16 cannot at this point in time say that we will not  
17 operate this way for the entire year. Market conditions  
18 will dictate that.

19 Under the current operating scenario that  
20 we're under the only place we can burn coke oven gas is  
21 our boilers. So we cannot consume coke oven gas in our  
22 reheat furnaces and take the remainder to the boilers.  
23 And I think this is just one example of it's a changing  
24 world from where we've operated in the past. And I



1 think we will be required to operate our facilities  
2 under different operating scenarios, which will be  
3 dictated by market in our -- in U.S. Steel's desire to  
4 be competitive.

5                   One other comment I would make that I think  
6 Dr. Staudt's assumption that we would not shut down the  
7 coke oven gas sulfurization for maintenance during the  
8 ozone season. And I do not believe that we at this time  
9 can guarantee that we will not have to do that.  
10 Obviously, you know, we have been trying to schedule  
11 this outage, but the condition of the equipment may  
12 dictate when we have to take it down for maintenance.  
13 And I don't think we can guarantee, as I said, that --  
14 that we would not have shut the facility down during the  
15 ozone season and that's built into your assumptions  
16 also.

17                   And that's really all I have to say at this  
18 time.. I guess I think we will have some additional  
19 comments once we finish our analysis.

20                   Thank you.

21                   MR. FOX: Thank you, Mr. Siebenberger.

22                   And as I said just a moment ago, we will  
23 address timeline for filing post-hearing comments. We  
24 will get that issue resolved by the -- the end of day.

1                   Was there any question on the basis of  
2 Mr. Siebenberger's testimony and comment today that --  
3 that they would like to pose to him?

4                   (No response.)

5                   MR. FOX:   Seeing that there is not one,  
6 Ms. Hodge, it sounds like we would be in order to  
7 proceed to Mr. Stapper if you want to do a brief  
8 introduction.

9                   MS. ROCCAFORTE:  I -- I just have one quick  
10 question.

11                  MR. FOX:  I'm sorry, Ms. Roccaforte, I  
12 didn't mean to overlook you, of course.

13                  MS. ROCCAFORTE:  Mr. Siebenberger, I was  
14 just wondering if you are still willing to continue  
15 discussions with The Agency on these issues that are  
16 outstanding?

17                  MR. SIEBENBERGER:  Yes, absolutely.  We  
18 were attempting to get together before the hearing, but  
19 scheduling did not permit it.  We would be happy to do  
20 that.

21                  MS. ROCCAFORTE:  Thank you.

22                  MR. FOX:  Any follow up?

23                  MS. ROCCAFORTE:  That's it.  Thank you.

24                  MR. FOX:  Sorry, again, for overlooking

1 you.

2 Ms. Hodge, I'm sorry, back to you if you  
3 had a brief introduction for Mr. Stapper.

4 MS. HODGE: Certainly.

5 As I said, Mr. Blake Stapper is now going  
6 to offer some testimony. And Mr. Stapper had testified  
7 at one of the prior hearings in Chicago back in  
8 December. And then when we reviewed Dr. Staudt's  
9 pre-filed testimony U.S. Steel made a determination that  
10 it wished to, you know, offer some comments on that  
11 today as well.

12 And again, I apologize for the late filing,  
13 but we had not intended initially to offer testimony.  
14 Mr. Stapper had prepared testimony and again, because of  
15 the late filing I would ask that he be allowed to read,  
16 you know, some of it into the record, you know, of  
17 course, summarizing other parts, but I think there were  
18 a couple of typos that he needed to correct from the  
19 pre-filed to his testimony here today.

20 MR. FOX: Very good.

21 I should have emphasized, Ms. Hodge and  
22 Mr. Stapper, under The Board's rules pre-filed testimony  
23 is entered into the record as if read in it's entirety,  
24 so while there may be corrections or other issues that

1 would be best addressed by reading it out loud, we  
2 certainly would want to emphasize in the interest of  
3 moving forward expeditiously it is in the record as if  
4 read and perhaps lengthy repetition shouldn't be  
5 necessary.

6 MS. HODGE: Thank you.

7 MR. FOX: Please, go ahead.

8 MR. STAPPER: Again, thank you for allowing  
9 me to speak this morning.

10 My name is Blake Stapper. I'm principal  
11 engineer for URS Corporation. We were contracted to  
12 perform a study for U.S. Steel to provide our  
13 recommendations for burn suitable controls to apply to  
14 Boilers 11 and 12.

15 I wanted to acknowledge Dr. Staudt's  
16 efforts to -- to dig into the particulars of his  
17 applications and to try to develop further information  
18 to help us all come to a better understanding of Boiler  
19 11 and Boiler 12, what technologies would be appropriate  
20 there. And I believe that his efforts have head us down  
21 a road that we will be able to better illustrate for  
22 The Board what the considerations are for this  
23 particular application and how URS arrived at it's  
24 recommendation for U.S. Steel.

1                   Would it be appropriate to -- in the  
2 pre-filed testimony there is one paragraph that contains  
3 a number of typos. It is the first paragraph on page  
4 six, the third line in that paragraph should read  
5 40 percent COG, 35 percent BFG.

6                   MS. BASSI: I'm sorry, I didn't hear that.

7                   MR. STAPPER: It should read 40 percent COG  
8 and 35 percent BFG.

9                   MS. BASSI: Thank you.

10                  MR. STAPPER: And in addition down on the  
11 sixth line that begins "blast furnace down" the blend  
12 should be 40 percent NG and 60 percent COG.

13                  MR. STAPPER: And that's the extent of the  
14 typos that I am aware of.

15                  MR. FOX: Very good.

16                  MR. STAPPER: If -- and if it pleases  
17 The Board I would attempt to parcel this down and I  
18 appreciate -- my voice appreciates your willingness to  
19 meet in the middle somewhere maybe reading the  
20 introductory sections that -- that speak in general  
21 about our study and then skipping the details of the  
22 specific vendor by vendor analysis and picking it up  
23 again with the conclusions in the summary statements.

24                  MR. FOX: Why don't we start and see where

1 this takes us, Mr. Stapper. Why don't you go ahead.

2 MR. STAPPER: Okay.

3 Good morning. My name is Blake Stapper. I  
4 am a principal engineer for URS corporation. And I  
5 previously testified before the Illinois Pollution  
6 Control Board in this matter on December 10th, 2008.  
7 The purpose of my testimony today is to provide  
8 information in support of the reasonably available  
9 controlled technology determination for Boilers 11 and  
10 12 at U.S. Steel's Granite City Works. In particular I  
11 wish to respond to the comments offered by  
12 Dr. James E. Staudt in his pre-filed testimony filed  
13 with The Board on January 20, 2009.

14 In his testimony Dr. Staudt contended that  
15 the URS study, which was commissioned by U.S. Steel, is  
16 suspect because of errors and inconsistencies that he  
17 identified and suggested that URS did not perform a  
18 complete diligent analysis.

19 To support his conclusions he noted that  
20 URS did not contact any burner boiler suppliers directly  
21 about the application of their technologies to Boiler 11  
22 and 12. Dr. Staudt disputed URS's claims that there are  
23 no Low-NOx burners suitable for application to Boilers  
24 11 and 12 by referencing communications he had with four

1 burner vendors who all indicated that they could provide  
2 Low-NOx burners for multi-fuel applications. I would  
3 like to address each of these points in turn.

4           At any given time URS is executing numerous  
5 projects to implement NOx controls on industrial  
6 boilers. These turnkey projects involve engineering,  
7 procurement, construction, and start up. These projects  
8 included burner replacement with and without free glass  
9 circulation or FGR. FGR addition to existing burners,  
10 Selective Catalytic Reduction installations, and a few  
11 Selective Non-Catalytic Reduction installations.. The  
12 contract terms generally require URS to provide  
13 emissions guarantees. As such, URS places both it's  
14 professional reputation and it's financial interest at  
15 stake when performing these projects, and we work  
16 diligently to protect both.

17           The success of these projects requires URS  
18 to have relationships with a number of burner  
19 manufacturers and boiler suppliers. As such we not only  
20 have access to the most current information on available  
21 technologies, but we also have practical knowledge of  
22 how such technologies perform a variety of real world  
23 applications. As a result of our ongoing experience  
24 with these installations, it is not necessary for us to

1 contact vendors when we conduct a study such as the one  
2 that we completed for U.S. Steel.

3 MR. FOX: Mr. Stapper, you've gone on to  
4 describe some of the key operating circumstances based  
5 by U.S. Steel and your -- you go on to address, I  
6 believe, four different vendors. Would it be  
7 appropriate to summarize any conclusions that you might  
8 have drawn on the basis of these operating circumstances  
9 and those four vendors?

10 MR. STAPPER: If you would like I'll skip  
11 down to our conclusions.

12 MR. FOX: That would be great.. Thank you.

13 MR. STAPPER: In summary, of the four  
14 burner vendors contacted by Dr. Staudt all four proposed  
15 solutions using a combination of their own burners with  
16 FGR. Three of the four vendors estimated that their  
17 solution would result in NOx emissions at or above the  
18 0.113 pound per million Btu level that U.S. Steel has  
19 already proposed to achieve by adding FGR to it's  
20 existing burners. The fourth vendor, Coen, while  
21 suggesting that it could achieve lower NOx emissions,  
22 noted that the burner for Boiler 11 would have to be a  
23 custom design. Coen also confirmed that it does not  
24 have a single application in which they are co-firing



1 natural gas, coke oven gas and blast furnace. In  
2 addition, URS contacted a widely respected expert in a  
3 design and operation of SNCR systems who stated that he  
4 did not think that SNCR would be able to achieve NOx  
5 RACT emission limits proposed by the Illinois EPA,  
6 either as a stand-alone solution or applied in  
7 combination with another NOx control technology.

8 I would like to verify that URS conducted a  
9 complete and diligent analysis of the available NOx  
10 control technologies for Boilers 11 and 12 at U.S.  
11 Steel's Granite City Works. Our conclusions were based  
12 on decades of practical experience and successfully  
13 applying NOx controls to a variety of combustion  
14 equipment. It is my contention that this experience is  
15 more relevant than the information that has been  
16 obtained by Dr. Staudt through internet searches and via  
17 brief E-mail exchanges to vendors that lacked crucial  
18 specifics of this particular application.

19 Thank you for allowing me the opportunity  
20 to present my statement today. I would be happy to  
21 answer any questions.

22 MR. FOX: Thank you, Mr. Stapper.

23 I bet there are at least a couple questions  
24 and you can proceed to those.. If there is anyone who

1 wishes to pose a question based on that testimony.

2 MS. VETTERHOFFER: Dana Vetterhoffer,  
3 Illinois EPA.

4 Mr. Stapper, at the December 9th, 2008  
5 hearing Mr. Siebenberger testified that Exhibits A and B  
6 to his pre-filed testimony were based on an evaluation  
7 performed by URS. At that time The Agency requested a  
8 copy of the evaluation, which Mr. Siebenberger agreed to  
9 provide.

10 Last Friday in response to The Agency's  
11 request U.S. Steel filed a NOx reduction study.. I  
12 believe you mentioned it was part of the materials  
13 filed. The report has a date of March 2008 on it.

14 Was a report originally prepared in March?

15 MR. STAPPER: The RACT analysis report  
16 was -- that U.S. Steel based it's calculations upon --  
17 was dated March 2008.

18 MS. VETTERHOFFER: As far as you know that  
19 version of the report was relied upon by U.S. Steel for  
20 the December hearing, correct?

21 MR. STAPPER: Yes.

22 MS. VETTERHOFFER: At the bottom of the  
23 report that was filed with U.S. Steel documents it says  
24 REV1 January 19, 2009.

1                   Was the report revised after the December  
2 hearing before being submitted to The Board?

3                   MR. STAPPER: Yes.

4                   MS. VETTERHOFFER: Was this the first  
5 revision that you know of since the March 2008 date?

6                   MR.. STAPPER: It is the first revision that  
7 I am aware of.

8                   MS. VETTERHOFFER: And why was the report  
9 revised before being submitted to The Board?

10                  MR. STAPPER: I believe that there was  
11 information in the report that was -- that was believed  
12 was not necessary to include for business  
13 confidentiality purposes. There may have also been some  
14 clarifications in the original language in the report.  
15 There were no substantive changes in the report.

16                  MS. VETTERHOFFER: So, just to summarize,  
17 you may have clarified a few things and then a few thing  
18 were redacted under the concept of business  
19 confidentiality; is that accurate?

20                  MR. STAPPER: That's correct..

21                  MS. VETTERHOFFER: Is there any way that  
22 the revisions could be submitted to The Board perhaps,  
23 you know, under business confidentiality, not viewed by  
24 anyone else but The Board and The Agency? We would just

1 like a copy of the original version of the report as it  
2 existed on December 9th and 10 from the last hearing  
3 took place.

4 MR. STAPPER: Those documents are owned by  
5 U.S. Steel, so. . .

6 MS. HODGE: We will certainly entertain  
7 your request and speak with folks at corporate and we  
8 will respond.

9 MR. FOX: Just for the record, The Board  
10 has it's own procedure for submitting privileged  
11 documents or documents that would be except from  
12 disclosure, which may not be precisely the same as the  
13 Agency's.

14 MS. HODGE: That's correct.

15 MS. VETTERHOFFER: Thank you.

16 Similarly, at the December hearing  
17 The Agency requested a copy of the technical proposal  
18 U.S. Steel had received from Bloom Engineering for the  
19 burners on reheat furnaces. The documents submitted to  
20 The Board as attachment F, however, is dated January  
21 22nd, 2009.

22 When exactly did U.S. Steel or URS first  
23 obtain the proposal from Bloom?

24 MR. STAPPER: I can't answer that.

1 MS. VETTERHOFFER: Do you know -- do you  
2 happen to know if U.S. Steel might have that  
3 information?

4 MS. HODGE: We will be happy to check on  
5 that.

6 MR. STAPPER: Again, to clarify for the  
7 purposes of questions for me, I focused on the two  
8 boilers so, blast furnaces those questions will be  
9 better directed elsewhere.

10 MR.. FOX: Mr. Stapper, we lost most of the  
11 volume.

12 MR. STAPPER: I'm sorry. I'm trying to get  
13 closer.

14 The questions as they pertain to me -- my  
15 role in this analysis was really two boilers. And so,  
16 the questions for the reheating furnaces should go  
17 elsewhere.

18 MS. VETTERHOFFER: Could we take a short  
19 break? The laptop computer that we're using has a low  
20 battery. We just need to recharge or use a different  
21 computer.

22 MR. FOX: That would be fine.

23 Why don't go off the record.

24 WHEREUPON, THE PARTIES TOOK A SHORT BREAK; SUBSEQUENT TO

1 WHICH THE FOLLOWING PROCEEDINGS WERE MADE OF RECORD:

2 MR. FOX: We are back on the record.

3 We did want to interrupt. I appreciate  
4 The Agency's flexibility on this, the order of our  
5 proceedings.

6 We have Ms. Amy Funk, a member of the  
7 public, who has a comment that she has prepared that she  
8 would like to deliver.

9 And please, Ms. Funk, when you're ready  
10 proceed with that. Thank you for your patience.

11 MS. FUNK: Well, I should thank you for  
12 humoring me and my daughter here. I'm a little -- this  
13 is my first public hearing -- public hearing, so I'm a  
14 little out of my element, honestly. So, I do apologize  
15 if this is not appropriate for this type of forum.

16 MR. FOX: Ms. Funk, if I may introduce you.  
17 You're doing fine. If you would identify any group or  
18 organization that you might represent.

19 MS. FUNK: Yes. Yes.

20 My name is Amy Funk. And I am a  
21 stay-at-home mom of two children. And I am also active  
22 member of the local Sierra Club, as well as I've started  
23 local group for Mothers on Environmental Issues locally.

24 Really let me just kind of get a brief why

1 I'm motivated to be here and sit with a four-year-old  
2 for a couple of hours. Starting at a young age I  
3 learned from my father the impact of air quality on  
4 one's health. My father grew up in East Chicago and he  
5 had asthma the first 18 years of his life. He then went  
6 off to college and asthma stopped. And every time he  
7 would go visit, even growing up, his breathing was  
8 always labored every time he would visit at my  
9 grandparents' in that area. And he also attributed it  
10 to the pollution in the area. And it seemed like a  
11 reasonable analysis when you consider where we lived and  
12 where we went.

13 In addition to that I lived in Hawaii for  
14 six years. My husband was in the military and we have  
15 since moved to this area. And I remember a few summers  
16 ago when I went running for the first time during the  
17 summer, mid afternoon, it wasn't terribly hot, I thought  
18 I would go for a run. Oh, my breathing was labored and  
19 I had never ever experienced that until I moved to this  
20 area.. I -- I won't say it's with concrete proof that  
21 it's directly related to this area, but I do think it's  
22 a bit telling. And I remember the doctor telling me,  
23 giving me times, best times to run, avoid certain times,  
24 you know, pay attention to the news and the air quality

1 updates and that was very telling me for.

2                   And I have two young children, so my  
3 primary motivation here today is because of them.

4                   And John Kennedy once said: "Children are  
5 the world's more valuable resource and it's best hope  
6 for the future."

7                   So, basically, I am compelled to speak.  
8 The fact that the Metro East County has failed to meet  
9 air quality standards very disturbs to me. And it is  
10 also, I think, an opportunity for us to put over three  
11 million children ahead of special interests and  
12 industry. When one considers the costs of health care  
13 due to respiratory illness, time missed from work and  
14 school, along with impact of one's quality of life the  
15 answer seems pretty easy.

16                   I understand the needs of business to  
17 operate. They serve a vital function, particularly  
18 providing jobs for the community, but isn't the health  
19 of our 13 million residents here in Illinois also vital  
20 to our -- the health of our economy?

21                   Recently my father lost his job, as so many  
22 others have. He worked a manager for the car industry.  
23 You know, never would he attribute it to the company's  
24 having to meet control technology. He would attribute



1 it to the short-sided decision making on the side of  
2 both business and government.

3 The reasonably available control technology  
4 for NOx being discussed here today is both responsible  
5 and forward thinking. This is the kind of thinking we  
6 need to ensure the recovery and viability of our economy  
7 and the health of our -- health of our citizens and  
8 environment.

9 There's a Proverb: "That which is escape  
10 now is pain to come." I ask you to consider in your  
11 rule making that, basically, what we do today we will  
12 face tomorrow.

13 I could stand here and talk about the long  
14 list of health impacts on NOx and particulate matter,  
15 but all of you are more well-versed in that than me.  
16 And so I'm, basically, here holding hope for my  
17 children's future. Hope that we will allow or will not  
18 allow short-sided decision making on the part of  
19 industry to jeopardize the environment quality of our  
20 health of our children. For me today is about working  
21 for a cleaner, healthier environment for the nearly 13  
22 million Illinois residents.

23 Lastly, I just want to say as a mother I,  
24 you know, make sure I feed her healthy foods. I can

1 make sure she gets exercise and can keep her safe, you  
2 know, teach her how to cross the road. But one thing  
3 that is beyond my control, but is in your control here  
4 today, is the air she breathes. And so, basically, I'm  
5 here just asking you, you know, that you consider that  
6 in your decision making.

7 And thank you so much for letting me kind  
8 of move in and I appreciate your time.

9 MR. FOX: Ms. Funk, thank you for your time  
10 and your patience today.

11 Of course, the court reporter has made a  
12 report of your comment that's now part of the record of  
13 this proceeding for today, so thank you.

14 MS. FUNK: Thank you very much.

15 MR. FOX: Ms. Vetterhoffer, that brings us  
16 back to you. I appreciate your patience in letting us  
17 break our order to get here, but please, feel free to go  
18 ahead with any questions.

19 MS. VETTERHOFFER: I do thank you for  
20 stopping so I can recharge the computer.

21 Before we left off I had asked Mr. Stapper  
22 a question about the technical proposal from Bloom,  
23 forgetting Mr. Siebenberger is also sworn in. So, I  
24 know we're directing questions to Mr. Stapper now. If

1 it's all right I'd like to direct a couple quick  
2 followup questions to Mr. Siebenberger.

3 MR. FOX: Certainly that would be  
4 appropriate. Mr. Siebenberger indicates he's available.

5 MS. VETTERHOFFER: Mr. Siebenberger, at the  
6 December 9th and 10th hearings regarding this rule  
7 making did you -- I believe you testified that you had  
8 relied on a mechanical proposal from Bloom or at that  
9 time you had a technical proposal from Bloom; is that  
10 correct?

11 MR. SIEBENBERGER: Yes. We -- what I had  
12 was the guaranteed values or the values that Bloom had  
13 given our engineering department for the NOx levels that  
14 they said that their equipment could achieve on our slab  
15 furnaces.

16 MS. VETTERHOFFER: Do you recall if the  
17 technical proposal that was provided with U.S. Steel's  
18 supplemental materials is the same one that you had at  
19 the time of the December hearing?

20 MR. SIEBENBERGER: Well, I didn't actually  
21 have the entire proposal, but what I had was the values  
22 that engineering had provided to me.

23 MS. VETTERHOFFER: And I know Ms. Hodge had  
24 said that she would follow up on that, but do you recall

1 or in your opinion can you provide a copy of what you  
2 did have in December? Is that something you can submit  
3 to The Board?

4 MR. SIEBENBERGER: Well, I think it is the  
5 values that I used in the calculations.

6 MS. VETTERHOFFER: Right. I'm just --

7 MR. SIEBENBERGER: Without looking if it's  
8 not in my exhibits I'm sure I can provide that. I think  
9 it's already in there, but. . .

10 MS. VETTERHOFFER: Okay. Thank you.

11 MR. SIEBENBERGER: Uh-huh.

12 MS. VETTERHOFFER: Back to Mr. Stapper,  
13 your testimony today is based on, in large part, on  
14 Dr. Staudt's testimony that he pre-filed on  
15 January 20th, correct?

16 MR. STAPPER: Yes. That's correct.

17 MS. VETTERHOFFER: And you state in your  
18 pre-filed testimony that you contacted some of the same  
19 vendors that Dr. Staudt did; is that correct?

20 MR. STAPPER: That's correct.

21 MS. VETTERHOFFER: And in your testimony  
22 you've researched a number of safety issues in  
23 California, correct?

24 MR. STAPPER: Yes, that's correct.

1 MS. VETTERHOFFER: And since January 20th  
2 you've updated your analysis of NOx controls; is that  
3 accurate?

4 MR. STAPPER: Are you referring to my  
5 working practical experience of NOx controls or are you  
6 referring to my analysis for U.S. Steel?

7 MS. VETTERHOFFER: For U.S. Steel obtained  
8 in your report that was submitted with U.S. Steel  
9 supplemental materials.

10 MR. STAPPER: I have not updated my  
11 analysis from the standpoint that everything I uncovered  
12 in following up on Dr. Staudt's contacts with vendors  
13 supported our conclusions as such our recommendations to  
14 U.S. Steel have not changed.

15 MS. VETTERHOFFER: And I know you testified  
16 when exactly your testimony was filed with The Board,  
17 but considering The Agency has only had less than  
18 24 hours to review it do you believe that provides  
19 The Agency or The Board sufficient time to review it as  
20 it was submitted at the close of business yesterday?

21 MS. HODGE: I'm going to object to that  
22 question. We filed it when -- as soon as we could get  
23 it available and served everyone electronically. And  
24 the hearing officer has been kind enough today to allow,

1 you know, the testimony to go forward today. And my  
2 understanding in my practice before The Board is the  
3 standard in rule making is relevancy. His testimony is  
4 certainly relevant.

5 MR. FOX: Ms. Vetterhoffer, did you wish to  
6 be heard on -- in response to Ms. Hodge?

7 MS. VETTERHOFFER: No, I was just, again,  
8 pointing out the short amount of time of The Agency had  
9 to prepare.

10 MR. FOX: And on the issue of adequate time  
11 for The Agency or The Board I'm not sure that  
12 Mr. Stapper's opinion is relevant or has basis in fact,  
13 so I would uphold the objection.

14 Ask your next question, please.

15 MS. VETTERHOFFER: Thank you.

16 On page two of your pre-filed testimony you  
17 state that URS provides emission guarantees on equipment  
18 it installs.

19 Isn't that true of all vendors?

20 MR. STAPPER: No, that's not true.

21 MS. VETTERHOFFER: Is that true of some  
22 vendors?

23 MR. STAPPER: Yes.

24 MS. VETTERHOFFER: Doesn't that make URS a

1 vendor as well?

2 MR. STAPPER: For some technologies URS is  
3 a vendor.

4 MS. VETTERHOFFER: How old, if you know,  
5 are the existing burners on Boilers 11 and 12 at Granite  
6 Steel Works?

7 MR. STAPPER: Just off the top of my head I  
8 don't recall their age. The age of the boilers? Forty  
9 to 50 years.

10 MS. VETTERHOFFER: And again, is there any,  
11 if Mr. Siebenberger perhaps knows the answer to the  
12 question, perhaps he would answer?

13 MR. SIEBENBERGER: No, I don't have any  
14 specific knowledge on that.

15 MS. VETTERHOFFER: Mr. Stapper, is there  
16 any other reason that a burner might be replaced besides  
17 NOx control requirements?

18 MR. STAPPER: Yes.

19 MS. VETTERHOFFER: And what are some of  
20 those other reasons?

21 MR. STAPPER: Burners wear out over time,  
22 so it's conceivable that somebody would replace one just  
23 as they maintenance replace.

24 MS. VETTERHOFFER: Or perhaps to address

1 safety or code requirements; would you agree with that?

2 MR. STAPPER: I agree.

3 MS. VETTERHOFFER: In the event that  
4 U.S. Steel had to replace their burners for reasons  
5 other than NOx control wouldn't it have to work with  
6 burner vendors to do that?

7 MR. STAPPER: Yes.

8 MS. VETTERHOFFER: Is there a chance that  
9 U.S. Steel would face the same problems in light of age  
10 of the existing burners?

11 MR. STAPPER: Which problems are you  
12 referring to?

13 MS. VETTERHOFFER: The same problems  
14 discussed in your pre-filed testimony and the problem  
15 regarding your testimony regarding fitting the burners  
16 into the existing boilers, problems associated with  
17 that?

18 MR. STAPPER: The distinction I'm trying to  
19 draw is that there are burners suitable for multi-fuel  
20 applications. There are not widely available  
21 commercially developed Low-NOx burners for that  
22 application. If they were not having to replace the  
23 burners for purposes of NOx control they would be able  
24 to find burners that were more proven, more readily



1 available similar to the ones that are already  
2 installed.

3 MS. VETTERHOFFER: And I believe we were  
4 just discussing didn't U.S. Steel contact Bloom  
5 Engineering about their reheat furnaces?

6 MR. STAPPER: Again, I'm not the reheat  
7 furnace person.

8 MS. VETTERHOFFER: I am sorry. I'll direct  
9 that to Mr. Siebenberger as well.

10 MR. SIEBENBERGER: Could you repeat?

11 MS. VETTERHOFFER: Sure.

12 Didn't U.S. Steel contact Bloom Engineering  
13 about their reheat furnaces?

14 MR. SIEBENBERGER: Yes.

15 MS. VETTERHOFFER: Okay. Bloom Engineering  
16 is a vendor as well, correct?

17 MR. SIEBENBERGER: I believe so, yes.

18 MS. VETTERHOFFER: So, would you agree that  
19 U.S. Steel has relied on information provided from  
20 vendors in making it's own decision for NOx control?

21 MR. SIEBENBERGER: In case of blast  
22 furnaces, yes.

23 MS. VETTERHOFFER: Mr. Stapper, on page  
24 four of your testimony you stated that a critical

1 omission in Dr. Staudt's correspondence with vendors  
2 concerned the fuel mix to be burned in the boilers.  
3 This included 35 percent blast furnace gas, 25 percent  
4 natural gas and 40 percent coke oven gas and then 40  
5 percent natural gas and 60 percent coke oven gas.

6                   Wasn't this information provided by U.S.  
7 Steel?

8                   MR. STAPPER: These average plans were  
9 provided by U.S. Steel in the context of explaining  
10 their emissions calculations. I don't believe the  
11 intention was to represent the range over which those  
12 fuels vary and how they operate.

13                   MS. VETTERHOFFER: Okay. And to your  
14 knowledge has U.S. Steel or URS ever provided that  
15 information to The Agency?

16                   MR. STAPPER: No.

17                   MS. VETTERHOFFER: You -- do you know if  
18 The Agency requested that information at the last  
19 hearing?

20                   MR. STAPPER: I'm not aware of that  
21 request, no.

22                   MS. VETTERHOFFER: The Agency did request  
23 information concerning the fuel mix in those boilers  
24 though; is that correct?

1 MR. STAPPER: I don't recall a specific  
2 request of that nature, no.

3 MS. VETTERHOFFER: On page five of your  
4 testimony you discuss limitations regarding the size  
5 required for the Bloom Low-NOx burners. And you state  
6 that these are too large for Boilers 11 and 12.

7 How was the information you base this  
8 opinion regarding boiler dimensions how was that  
9 information obtained?

10 MR. STAPPER: For the information on the  
11 Bloom 1030 series burner that information for the  
12 specific burner series was contained in the  
13 correspondence between Bloom and Dr. Staudt. The  
14 specifics of the burner dimensions I obtained from Bloom  
15 brochures.

16 MS. VETTERHOFFER: What about the  
17 information about the dimensions of the boilers?

18 MR. STAPPER: That information I obtained  
19 from drawings, the boiler general arrangement drawings.

20 MS. VETTERHOFFER: Have you inspected  
21 Boilers 11 and 12?

22 MR. STAPPER: Yes, I have.

23 MS. VETTERHOFFER: Do you know if  
24 Dr. Staudt had those drawings that you just mentioned

1 available to him?

2 MR. STAPPER: I don't know.

3 MS. VETTERHOFFER: I'll just ask  
4 Mr. Siebenberger.

5 Mr. Siebenberger, are you aware whether  
6 that information was ever provided to Dr. Staudt or  
7 The Agency?

8 MR. SIEBENBERGER: I -- I don't believe so.

9 MS. VETTERHOFFER: Would the information be  
10 available to The Agency? Would you be willing to  
11 provide it -- and to The Board?

12 MR. SIEBENBERGER: Again, assuming I guess  
13 that there's no confidentiality issues with it.

14 MS. VETTERHOFFER: Okay. Thank you.

15 And isn't it true that The Agency requested  
16 an opportunity to inspect boilers with Dr. Staudt  
17 present prior to this hearing?

18 MR. SIEBENBERGER: Yes, I believe  
19 Ms. Roccaforte requested that we be able to sit down,  
20 get together prior to the hearing and discuss these  
21 matters. We attempted to set up a meeting to discuss  
22 the matter further and I think at that time they were  
23 hoping to be able to go out and view the boilers.

24 MS. VETTERHOFFER: Was U.S. Steel and

1 The Agency able to set up that inspection?

2 MR. SIEBENBERGER: No, due to scheduling  
3 problems we're going to have to reschedule.

4 MS. VETTERHOFFER: Back to Mr. Stapper, on  
5 page 12 of your testimony you state that the selective  
6 non-catalytic reduction, SNCR, could not be used to  
7 reduce emissions on Boilers 11 and 12 to below .08  
8 pounds per MMBtu; is that correct?

9 MR. STAPPER: Yes.

10 MS. VETTERHOFFER: Didn't Dr. Staudt's  
11 original pre-filed testimony state that he did not  
12 envision the need for SNCR on any gas fired facilities  
13 subject to the proposed rule?

14 MR. STAPPER: That must be a matter of the  
15 record. I can't speak to that.

16 MS. VETTERHOFFER: Okay. Do you  
17 specifically recall that testimony personally?

18 MR. STAPPER: I personally do not recall  
19 that testimony.

20 MS. HODGE: Mr. Stapper was not present at  
21 the first hearing in this matter.

22 MS. VETTERHOFFER: I -- the second I asked  
23 that question I realized that. I'm sorry.

24 Didn't Staudt's -- Dr. Staudt's more recent

1 testimony filed regarding this hearing discuss SNCR use  
2 on multi-fuel and no-bearing heat systems?

3 MR. STAPPER: May I have just a moment to  
4 come back to Dr. Staudt's testimony.

5 MR. FOX: Yes. Yes. You need a moment or  
6 two that's fine.

7 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
8 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
9 OF RECORD:

10 MR. STAPPER: I am sorry. Could you point  
11 me to the page of Dr. Staudt's pre-filed testimony?

12 MS. VETTERHOFFER: Just one moment.

13 MR. STAPPER: I got it.

14 Could you repeat the question?

15 MS.. VETTERHOFFER: Sure.

16 I simply asked if you had seen Dr. Staudt's  
17 recent testimony in this hearing concerning SNCR use for  
18 multi-fuel systems?

19 MR. STAPPER: His testimony does speak to  
20 multi-fuel boiler application of SNCR, yes.

21 MS. VETTERHOFFER: Would it be correct to  
22 say that the co-firing of blast furnace gas, coke oven  
23 gas and natural gas is pretty limited to the steel  
24 industry?

1 MR. STAPPER: Yes.

2 MS. VETTERHOFFER: You testified at the  
3 December hearing that URS is involved in the burner  
4 retrofit business and that experience allows URS to  
5 operate without contacting the vendors for every  
6 application.

7 How many steel mill boilers co-firing  
8 natural gas, coke oven gas and blast furnace gas has URS  
9 performed Low-NOx reduction on?

10 MR. STAPPER: I am not aware that we have  
11 performed any.

12 MS. VETTERHOFFER: To your knowledge has  
13 U.S. Steel performed emissions tests of the reheat  
14 furnaces or Boilers 11 and 12?

15 MR. STAPPER: Could you repeat that,  
16 please?

17 MS. VETTERHOFFER: Sure.

18 To your knowledge has U.S. Steel performed  
19 emissions tests on it's reheat furnaces or Boiler 11 and  
20 12?

21 MR. STAPPER: I have no knowledge or --

22 MS. VETTERHOFFER: Maybe I can direct that  
23 question to Mr. Siebenberger.

24 MR. SIEBENBERGER: Yeah. I mean,

1 historically I think there's been some analysis or some  
2 testing of number 12 boiler and some limited testing of  
3 number four reheat furnace.

4 MS. VETTERHOFFER: Okay. And was that for  
5 NOx controls, I'm sorry, NOx emissions?

6 MR. SIEBENBERGER: I -- yes, I believe some  
7 of it was for NOx emissions.

8 MS. VETTERHOFFER: Can you by any chance  
9 recall what the emissions rates were for the different  
10 fuels?

11 MR. SIEBENBERGER: No, I can't off the top  
12 of my head.

13 MS. VETTERHOFFER: Would you be willing to  
14 provide a copy of the test results to us and to  
15 The Board?

16 MR. SIEBENBERGER: Yeah, assume -- yeah, I  
17 think so.

18 MS. VETTERHOFFER: Were those emissions  
19 tests used in formulating the emissions rates for the  
20 cases that you submitted in Exhibit A to your pre-filed  
21 testimony for December 9th and 10th hearing?

22 MR. SIEBENBERGER: Not -- not directly in  
23 determining what the limit was, no.

24 I think -- well, I know in both cases URS



1 for the boiler projected what they thought the emission  
2 rates are currently. And Bloom did the same thing with  
3 reheat furnaces. And so, that was -- then they used  
4 that in their analysis to determine what the control  
5 rates could be. I think the only place some of these  
6 earlier numbers from your tests are used was in any  
7 emission reports. And we may have used those numbers to  
8 reflect -- and typically those are conservative numbers.  
9 And we may have used those numbers to reflect what the  
10 Low-NOx reductions would be to reflect that that had no  
11 bearing on what the final control level is.

12 MS.. VETTERHOFFER: Okay. Mr. Stapper, just  
13 for clarification sake, you are the author of the NOx  
14 Reduction Study for U.S. Steel that was submitted to  
15 The Board on Friday; is that correct?

16 MR. STAPPER: URS authored that report. I  
17 am not the sole author of that report.

18 MS. VETTERHOFFER: Did you help author that  
19 report?

20 MR. STAPPER: Yes, I did.

21 MS. VETTERHOFFER: In that report you  
22 discuss Low-NOx burners on page nine of the report you  
23 state, or whoever authored the document with your help  
24 states, of course, a Low-NOx burner combined FGR would

1 produce significant NOx reductions, but it is unlikely  
2 that the NOx reduction would be any greater than  
3 application of FGR to the existing burners.

4 This is one of the reasons that URS pulled  
5 out Low-NOx burners; is that correct?

6 MR. STAPPER: That's correct.

7 And I believe that's consistent with what  
8 we in response received from the burner vendors.

9 MS. VETTERHOFFER: In the previous  
10 paragraph on that same page URS also discusses the  
11 possible need to upgrade burner management system, which  
12 would add cost to the project; is that correct?

13 MR. STAPPER: Low-NOx burners generally  
14 require better instrumentation, because they have  
15 tighter operating windows. And therefore, Low-NOx  
16 burner retrofit may often or even an FGR retrofit may  
17 often require instrumentation upgrades such that the  
18 cost of the instrumentation even exceeds the cost of the  
19 burner itself.

20 MS. VETTERHOFFER: So, the added cost was a  
21 consideration that URS considered?

22 MR. STAPPER: URS considered what the total  
23 installed cost would be. It would be necessary to  
24 install and safely operate the equipment we were

1 evaluating.

2 MS. VETTERHOFFER: Assuming a Low-NOx  
3 burner would be installed on Boilers 11 and 12 would it  
4 be fair to say that Low-NOx burner in combination with  
5 FGR would provide reduction that is at least as good as  
6 FGR alone, perhaps better?

7 MR. STAPPER: I don't believe that I have  
8 seen any information from any burner vendor that would  
9 suggest that they have a burner capable of exceeding the  
10 emissions that U.S. Steel has proposed with the  
11 installation of their burner in combination with FGR. I  
12 am aware of no existing installations.

13 On this fuel blend and the feedback I  
14 received as -- as is included in the testimony that was  
15 presented today the estimates that those vendors  
16 provided with their Low-NOx burner in combination with  
17 FGR are not any lower than what U.S. Steel is proposing  
18 to achieve by simply adding FGR to their existing  
19 burners.

20 And the point I made in the testimony is  
21 that a burner vendor doesn't sell FGR projects. They  
22 sell burners. And they are going to try to respond with  
23 their best burner driven solution.

24 MS. VETTERHOFFER: Is there significant

1 fuel NOx produced using coke oven gas?

2 MR. STAPPER: The scrubbed coke oven gas is  
3 estimated by the scrubber vendor to contain 130 parts  
4 per million hydrogen cyanide, which would add  
5 approximately .03 pounds per million Btu full NOx to the  
6 overall NOx emissions from the boiler.

7 The un-scrubbed coke oven gas contains 1900  
8 PPM hydrogen cyanide, which is -- the scrubber is  
9 estimated to reduce 93 percent of the hydrogen cyanide  
10 from the coke oven gas. So, the -- the un-scrubbed coke  
11 oven gas would have a very significant impact on the NOx  
12 emissions.

13 MS. VETTERHOFFER: And FGR does not reduce  
14 fuel NOx; is that correct?

15 MR. STAPPER: That's correct, nor does  
16 Low-NOx burner, just to clarify.

17 MS. VETTERHOFFER: Did you examine with any  
18 calculations the NOx reduction in combination of Low-NOx  
19 burner and FGR might achieve versus FGR alone?

20 MR. STAPPER: Yes. As we've stated we have  
21 data for Low-NOx burner in combination with FGR. We  
22 have those emissions tests. And they are, essentially,  
23 the same as what U.S. Steel is proposing to achieve with  
24 just FGR applied to it's existing burners.

1                   And our recommendation to U.S. Steel was  
2 rather than to go the expense of rebuilding their  
3 boilers and buying new burners and installing them and  
4 adding FGR that it would be much more prudent to simply  
5 add FGR to obtain the same NOx emission levels.

6                   MS. VETTERHOFFER: Mr. Stapper, did you  
7 obtain a cost estimate for FGR?

8                   MR. STAPPER: Do you mean did I obtain a  
9 cost estimate from an FGR vendor?

10                  MS. VETTERHOFFER: Or did you, yourself,  
11 develop a cost estimate?

12                  MR. STAPPER: URS did develop a cost  
13 estimate. URS does sell reinstallation retrofits.  
14 And -- and as far as the same I -- I -- I've prepared  
15 one within the last month for a design that we're doing.  
16 It's actually matter of the public record, so I can even  
17 say the installation is NASA Johnson Space Center, so I  
18 have most current possible cost estimate information is  
19 available.

20                  MS. VETTERHOFFER: Just one moment.

21 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
22 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
23 OF RECORD:

24                  MS. VETTERHOFFER: Mr. Stapper, in your

1 opinion then based on your analysis of FGR does that  
2 meet RACT requirements or FGR considered RACT in your  
3 opinion?

4 MR. STAPPER: By the definitions of cost  
5 effectiveness and it's availability and proven record  
6 I'm agreeing that FGR is -- generally qualifies as RACT.

7 MS. VETTERHOFFER: Thank you, Mr. Stapper.  
8 I have no further questions.

9 MR. FOX: Are there any other questions?  
10 (No response.)

11 Ms. Vetterhoffer, thank you.

12 Were there questions from any of other  
13 participants for Mr. Stapper here today?

14 Ms. Hodge?

15 MS. HODGE: I have just one full up  
16 questions for him, if I may?

17 MR. FOX: Please, go ahead.

18 MS. HODGE: Mr. Stapper, could you  
19 elaborate a bit on URS' experience with evaluation of  
20 burner application with various fuel blends?

21 MR. STAPPER: Yes.

22 The question was asked previously if URS  
23 had had -- if I was aware of URS had installed burners  
24 in application involving blast furnace gas, coke oven

1 gas and natural gas and my answer was no. But URS does  
2 conduct studies of -- of sources firing a wide variety  
3 of fuels, including blast furnace gas and coke oven gas  
4 for specific burner retrofit. Our experience includes  
5 units firing refinery gasses with various blends of  
6 hydrogen and other hydrocarbons.

7 We are involved in -- we've been involved  
8 in retrofits with -- with co-firing low Btu gasses and  
9 co-firing other waste treatments of hydrocarbons that  
10 require the burner to accommodate swings in both fuel  
11 heating value and -- and the load range of the firing  
12 equipment. So, URS does have extensive experience in  
13 the actual installation and start up of a variety of  
14 multi-fuel boiler applications.

15 MS. HODGE: Thank you.

16 MR. FOX: Any other questions for -- for  
17 Mr. Stapper?

18 Mrs. Andria?

19 MS. ANDRIA: Am I allowed to ask a very --  
20 it's very brief?

21 MR. FOX: Yes.

22 MS. ANDRIA: Kathy Andria, A-N-D-R-I-A.

23 MR. FOX: This question, Ms. Andria, is  
24 directed specifically to --

1 MS. ANDRIA: Specific to what you just said  
2 -- Mr. Stapper just said.

3 MR. FOX: Very good. Thank you.

4 MS. ANDRIA: From my memory of reading the  
5 transcript of the previous public hearing and something  
6 he just said I just wanted to clarify something for our  
7 own purposes or our comments: URS specializes in  
8 retrofit burners, not new burners; is that correct?

9 MR. STAPPER: No. We -- we -- we supply  
10 new burners for retrofit applications, but we supply new  
11 burners both as part of boiler retrofits and as part of  
12 new boiler installations.

13 MS. ANDRIA: So, I'm unclear. I'm not a  
14 technical person or an engineer. I am unclear. Are you  
15 a vendor or are you a consultant in this case?

16 MR. STAPPER: In this particular case URS  
17 is a consultant and we are -- we will not be installing  
18 whatever solution is ultimately implemented by  
19 U.S. Steel.

20 MS. ANDRIA: But you are recommending  
21 equipment that you sell; is that correct?

22 MR. STAPPER: We're recommending a  
23 technology that we -- we do provide to clients, yes.

24 MS. ANDRIA: That's all. Thank you.



1 MR. FOX: And Mrs. Andria, if would refer  
2 to comments, could you just mention to the record any  
3 organization or group on whose behalf those comments  
4 might be filed?

5 MS. ANDRIA: Yes. American Bottom  
6 Conservancy and Sierra Club.

7 MR. FOX: Thank you, Mrs. Andria. Should  
8 have taken care of that first.

9 That appears to conclude all of the  
10 questions for Mr. Stapper on the basis of his pre-filed  
11 testimony.

12 There was, as I announced at the top of  
13 hearing, an opportunity for anyone to sign up if they  
14 wish to testify without having pre-filed or to offer  
15 comments and we have with Ms. Funk's comment taken care  
16 of, one of the three people.

17 Mr. Smith, I think you had indicated and  
18 forgive me if I'm mistaken, you merely offered -- wanted  
19 to offer brief comment rather than be sworn in and offer  
20 testimony and be subject to questions.

21 MR. SMITH: Just a brief comment, yes.

22 MR. FOX: Terrific. I think we've come to  
23 the point in the hearing with the conclusion of those  
24 questions, for any comment you may wish to offer. I

1 don't think you have to move from that seat, but if you  
2 could use the microphone and pull it down to within a  
3 couple of inches of your chin I think the court reporter  
4 and the rest of us here can hear you just fine. Please,  
5 go ahead whenever you're ready.

6 MR. SMITH: Okay. Thank you.

7 MR. SMITH: I am Steven Smith. I work for  
8 Saint-Gobain Container. And I just have a brief  
9 statement with respect so the notice filed by  
10 Gina Roccaforte January --

11 MR. FOX: Mr. Smith, maybe it would make  
12 the most sense if you come down two rows in front of you  
13 to an empty seat with a microphone that was working. I  
14 hate to ask you to do that, but it be might be the most  
15 efficient.

16 MR. SMITH: Is this one working?

17 MR. FOX: They are. Terrific. Thanks.

18 MR. SMITH: I just have a brief statement  
19 with respect to the notice filed by Gina Roccaforte on  
20 January 30th, 2009 on the motion to amend rule making  
21 proposal Saint-Gobain Containers has been working with  
22 the Illinois EPA to develop specific sessions involving  
23 glass melting furnaces and we support that motion.

24 MR. FOX: Anything further, Mr. Smith, on

1    behalf of Saint-Gobain?

2                   MR. SMITH:   That's it.   Thank you.

3                   MR. FOX:   Thank you for patience waiting to  
4    deliver those few sentences all morning.

5                   MR. SMITH:   No problem.

6                   MR. FOX:   We had one other person, unless  
7    there was further interest in testimony -- testifying or  
8    offering comment and that was Ms. Andria on behalf of  
9    she had mentioned of the American Bottom Conservancy and  
10   Sierra Club.

11                   Ms. Andria, if you're prepared to offer a  
12   brief public comment, please, proceed at this point to  
13   do that.

14                   MS. ANDRIA:   Thank you.

15                   Mr. Fox, members of The Board.   Mr. Rao.

16                   My name is Kathy Andria.   I'm president of  
17   American Bottom Conservancy and Conservation Chair for  
18   the Kaskaskia Group Sierra club.   I am a member of the  
19   Sierra Club National Clean Air Team and an active  
20   participant in the East/West Gateway Council of  
21   Government's Air Quality Advisory Committee.   I have  
22   been a member of the Illinois EPA Environmental Justice  
23   Advisory Group since it's inception.   In all capacities  
24   I am a volunteer.

1                   We want to thank you for holding a thorough  
2 hearing on this matter so those of us living in the  
3 Metro East are able to comment on this proposed rule  
4 making, which very much affects us. We are surrounded  
5 by coal fired power plants, smelters, chemical plants,  
6 steel mills, refineries, a hazardous waste incinerator  
7 and other facilities. We will soon have a new coke  
8 plant. We also have a massive cement kiln that is being  
9 built right across the river. All are going to or will  
10 and have contributed to our air quality.

11                   I know that a number of people living on  
12 the other side of the river who share our air shed also  
13 wanted to come today, but the Missouri Department of  
14 Natural Resources is also holding an air quality public  
15 hearing today and they are there. I hope that they and  
16 other local residents who are unable to come to a  
17 daytime hearing will submit written comments.

18                   Several weeks ago in anticipation of that  
19 hearing I read through most of the filings on the rule  
20 making that were posted on The Board web site and began  
21 writing my comments, some of which address concerns I  
22 found in the records such as I was concerned about  
23 the -- the question of the recommending something they  
24 sell and not going to be able to go -- to get questions

1 answered by only those who sold new boilers.  
2 Unfortunately, I discovered yesterday that my notes on  
3 that were among those lost in a recent computer  
4 malfunction, so I regret that my comments today will be  
5 limited. I hope to reconstruct my comments and submit  
6 them in writing, although the Illinois EPA has done much  
7 of the comments, brought up questions that I had.

8           We want to thank Illinois EPA for proposing  
9 this rule making and for the work they have put into  
10 seeing that it is adopted. Those opposing this rule  
11 making, the industries which would have to comply with  
12 it, claim that adding stricter controls is unnecessary  
13 because our air is getting cleaner, would cost too much  
14 and the deadline is too soon. That is all the argument  
15 and they do everything they can to delay, delay, delay  
16 the adoption and implementation of any rule making or to  
17 quash it altogether. In this instance they hired the  
18 former Chief of Illinois Air Bureau, very smart tactic.  
19 If we had the funds those of us worried about the health  
20 of our communities might have done the same thing and  
21 his testimony might have had a very different focus.

22           I am not a technical person. I am not an  
23 engineer. I am not a health professional, but I do know  
24 something about our air quality and our people and I

1 know a bit about the local industries that would be  
2 affected by your rule making.

3 American Bottom Conservancy and Sierra Club  
4 have been actively involved in air permitting issues  
5 concerning the ConocoPhillips Wood River refinery and  
6 the U.S. Steel facility in Granite City. Both  
7 facilities contribute significant emissions of  
8 pollutants to our air that cause our status as  
9 non-attainment. Both facilities will be affected by  
10 this rule making. Both facilities are opposing it.  
11 Neither, apparently, has reached an agreement with IEPA.  
12 ABC and Sierra Club oppose certain recent permit  
13 decisions by the Illinois EPA regarding the two  
14 facilities. Both resulted in settlement agreements that  
15 would keep the plants operating, the workers working and  
16 given environmental benefits to communities such as  
17 increased monitoring, school bus and public building  
18 energy efficiency retrofits.

19 The Greater St. Louis Metro East area does  
20 not meet federal air quality standard for fine  
21 particulates being 2.5 in our ozone. The Wood River  
22 Refinery and Granite City Steel are the largest Metro  
23 East contributors to that numbers. And the U.S. Steel  
24 facility has been identified as largely being

1 responsible for our PM 2.5 non-attainment designation.  
2 The company indicated that they have been working with  
3 IEPA for the last year on controls, yet they oppose this  
4 rule making.

5 I grew up in Granite City. My father  
6 worked for most of his life in a steel mill. He was a  
7 union pattern maker and carpenter. So, I very much  
8 understand the importance of jobs to our communities and  
9 to our families, but my father knew firsthand the  
10 companies could do more, much more to control their  
11 pollution. And he urged me to work to help clean our  
12 air. My father had heart disease and emphysema. My  
13 mother died from cancer. All three diseases can be  
14 caused or aggravated by poor air quality by exposure to  
15 fine particulates. We have a very high cancer rate and  
16 lung disease in the St. Louis area. St. Louis was just  
17 named the worst city in America for asthma by the Asthma  
18 and Allergy Foundation. Madison County and St. Clair  
19 County received failing grades for air quality annually  
20 from the American Lung Association. The asthma rates  
21 among our children both in St. Louis and the Metro East  
22 are astronomical, nurses in the local schools have bags  
23 of inhalers for the kids. Children must limit their  
24 play time or play indoors.

1 Illinois EPA is trying this rule making to  
2 make our air cleaner to help our area come into  
3 attainment. ConocoPhillips and U.S. Steel are fighting  
4 it. I have toured both facilities and know there is  
5 much each can do to better control their emissions.

6 And I don't know for sure, but I think  
7 that's Boilers 11 and 12 might be as old as I am, which  
8 is not 40 or 50. That would help, if they do the  
9 control their emissions, that would help not only us it  
10 would help the two companies to use their energy more  
11 efficiently that would help their bottom line.

12 Granite City Steel is currently partially  
13 idle because of the economy as Larry Siebenberger  
14 testified. What better time for the company to install  
15 better controls reasonably available control technology.  
16 If they act now they would not have to plant -- idle the  
17 plant when the economy recovers when it is at full scale  
18 production and they could put some of their laid off  
19 workers back to work installing the equipment.

20 President Obama's stimulus package has,  
21 presumably, it has billions of dollars targeted for  
22 infrastructure, which should result in increased need  
23 for steel. Installing better controls will also provide  
24 jobs to workers who would maintain the equipment.



1 Building control equipment also provides jobs. We would  
2 hope that U.S. Steel would use this opportunity to  
3 install the equipment now and drop their opposition to  
4 the rule.

5 ConocoPhillips has done very well in recent  
6 years with the high cost of oil. The Wood River  
7 refinery is poised to develop 30 tar sands that will  
8 result in even more pollutants being released to our  
9 air. They too should drop their opposition and allow  
10 rule making to proceed. Each company used an end run  
11 around having better controls than lower emission limits  
12 in their recent rule making.

13 The Board is charged with making this  
14 decision. Are you going to listen to the EPA, the  
15 Illinois EPA, the agency charged with protecting the  
16 people of Illinois? Will you decide that what they are  
17 proposing is reasonable or will you listen to companies  
18 who might never control air pollution were they not  
19 required by law to do so, to companies who try to delay  
20 or overturn every rule proposed by the state or federal  
21 government that would better protect the public? Will  
22 you rule so that the companies affected rather than  
23 spend millions on pollution controls give their CEO's  
24 even bigger bonuses and their shareholders a few more

1 cents per share. The companies -- the two companies I  
2 referred to are based in Pennsylvania and Texas. The  
3 shareholders live mostly elsewhere. Will you protect  
4 the health of the children such as Diyosa, who was here  
5 with her mother, Amy, and their parents and children and  
6 grandparents who live here in Illinois? As Ms. Funk  
7 said, health care has costs too, big costs, often  
8 unreasonable costs. It is your decision, but remember  
9 you are the Illinois Pollution Control Board.

10 I have several studies that I'll submit  
11 electronically to go on record. One came out in the  
12 Journal -- New England Journal of Medicine I believe  
13 last week. Particulate Air Pollution and Life  
14 Expectancy in the United States. I also believe there's  
15 another one and this was came as a total surprise to me  
16 I think it was just two weeks ago in a study by Ohio  
17 State researchers suggested a connection between air  
18 pollution and diabetes. Who would have thought that?

19 Reminder: President Obama said his  
20 administration will base it's decisions on sound  
21 science. The scientific advisory board recommended  
22 standards that are lower than what is currently being  
23 used but for both ozone and PM 2.5. The new standards  
24 when they are revised will be more protective. It will

1 be such a nice thing if these industries who are  
2 affected by this would have a leg up on better controls.

3 Thank you.

4 MR. FOX: Thank you for your comments and I  
5 think that leads us to a point where we may go off the  
6 record and discuss procedural matters, including the  
7 deadline for any post-hearing comments, unless before  
8 then anyone have any final questions or other issues  
9 that we wish to raise?

10 (No response.)

11 MR. FOX: Let's go off the record then.

12 WHEREUPON, THERE WAS A SHORT PAUSE IN PROCEEDINGS;  
13 SUBSEQUENT TO WHICH THE FOLLOWING PROCEEDINGS WERE MADE  
14 OF RECORD:

15 MR. FOX: In going off the record the  
16 participants here today discussed procedural issues  
17 related to the filing specifically of post-hearing  
18 comments. Before it takes action on The Agency's  
19 proposal The Board will hold open a post-hearing comment  
20 period ending on Monday March 23rd, 2009, which is  
21 30 days after The Board expects to rule upon a standing  
22 motion to correct the transcript and a standing motion  
23 to amend the proposal and by which time The Board  
24 certainly expects to have a transcript of this hearing

1 today on February 3rd. Once that transcript is in  
2 The Board's hands our collection office will place it on  
3 line very quickly where it is, of course, available to  
4 be viewed, copied and downloaded free of charge.

5 And I indicated to the participants in  
6 going off the record once the hearing, I'm sorry, once  
7 the post-hearing comment period does begin I'll issue a  
8 brief hearing officer order simply so that everyone has  
9 unambiguous information about the start and end of that  
10 comment period.

11 Finally, anyone including participant  
12 persons who have not participated in these hearings may  
13 file written public comments with the clerk of  
14 The Board. They can be filed electronically with  
15 The Board's clerk's office and any questions about that  
16 process can certainly be directed to our assistant clerk  
17 John Therriault, who I know has assisted many of you  
18 with various questions.

19 Any filings with The Board must be served  
20 on the hearing officer and on the service list and that  
21 service list is also available on The Board web page  
22 under this docket number.


23 If you have questions about procedural  
24 aspects of the rule making you may always reach me




1 STATE OF MISSOURI )  
 ) SS  
2 COUNTY OF JEFFERSON )  
3

4 I, Bobbi L. Hamlin, a Notary Public in and for  
5 the County of Jefferson, State of Missouri, DO HEREBY  
6 CERTIFY that pursuant to agreement of the parties the  
7 aforementioned hearing held before me on February 3,  
8 2009, at the Madison County Administration Building,  
9 Edwardsville, Illinois, touching upon the matter in  
10 controversy aforesaid so far as the witnesses should be  
11 interrogated concerning the same; that the witnesses  
12 were examined and said examination was taken down in  
13 shorthand by me and afterwards transcribed, not being  
14 signed by said participants, and said hearing is  
15 herewith returned.

16 IN WITNESS WHEREOF, I have hereunto set my  
17 hand and affixed my Notarial Seal this 10th day of  
18 February, 2009.

19 



20 Notary Public, CCR, RMR  
21 Illinois License #084-002797  
22 My Commission Expires June 26, 2009  
23  
24

<p><b>A</b></p> <p><b>ABC</b> 134:12</p> <p><b>ability</b> 56:4</p> <p><b>able</b> 12:8 13:4,5,7 18:18 34:12 40:11 48:14 51:1 58:20 68:10,19 72:15 92:21 97:4 112:23 116:19,23 117:1 132:3,24</p> <p><b>about</b> 3:21 9:13 12:8 12:18 16:3 21:21 26:16,17,20 31:12 34:9 37:23 43:6 51:5,24 56:14 58:2 64:11,24 65:17 67:3 70:16 71:21 72:4,16,17 73:2 75:16 76:19 81:14 82:15,16 93:21 94:21 105:13,20 106:22 113:5,13 115:16,17 132:22 133:19,24 134:1 140:9,15,23</p> <p><b>above</b> 32:1 76:5 96:17</p> <p><b>absolutely</b> 33:11 82:20 90:17</p> <p><b>accept</b> 15:1</p> <p><b>accepted</b> 2:13</p> <p><b>access</b> 68:10 95:20</p> <p><b>accommodate</b> 127:10</p> <p><b>accomplished</b> 80:3</p> <p><b>according</b> 39:7</p> <p><b>accuracy</b> 33:4</p> <p><b>accurate</b> 31:18 32:16 70:20 99:19 109:3</p> <p><b>achievable</b> 56:9 76:15 78:2</p> <p><b>achieve</b> 16:12 17:10 17:10 18:4 53:20 55:19 64:2 75:14 77:9 79:20 81:19 82:12 96:19,21 97:4 107:14 123:18 124:19,23</p> <p><b>achieved</b> 16:15 58:12</p> <p><b>achieving</b> 55:4</p> <p><b>acknowledge</b> 82:2 86:15 92:15</p> <p><b>acronyms</b> 62:24 63:6</p> <p><b>across</b> 132:9</p> <p><b>act</b> 19:7,16 28:3 65:21 136:16</p> <p><b>acted</b> 19:4</p>	<p><b>action</b> 22:3 139:18</p> <p><b>actions</b> 16:7</p> <p><b>activate</b> 7:3</p> <p><b>active</b> 102:21 131:19</p> <p><b>actively</b> 134:4</p> <p><b>actual</b> 33:5 34:21 53:17 127:13</p> <p><b>actually</b> 5:8 26:19 33:7 38:2 50:1,18 52:18,19 57:16 58:4,7 69:10,12 72:8 107:20 125:16</p> <p><b>add</b> 19:20 64:3 78:15 122:12 124:4 125:5</p> <p><b>added</b> 122:20</p> <p><b>adding</b> 96:19 123:18 125:4 133:12</p> <p><b>addition</b> 4:1,15 36:20 48:9 93:10 95:9 97:2 103:13</p> <p><b>additional</b> 12:20 29:15,15 84:7 85:21 87:20 89:18</p> <p><b>address</b> 7:3 9:11,14 15:3 16:16,24 17:23 18:5,10,22 19:14,23 20:2,12 23:14,17,18 28:3 46:12,19 80:10 89:23 95:3 96:5 111:24 132:21 141:1,6</p> <p><b>addressed</b> 16:6 84:16 92:1</p> <p><b>adequate</b> 10:12 19:22,23 110:10</p> <p><b>adjourn</b> 141:6</p> <p><b>adjourned</b> 141:11</p> <p><b>adjusted</b> 78:8,9</p> <p><b>ADM</b> 1:9</p> <p><b>administration</b> 138:20 142:8</p> <p><b>Administrative</b> 2:8</p> <p><b>admission</b> 7:24 8:19 84:12 86:1,8</p> <p><b>admit</b> 43:3 83:20 84:1 86:17</p> <p><b>admitted</b> 3:9 8:23 41:17 45:21 84:13</p> <p><b>adopted</b> 21:2,2,8 133:10</p> <p><b>adoption</b> 133:16</p> <p><b>advisory</b> 131:21,23 138:21</p> <p><b>affected</b> 12:15 13:8 20:4,18 23:23 24:1 81:4 134:2,9</p>	<p>137:22 139:2</p> <p><b>affects</b> 132:4</p> <p><b>affixed</b> 142:17</p> <p><b>aforementioned</b> 142:7</p> <p><b>aforesaid</b> 142:10</p> <p><b>after</b> 5:11 19:11 26:6 40:21 43:10 67:11,13 70:2 99:1 139:21</p> <p><b>afternoon</b> 85:18 103:17</p> <p><b>afterwards</b> 142:13</p> <p><b>again</b> 21:20 30:16 34:10,18 42:1 43:17 44:3 45:5,12 47:3 52:24 53:5,8 53:10,14 69:5 71:19 74:17 77:14 79:10 80:12 82:4 87:5 90:24 91:12 91:14 92:8 93:23 101:6 110:7 111:10 113:6 116:12 141:10</p> <p><b>against</b> 33:5</p> <p><b>age</b> 103:2 111:8,8 112:9</p> <p><b>agencies</b> 38:4</p> <p><b>agency</b> 2:12 4:3,23 5:20 6:2 9:4,21 10:6 11:6 15:14 16:7,11 17:17 18:10 25:2,9,11,15 25:20 26:4,21 30:18 41:12 42:21 44:23 45:6 54:14 57:17,20,21 58:3 63:15 75:8 76:22 77:15,15 80:16 82:6,18 90:15 98:7 99:24 100:17 109:17,19 110:8 110:11 114:15,18 114:22 116:7,10 116:15 117:1 137:15</p> <p><b>agency's</b> 3:14 4:11 13:17 15:14 25:3 60:18 61:14 79:14 86:13 98:10 100:13 102:4 139:18</p> <p><b>aggravated</b> 135:14</p> <p><b>ago</b> 67:20 79:9 89:22 103:16 132:18 138:16</p> <p><b>agree</b> 33:20 61:16 65:8 68:20,24 72:12 112:1,2</p>	<p>113:18</p> <p><b>agreed</b> 36:10 98:8</p> <p><b>agreeing</b> 3:24 126:6</p> <p><b>agreement</b> 134:11 142:6</p> <p><b>agreements</b> 134:14</p> <p><b>ahead</b> 27:12 29:1 57:11 66:16 85:10 85:14 86:17 87:1 92:7 94:1 104:11 106:18 126:17 130:5</p> <p><b>air</b> 1:8 9:23,24,24 10:1,4 17:11 18:5 19:16 27:15,22 29:3,5,15,19 31:3 32:9,11 33:9,11 34:2 35:8,17,17 36:10 37:4,11 39:9 53:16 74:7 75:21 103:3,24 104:9 106:4 131:19,21 132:10,12,14 133:13,18,24 134:4,8,20 135:12 135:14,19 136:2 137:9,18 138:13 138:17</p> <p><b>Alec</b> 4:22 18:12</p> <p><b>Allergy</b> 135:18</p> <p><b>allocations</b> 24:12</p> <p><b>allow</b> 6:16 105:17 105:18 109:24 137:9</p> <p><b>allowances</b> 24:2,3</p> <p><b>allowed</b> 25:24 67:3 91:15 127:19</p> <p><b>allowing</b> 92:8 97:19</p> <p><b>allows</b> 6:18 74:15 119:4</p> <p><b>alone</b> 123:6 124:19</p> <p><b>along</b> 21:5 30:24 104:14</p> <p><b>already</b> 13:1 48:1 78:19 96:19 108:9 113:1</p> <p><b>alternative</b> 56:12 58:8 80:19 82:6</p> <p><b>although</b> 62:13 133:6</p> <p><b>altogether</b> 133:17</p> <p><b>always</b> 45:10 82:14 103:8 140:24</p> <p><b>ambient</b> 32:21 40:4 40:5</p> <p><b>amend</b> 9:5,7 14:15 20:15 130:20 139:23</p> <p><b>amendment</b> 12:12 12:14,16,19 13:3,5</p>	<p>13:9,10,22 82:24</p> <p><b>amendments</b> 1:9 2:8 13:18</p> <p><b>America</b> 135:17</p> <p><b>American</b> 129:5 131:9,17 134:3 135:20</p> <p><b>among</b> 59:20 133:3 135:21</p> <p><b>amortization</b> 72:8 72:16,19 73:24</p> <p><b>amount</b> 20:16 36:4 38:6,12 48:23,23 49:2,9,18,20,22 50:5,15 65:10 66:6 74:15 110:8</p> <p><b>amounts</b> 48:22 51:3 55:15</p> <p><b>Amy</b> 102:6,20 138:5</p> <p><b>analyses</b> 27:15,19 28:17 29:3,8,8,11 29:17 32:1,20,20 35:16</p> <p><b>analysis</b> 31:23 32:21 33:9 40:11 43:20 43:22 44:9,17 53:16 57:1,9 60:6 60:6 63:18 70:21 79:7 87:19,22 89:19 93:22 94:18 97:9 98:15 101:15 103:11 109:2,6,11 120:1 121:4 126:1</p> <p><b>Anand</b> 3:1,3</p> <p><b>Andover</b> 10:3</p> <p><b>Andrea</b> 2:3</p> <p><b>Andria</b> 127:18,19 127:22,22,23 128:1,4,13,20,24 129:1,5,7 131:8,11 131:14,16</p> <p><b>announced</b> 129:12</p> <p><b>annual</b> 51:1,6,9 53:4</p> <p><b>annually</b> 135:19</p> <p><b>another</b> 7:17 57:10 65:4 76:16,17 77:12 97:7 138:15</p> <p><b>answer</b> 35:13 70:2 97:21 100:24 104:15 111:11,12 127:1</p> <p><b>answered</b> 16:21 21:18 57:16 133:1</p> <p><b>answers</b> 14:22 42:3</p> <p><b>anticipate</b> 12:15 26:16</p> <p><b>anticipated</b> 13:4,11 26:15 28:5</p> <p><b>anticipation</b> 132:18</p> <p><b>anyone</b> 9:14 54:4</p>
--	---	--	---	--

85:22 97:24 99:24 129:13 139:8 140:11 141:5 <b>Anything</b> 130:24 <b>apologize</b> 47:10 63:10 91:12 102:14 <b>apparently</b> 3:2 134:11 <b>appear</b> 63:23 <b>appears</b> 27:10 42:5 42:8 47:22 129:9 <b>applicable</b> 3:7 39:6 39:11 <b>application</b> 75:24 77:12 81:15 92:23 94:21,23 96:24 97:18 112:22 118:20 119:6 122:3 126:20,24 <b>applications</b> 75:10 79:6 92:17 95:2,23 112:20 127:14 128:10 <b>applied</b> 97:6 124:24 <b>applies</b> 15:2 23:12 <b>apply</b> 33:5 37:5,8 81:5 92:13 <b>applying</b> 97:13 <b>appreciate</b> 12:6 15:14 48:11 61:8 62:4 82:3 85:23 93:18 102:3 106:8 106:16 <b>appreciates</b> 93:18 <b>approach</b> 27:20 29:7 32:19 38:3 40:7 55:1 56:6 80:11 82:1,23 <b>approaching</b> 76:14 <b>appropriate</b> 27:8 55:3,3,7,18 64:18 75:7,24 87:12 92:19 93:1 96:7 102:15 107:4 <b>approved</b> 40:10 <b>approximately</b> 67:19 124:5 <b>area</b> 17:12,12,13,21 19:5,6 27:24 29:21 30:8,15 33:16 34:20 38:5 39:3 78:23 103:9,10,15 103:20,21 134:19 135:16 136:2 <b>areas</b> 17:2,22,24 19:17 20:3,17 28:15 29:13 78:21 <b>argument</b> 47:17 133:14	<b>arguments</b> 47:15 <b>arise</b> 9:9 <b>around</b> 137:11 <b>arrangement</b> 115:19 <b>arrive</b> 50:9 72:11 79:7 <b>arrived</b> 73:5 92:23 <b>aside</b> 8:1 <b>asked</b> 106:21 117:22 118:16 126:22 <b>asking</b> 21:7 57:17 106:5 <b>aspects</b> 140:24 <b>assertions</b> 47:20 <b>assessment</b> 75:11 <b>assign</b> 43:19 <b>assigned</b> 2:23 45:19 84:15 <b>assistant</b> 9:19,22 140:16 <b>assisted</b> 140:17 <b>associated</b> 25:6 53:1 73:11,16,19 74:1 79:6 112:16 <b>Association</b> 135:20 <b>assume</b> 50:11 51:2 51:14 120:16 <b>assumed</b> 49:7 51:11 52:24 <b>assumes</b> 72:9 <b>assuming</b> 49:20 75:9 116:12 123:2 <b>assumption</b> 89:6 <b>assumptions</b> 40:3 49:10 50:16,21 51:22 72:7,15,16 72:17 73:6 89:15 <b>assurance</b> 26:2 <b>asthma</b> 103:5,6 135:17,17,20 <b>astronomical</b> 135:22 <b>attachment</b> 52:22 100:20 <b>attachments</b> 83:21 84:2 <b>attain</b> 17:7,21 39:6 <b>attained</b> 18:1,2 29:21 31:16 39:3 <b>attaining</b> 17:14 19:6 19:6 27:24 30:9,12 30:15 <b>attainment</b> 18:8,11 21:3 27:20 28:13 30:21 32:16,18,23 33:15 34:3,13 39:6 39:11 40:6,9 136:3 <b>attempt</b> 75:11 93:17 <b>attempted</b> 116:21	<b>attempting</b> 90:18 <b>attention</b> 12:6 48:19 103:24 <b>attribute</b> 104:23,24 <b>attributed</b> 103:9 <b>author</b> 121:13,17,18 <b>authored</b> 121:16,23 <b>authority</b> 60:16,21 <b>availability</b> 7:17 126:5 <b>available</b> 17:1 20:14 25:5,16,17 26:12 28:9 37:10 43:9 45:6 46:11 49:14 49:15,20,24 50:1,2 50:16 51:5 61:21 61:24 68:4,18 75:6 76:15 79:10 86:19 86:20 94:8 95:20 97:9 105:3 107:4 109:23 112:20 113:1 116:1,10 125:19 136:15 140:3,21 <b>average</b> 81:16,22 114:8 <b>averaging</b> 40:5 <b>avoid</b> 7:4 22:10,13 103:23 <b>aware</b> 6:22 9:3 22:4 25:8,10 26:9,18 36:18 60:6 71:7 74:22 81:6 93:14 99:7 114:20 116:5 119:10 123:12 126:23 <b>away</b> 6:8 14:7 <b>A-N-D-R-I-A</b> 127:22	<b>B</b> <b>B</b> 49:5 98:5 <b>back</b> 23:2 51:20,21 52:3 67:11,13 69:20 91:2,7 102:2 106:16 108:12 117:4 118:4 136:19 141:9 <b>bags</b> 135:22 <b>balance</b> 50:2 64:6 <b>Baldwin</b> 8:6,8,9 <b>base</b> 31:12 32:7,14 33:6,14 34:21,24 35:1,8 37:5 38:5 60:14 115:7 138:20 <b>based</b> 4:12 17:14 29:23 30:17 32:1 32:18 33:13 34:9 34:10,15,21,23	38:9 39:8,9 47:19 49:16,20 51:18,21 51:24 57:6 59:21 60:24 68:9 79:12 96:4 97:11 98:1,6 98:16 108:13 126:1 138:2 <b>basically</b> 104:7 105:11,16 106:4 <b>basis</b> 4:19 14:4 42:2 54:3 61:14 83:13 86:21 90:1 96:8 110:12 129:10 <b>Bassi</b> 7:14,20 8:2,4 8:11,13,15,17,23 9:1 14:6,8,22,24 15:5,6 93:6,9 <b>battery</b> 101:20 <b>bearing</b> 44:20 121:11 <b>bears</b> 48:20 <b>before</b> 1:1 3:22 9:14 10:22 11:6 13:10 13:18 16:11 19:22 24:6 26:9 41:10 42:10 47:2,7 56:24 67:14 80:2 84:10 85:24 90:18 94:5 99:2,9 106:21 110:2 139:7,18 142:7 <b>began</b> 132:20 <b>begin</b> 11:19 12:4 67:21 85:2 140:7 <b>beginning</b> 18:22 86:13 <b>begins</b> 11:6 93:11 <b>behalf</b> 4:2,5 9:20 10:7 14:12,18 18:12 66:17 67:7 129:3 131:1,8 <b>being</b> 18:7 23:15 33:17 35:5 51:4 52:15,16 58:12 72:20 74:19 77:5 82:9 99:2,9 105:4 132:8 134:21,24 137:8 138:22 142:13 <b>believe</b> 3:18,22 5:17 6:3 7:15 11:16,23 11:24 17:2 20:2,15 29:24 34:5 35:1,7 39:4 45:11 46:9 55:17 58:8 60:4 62:12 69:20 74:21 81:8 82:10 84:21 89:8 92:20 96:6 98:12 99:10 107:7 109:18 113:3,17	114:10 116:8,18 120:6 122:7 123:7 138:12,14 <b>believed</b> 99:11 <b>Belleville</b> 1:22 <b>below</b> 63:14 117:7 <b>benefit</b> 6:24 <b>benefits</b> 29:16 134:16 <b>besides</b> 111:16 <b>best</b> 10:18 92:1 103:23 104:5 123:23 <b>bet</b> 97:23 <b>better</b> 59:12,15,17 59:18 60:5 61:5 82:24 92:18,21 101:9 122:14 123:6 136:5,14,15 136:23 137:11,21 139:2 <b>between</b> 20:12 59:20 115:13 138:17 <b>beyond</b> 106:3 <b>BFG</b> 93:5,8 <b>big</b> 138:7 <b>bigger</b> 137:24 <b>Billbrook</b> 9:22 <b>billion</b> 30:7,7 53:5 53:12 <b>billions</b> 136:21 <b>bit</b> 16:3 32:5 37:23 103:22 126:19 134:1 <b>Blake</b> 4:5 10:7 91:5 92:10 94:3 <b>blast</b> 50:11,12 79:1 88:9,14 93:11 97:1 101:8 113:21 114:3 118:22 119:8 126:24 127:3 <b>blend</b> 93:11 123:13 <b>blends</b> 126:20 127:5 <b>Bloom</b> 48:5 100:18 100:23 106:22 107:8,9,12 113:4 113:12,15 115:5 115:11,13,14 121:2 <b>board</b> 1:1 2:4,9,13 2:21,22,23,24 3:4 3:6,11,16 4:3,15 6:2 7:21 8:14 9:6 9:10 12:12 13:10 13:16,18 15:3 20:1 21:2,3 22:2 26:11 26:12 28:7 47:3 80:2 84:19 92:22
--	--	---	---	---	---



93:17 94:6,13 99:2 99:9,22,24 100:9 100:20 108:3 109:16,19 110:2 110:11 116:11 120:15 121:15 131:15 132:20 137:13 138:9,21 139:19,21,23 140:14,19,21 141:7,7 <b>Boards's</b> 12:6 <b>Board's</b> 6:5 11:15 11:17 22:1 91:22 140:2,15 141:2 <b>Bobbi</b> 1:19 142:4 <b>boiled</b> 52:10 <b>boiler</b> 7:13,13 8:7 43:20,22 44:1,9,17 58:7 60:11 61:10 61:22,23 65:15 69:16 71:9 80:18 92:18,19 94:20,21 95:19 96:22 115:8 115:19 118:20 119:19 120:2 121:1 124:6 127:14 128:11,12 <b>boilers</b> 48:8,24 50:1 50:1,3 51:6,15,20 51:23 52:7,8,11,14 52:20 53:21 54:11 55:13 57:6 59:10 62:7,9,14,19,19 63:13 64:12 68:19 69:3,4,7,20 70:21 71:1,2,20 78:24 80:21,23 82:5 88:13,21,22 92:14 94:9,23 95:6 97:10 101:8,15 111:5,8 112:16 114:2,23 115:6,17,21 116:16,23 117:7 119:7,14 123:3 125:3 133:1 136:7 <b>bonuses</b> 137:24 <b>both</b> 7:16 13:20 17:11 18:11,15,16 23:17 31:8 36:21 38:14 51:14 79:24 85:7 95:13,16 105:2,4 120:24 127:10 128:11 134:6,9,10,14 135:21 136:4 138:23 <b>bottom</b> 15:22,23 31:16 34:17 53:4 98:22 129:5 131:9	131:17 134:3 136:11 <b>bound</b> 48:23 <b>boundaries</b> 18:24 19:5,8 <b>break</b> 6:9 16:19 38:16 46:5 67:11 67:14,17,20 101:19,24 106:17 <b>breakdown</b> 49:7 <b>breakthrough</b> 20:11 <b>breathes</b> 106:4 <b>breathing</b> 103:7,18 <b>brief</b> 5:9 11:20 12:1 27:9 42:8 67:1 84:5,23 87:4 90:7 91:3 97:17 102:24 127:20 129:19,21 130:8,18 131:12 140:8 <b>briefly</b> 47:6,13 <b>bring</b> 18:8 84:17 <b>brings</b> 83:19 106:15 <b>brochures</b> 115:15 <b>broke</b> 67:19 <b>brought</b> 28:7 133:7 <b>Btu</b> 50:13 63:22 68:15 96:18 124:5 127:8 <b>BTUs</b> 49:16 50:3 <b>Btu's</b> 51:5,24 52:18 53:5,12 <b>budget</b> 22:22 23:11 23:12,14,19 <b>building</b> 134:17 137:1 142:8 <b>built</b> 89:15 132:9 <b>bundle</b> 31:1 36:8 <b>Bureau</b> 9:24 10:4 133:18 <b>burn</b> 25:6 43:23 49:19 70:6 71:19 71:24 88:1,20 92:13 <b>burned</b> 52:9,10 114:2 <b>burner</b> 48:5 62:8 65:18 68:13 69:15 70:12 73:12,12,18 94:20 95:1,8,18 96:14,22 111:16 112:6 115:11,12 115:14 119:3 121:24 122:8,11 122:16,19 123:3,4 123:8,9,11,16,21 123:23 124:16,19 124:21 126:20 127:4,10 <b>burners</b> 62:20 68:16	69:17 75:21 94:23 95:2,9 96:15,20 100:19 111:5,21 112:4,10,15,19,21 112:23,24 115:5 121:22 122:3,5,13 123:19,22 124:24 125:3 126:23 128:8,8,10,11 <b>burning</b> 69:4,7,18 70:22 <b>burns</b> 80:7 <b>bus</b> 134:17 <b>business</b> 99:12,18 99:23 104:16 105:2 109:20 119:4 <b>buying</b> 125:3 <hr/> <b>C</b> <b>C</b> 52:22 <b>CAIR</b> 22:16,21 23:12,16,18 24:11 <b>calculate</b> 50:8 <b>calculating</b> 74:4 <b>calculation</b> 43:9,22 44:9,17 53:7 64:14 <b>calculations</b> 47:23 53:19 65:1 98:16 108:5 114:10 124:18 <b>calendar</b> 22:2 <b>California</b> 108:23 <b>Call</b> 23:11,15,24 <b>came</b> 138:11,15 <b>cancer</b> 135:13,15 <b>cap</b> 23:19 <b>capable</b> 59:22 123:9 <b>capacities</b> 62:10 131:23 <b>capacity</b> 58:18 <b>capital</b> 72:8,8,17,19 73:24 <b>car</b> 104:22 <b>care</b> 7:7 11:5 104:12 129:8,15 138:7 <b>carpenter</b> 135:7 <b>case</b> 17:9 37:5 70:13 72:13 80:22 82:19 82:19,20,21 113:21 128:15,16 <b>cases</b> 56:1,2,3 58:15 62:16,22 63:24 64:12 70:16,16 77:23,24 78:7,9 120:20,24 <b>Catalytic</b> 95:10 <b>categories</b> 1:8 2:7 36:15 <b>category</b> 62:14,19	63:21 <b>CATS</b> 38:4 <b>cause</b> 134:8 <b>caused</b> 135:14 <b>CCR</b> 142:20 <b>cement</b> 132:8 <b>Center</b> 125:17 <b>cents</b> 138:1 <b>CEO's</b> 137:23 <b>certain</b> 20:23 64:5 66:6 75:10 103:23 134:12 <b>certainly</b> 6:9 9:10 14:19,21 18:2 22:3 35:15 60:16 63:24 80:5,22 81:6 82:22 84:8 86:15,19 91:4 92:2 100:6 107:3 110:4 139:24 140:16 141:6 <b>certified</b> 34:6 <b>CERTIFY</b> 142:6 <b>CFR</b> 76:18 <b>Chair</b> 131:17 <b>chance</b> 112:8 120:8 <b>change</b> 33:9,12 88:7 <b>changed</b> 109:14 <b>changes</b> 16:1 99:15 <b>changing</b> 88:23 <b>characterization</b> 23:1 61:17 <b>characterized</b> 18:7 <b>charge</b> 72:9 140:4 <b>charged</b> 137:13,15 <b>chart</b> 44:1 <b>charts</b> 7:12 <b>check</b> 101:4 <b>chemical</b> 132:5 <b>Chicago</b> 2:19 17:13 17:17,24 18:1 19:6 30:8 33:16,18 38:5 91:7 103:4 <b>Chief</b> 133:18 <b>children</b> 102:21 104:2,4,11 105:20 135:21,23 138:4,5 <b>children's</b> 105:17 <b>chin</b> 130:3 <b>choice</b> 31:12 <b>choose</b> 55:14 56:1,2 57:22 <b>chose</b> 61:14 <b>circulated</b> 41:12 86:4 <b>circulation</b> 75:22 95:9 <b>circumstance</b> 80:6,9 <b>circumstances</b> 46:7 55:24 76:3 80:5,10 82:14 83:1 96:4,8	<b>cite</b> 58:11,11 61:23 <b>cited</b> 58:22 62:6,15 64:15 <b>citing</b> 58:4 64:7 <b>citizens</b> 105:7 <b>city</b> 48:8 94:10 97:11 134:6,22 135:5,17 136:12 <b>claim</b> 25:20 133:12 <b>claims</b> 94:22 <b>Clair</b> 135:18 <b>clarification</b> 54:13 121:13 <b>clarifications</b> 22:16 99:14 <b>clarified</b> 99:17 <b>clarify</b> 12:8,18 16:2 20:6 21:20 36:24 40:19,22 43:21 82:4 101:6 124:16 128:6 <b>clean</b> 19:16 131:19 135:11 <b>cleaner</b> 105:21 133:13 136:2 <b>clear</b> 3:12 11:15 16:23 24:24 43:4 <b>clearer</b> 7:19 <b>clearest</b> 7:6 <b>clearly</b> 7:2 <b>clerk</b> 140:13,16 <b>clerk's</b> 140:15 <b>client</b> 14:24 <b>clients</b> 14:18 56:17 128:23 <b>clock</b> 67:13 <b>close</b> 48:12 53:5 109:20 <b>closer</b> 47:8 101:13 <b>club</b> 102:22 129:6 131:10,18,19 134:3,12 <b>coal</b> 76:9 132:5 <b>coast</b> 28:2 <b>code</b> 1:9 2:8 112:1 <b>Coen</b> 96:20,23 <b>COG</b> 43:10,23 44:2 44:3,10,18,19 93:5 93:7,12 <b>coincide</b> 13:1 <b>coke</b> 43:10 44:3 48:7 48:7,22,23 49:7,10 49:14,15,18,19,21 49:22,24 50:5,10 50:15,15 51:3,19 52:9,13,18,19,19 52:21 53:2,17 80:7 88:2,8,13,20,21 89:7 97:1 114:4,5 118:22 119:8
---	---	---	--	--

<p>124:1,2,7,10,10 126:24 127:3 132:7 <b>Colaz's</b> 58:24 <b>collected</b> 30:18 <b>collection</b> 140:2 <b>collective</b> 32:22 <b>collectively</b> 36:10 <b>college</b> 103:6 <b>combination</b> 33:10 54:23 57:17 96:15 97:7 123:4,11,16 124:18,21 <b>combinations</b> 80:8 <b>combined</b> 121:24 <b>combustion</b> 54:20 54:22,23 55:14,16 56:1,2 60:2 75:20 97:13 <b>come</b> 27:10 42:6 46:17 47:2 50:21 51:6,8 67:11,13 92:18 105:10 118:4 129:22 130:12 132:13,16 136:2 <b>comes</b> 53:11 <b>comfortable</b> 74:12 78:11 <b>coming</b> 65:2 66:6 <b>comment</b> 6:13,23 89:5 90:2 102:7 106:12 129:15,19 129:21,24 131:8 131:12 132:3 139:19 140:7,10 <b>commented</b> 77:4 <b>comments</b> 4:16,19 5:2,16 6:19 9:9 10:22 13:19 54:3 57:24,24 72:4 78:16 84:5,7,7,9 87:20 89:19,23 91:10 94:11 128:7 129:2,3,15 132:17 132:21 133:4,5,7 139:4,7,18 140:13 <b>commercially</b> 112:21 <b>Commission</b> 142:21 <b>commissioned</b> 94:15 <b>Committee</b> 131:21 <b>communications</b> 94:24 <b>communities</b> 133:20 134:16 135:8 <b>community</b> 15:15 104:18 <b>companies</b> 13:12,17 13:20 55:8 135:10</p>	<p>136:10 137:17,19 137:22 138:1,1 <b>company</b> 1:21 40:13 46:1 81:17 135:2 136:14 137:10 <b>company's</b> 85:1 104:23 <b>compare</b> 49:23 50:4 51:1 <b>compared</b> 32:11 60:7 <b>comparison</b> 59:2 <b>compelled</b> 104:7 <b>compelling</b> 64:24 <b>competitive</b> 89:4 <b>complete</b> 3:12 5:12 94:18 97:9 <b>completed</b> 13:15,16 96:2 <b>complex</b> 18:9 <b>compliance</b> 12:24 23:23,23 24:2 30:1 34:15 41:1 55:9 <b>comply</b> 79:19 133:11 <b>component</b> 33:3 <b>compounds</b> 29:10 <b>computer</b> 33:8 101:19,21 106:20 133:3 <b>conceivable</b> 111:22 <b>concentration</b> 28:19 29:12 <b>concentrations</b> 31:22 32:3 <b>concept</b> 82:21 99:18 <b>concerned</b> 114:2 132:22 <b>concerning</b> 114:23 118:17 134:5 142:11 <b>concerns</b> 26:17 40:14 132:21 <b>conclude</b> 129:9 <b>concludes</b> 13:23 28:21 <b>conclusion</b> 4:11 6:13 6:17 34:21 41:3 129:23 <b>conclusions</b> 3:14 35:9 40:20,24 47:20 93:23 94:19 96:7,11 97:11 109:13 <b>concrete</b> 103:20 <b>condense</b> 58:19 <b>condition</b> 34:24 89:11 <b>conditions</b> 55:15 88:17</p>	<p><b>conduct</b> 96:1 127:2 <b>conducted</b> 29:2 97:8 <b>confidence</b> 74:18 81:11 <b>confidentiality</b> 25:20 99:13,19,23 116:13 <b>confirmed</b> 96:23 <b>confusion</b> 16:3 <b>connection</b> 138:17 <b>ConocoPhillips</b> 5:17 25:4,8,24 26:2,10 26:16 72:5 134:5 136:3 137:5 <b>consent</b> 36:19 37:13 37:19,20 <b>Conservancy</b> 129:6 131:9,17 134:3 <b>Conservation</b> 131:17 <b>conservative</b> 121:8 <b>consider</b> 37:1,24 77:16 82:6 103:11 105:10 106:5 <b>consideration</b> 80:19 82:19 83:23 122:21 <b>considerations</b> 92:22 <b>considered</b> 32:19 77:19 82:9 122:21 122:22 126:2 <b>considering</b> 88:5 109:17 <b>considers</b> 104:12 <b>consistent</b> 40:8 122:7 <b>Consortium</b> 10:2 <b>constituents</b> 70:8,10 <b>constitutes</b> 21:9,17 <b>construction</b> 95:7 <b>consultant</b> 128:15 128:17 <b>consultants</b> 51:8 <b>consultation</b> 38:10 <b>consulted</b> 60:18,20 <b>consume</b> 71:8,11 88:21 <b>consumption</b> 43:10 52:21 <b>contact</b> 94:20 96:1 113:4,12 <b>contacted</b> 96:14 97:2 108:18 <b>contacting</b> 119:5 <b>contacts</b> 109:12 <b>contain</b> 124:3 <b>contained</b> 82:13 115:12 <b>Container</b> 130:8</p>	<p><b>Containers</b> 13:13 130:21 <b>contains</b> 93:2 124:7 <b>contemplate</b> 4:7 <b>contended</b> 94:14 <b>content</b> 55:14 <b>contention</b> 20:10 97:14 <b>contents</b> 12:11 <b>context</b> 21:22 114:9 <b>continue</b> 82:22 90:14 <b>continues</b> 82:18 <b>continuing</b> 12:14 13:12 26:16 <b>contract</b> 37:18 95:12 <b>contracted</b> 92:11 <b>contractors</b> 27:16 <b>contribute</b> 134:7 <b>contributed</b> 132:10 <b>contribution</b> 37:24 <b>contributors</b> 134:23 <b>control</b> 1:1 2:4 9:24 16:14 17:1,8 18:9 20:13 31:1,1 36:7 36:8,21,23 37:8 38:14 54:24 55:3 55:12,19 56:1,2 57:14,18 58:8 59:23 61:12,22 62:5,11 63:17,18 64:1 65:3 74:8,21 75:20 79:5 81:8 94:6 97:7,10 104:24 105:3 106:3,3 111:17 112:5,23 113:20 121:4,11 135:10 136:5,9,15 137:1 137:18 138:9 <b>controlled</b> 81:21,22 94:9 <b>controlling</b> 81:17 <b>controls</b> 36:14 37:16 56:3 60:2 92:13 95:5 97:13 109:2,5 120:5 133:12 135:3 136:15,23 137:11,23 139:2 <b>controversy</b> 142:10 <b>copied</b> 140:4 <b>copies</b> 7:16,17 28:7 41:12 42:22 45:6 85:21 86:3 <b>copy</b> 7:18,22 48:10 85:20,22 87:1 98:8 100:1,17 108:1 120:14 <b>corporate</b> 100:7</p>	<p><b>corporation</b> 10:8,15 46:1 92:11 94:4 <b>correct</b> 3:24 4:21 5:7,21,22 8:15 22:24 34:24 41:14 41:15 44:4 60:13 67:24 91:18 98:20 99:20 100:14 107:10 108:15,16 108:19,20,23,24 113:16 114:24 117:8 118:21 121:15 122:5,6,12 124:14,15 128:8 128:21 139:22 <b>corrections</b> 91:24 <b>correspondence</b> 114:1 115:13 <b>corresponding</b> 84:14 <b>cost</b> 25:5,9 56:9 58:13,20 62:1 63:18 64:4,13,22 65:3,6 72:4,8,8,12 72:18,20,21 73:6 73:11,12,14,16,17 73:18 74:6,8,15,21 76:15,16 77:10,10 79:11,23 80:11 81:8,18 122:12,18 122:18,20,23 125:7,9,11,12,18 126:4 133:13 137:6 <b>costly</b> 78:3 <b>costs</b> 62:15 72:18 73:19,22 79:6 104:12 138:7,7,8 <b>Council</b> 131:20 <b>counsel</b> 4:22 9:20,22 <b>counter</b> 6:11 39:23 40:3 <b>County</b> 104:8 135:18,19 142:2,5 142:8 <b>couple</b> 12:17 16:2 24:21 33:23 54:7,7 56:8 87:21 91:18 97:23 103:2 107:1 130:3 <b>course</b> 2:15 3:3 5:6 6:20 7:10 17:9 44:6 45:18 46:8,13 49:18 50:7 58:21 72:18 84:14 87:7 90:12 91:17 106:11 121:24 140:3 141:3 <b>court</b> 6:11,24 85:7 106:11 130:3</p>
---	---	--	---	---

cover 58:20	107:6,19 108:2	develop 3:12 49:22	90:15	70:3,7,24 71:5,10
co-firing 96:24	119:3 120:21	82:23 92:17	disease 135:12,16	71:14,23 72:14
118:22 119:7	decide 137:16	125:11,12 130:22	diseases 135:13	73:15 74:5,9,14,24
127:8,9	decision 35:5 105:1	137:7	disposed 71:22	75:8,12 76:24
crafted 73:3	105:18 106:6	developed 58:2	disputed 94:22	77:15,16,21 83:13
critical 113:24	113:20 137:14	59:19,21 112:21	distinction 112:18	83:17,17 84:2 85:5
cross 106:2	138:8	developing 22:20	distinguish 43:13	87:18 88:1 89:6
crucial 97:17	decisions 134:13	development 19:2	distributed 45:7	91:8 92:15 94:12
current 20:22 23:22	138:20	diabetes 138:18	disturbs 104:9	94:14,22 96:14
27:22 33:21 35:8,8	decommissioned	dialogue 26:16 80:9	Division 9:24	97:16 108:14,19
35:17 39:9 59:22	52:9	dictate 77:7 88:18	Diyosa 138:4	109:12 114:1
64:8,9 88:19 95:20	decree 37:13	89:12	docket 2:9 7:15 8:23	115:13,24 116:6
125:18	decrees 36:19 37:19	dictated 89:3	140:22	116:16 117:10,24
currently 35:4	37:20	died 135:13	doctor 103:22	118:4,11,16
87:18 121:2	deferred 83:22	differ 77:11	document 7:18	draft 20:21 41:9,13
136:12 138:22	define 59:15 76:11	difference 35:9	31:24 54:10,11,13	drafted 20:21
custom 96:23	defined 56:7	53:16	56:19 57:13 58:8	draw 48:18 112:19
cyanide 124:4,8,9	definition 76:17	differences 32:7	59:7,9,24 60:12	drawings 115:19,19
	definitions 126:4	different 20:13	61:2,3 64:6,20	115:24
	Deirdre 15:11 40:17	38:13 58:17 59:17	65:21 73:10 74:15	drawn 96:8
	79:8	60:1 62:5,10 66:3	76:18 80:23	driven 123:23
	delay 133:15,15,15	66:3 70:15 73:1,2	121:23	drop 137:3,9
	137:19	77:5,22 82:21,21	documentation 21:6	due 33:20 53:9
	deliver 102:8 131:4	89:2 96:6 101:20	documented 76:7	104:13 117:2
	demonstrate 59:9	120:9 133:21	documents 8:20	DULY 11:10 85:13
	59:11	difficult 81:20	98:23 100:4,11,11	during 55:15 89:7
	demonstrated 30:21	dig 92:16	100:19	89:14 103:16
	77:9	diligent 94:18 97:9	doing 37:24 57:9	Dynegy 8:11
	demonstration	diligently 95:16	59:23 60:8 80:15	
	19:12 21:4 27:21	dimensions 115:8,14	102:17 125:15	
	32:18,23 40:7,9,12	115:17	dollars 76:8 136:21	
	65:9	direct 107:1 113:8	dominated 28:16	
	department 107:13	119:22	done 56:11,16,16	
	132:13	directed 9:6 61:5	74:19 76:14 133:6	
	depend 70:17 74:16	101:9 127:24	133:20 137:5	
	dependent 68:22	140:16	double 64:1	
	depends 70:7,10	directing 106:24	down 16:19 50:11	
	72:14,15	direction 15:16	50:12 53:3,10	
	describe 96:4	directly 17:24 94:20	65:18 72:20 89:6	
	described 18:14,15	103:21 120:22	89:12,14 92:20	
	22:17 24:10 45:19	director 4:22 10:1	93:10,11,17 96:11	
	45:22 78:19	15:11	116:19 130:2,12	
	description 57:14	Directors 10:2	142:12	
	design 34:22 96:23	disagree 87:24	downloaded 140:4	
	97:3 125:15	disclosure 100:12	downward 52:5,13	
	designate 33:18	discovered 133:2	downwind 17:12,24	
	designation 16:8	discuss 40:13 60:1	29:13	
	135:1	77:22 115:4	Dr 3:1,20 10:2 11:9	
	designed 16:12,14	116:20,21 118:1	25:4,16,22,24	
	desire 89:3	121:22 139:6	26:13 45:14 46:8	
	detail 59:10	discussed 35:5 48:1	46:18,21,22,24	
	detailed 38:8 68:18	56:7,9 77:23 87:3	47:7,12 53:23 54:2	
	details 93:21	105:4 112:14	54:5,7 55:5,20	
	determination 18:19	139:16	56:13,16,24 57:5	
	91:9 94:9	discusses 37:19	57:16,17,21,21,23	
	determine 29:4 34:3	122:10	59:14 60:15 61:1	
	34:13 51:1 64:18	discussing 113:4	61:17 64:3 65:12	
	68:13 121:4	discussion 64:11	65:17,20,24 66:12	
	determining 64:17	discussions 13:15,16	66:19 67:7,22 68:2	
	120:23	22:8 59:19,19 64:6	68:7,24 69:5,10,16	

**E**

E 3:1 11:9 94:12  
each 11:24 36:9 38:7  
49:8,10 51:7 57:1  
77:8 95:3 136:5  
137:10  
earlier 8:13 45:19  
75:4 84:16 121:6  
easiest 81:18  
easily 56:4 63:17  
79:19  
East 17:21 19:5  
103:4 104:8 132:3  
134:19,23 135:21  
East/West 131:20  
easy 104:15  
economic 75:9,15  
economically 55:12  
68:4  
economy 104:20  
105:6 136:13,17  
Edwardsville 142:9  
effect 84:17  
effective 55:1 79:11  
79:23 80:11 81:8  
81:19  
effectively 7:11  
effectiveness 58:14  
58:20 62:1 64:5,13  
64:22 65:4,6 72:20  
73:6 126:5

<p><b>efficiency</b> 71:13 72:1 134:18 <b>efficient</b> 130:15 <b>efficiently</b> 136:11 <b>effort</b> 6:21 7:2 141:8 <b>efforts</b> 12:20 15:15 92:16,20 <b>EGU</b> 60:11 61:10 <b>EGUs</b> 23:18 59:7 <b>eight-hour</b> 20:13 28:1,13 <b>either</b> 3:11 5:4 12:19 14:18 48:24 50:12 97:6 <b>elaborate</b> 32:5 39:24 126:19 <b>electronically</b> 28:9 85:19 109:23 138:11 140:14 <b>element</b> 18:9 102:14 <b>elsewhere</b> 33:16 101:9,17 138:3 <b>emission</b> 22:22 23:19 29:18 30:23 36:7,14,19 37:9,9 37:20 38:12 47:23 51:2,6,7,9,23,24 52:24 53:1,6,11,12 53:15,21 56:8 59:2 59:18 60:10,13,15 60:19,22 62:3 63:15,19 64:9,17 64:19 65:5 66:7 75:7 76:4,7,10 77:8,16 78:6,21 79:3,4,12,15,16,20 79:21,23 80:24 81:1,9 97:5 110:17 121:1,7 125:5 137:11 <b>emissions</b> 1:7 2:7 16:15 17:9 29:4 31:20,21 32:6,8,15 32:20 38:9 47:15 50:17,22 53:9 55:12 56:15 58:2 58:12 59:3,8 61:9 61:11 78:10,11,20 78:21 95:13 96:17 96:21 114:10 117:7 119:13,19 120:5,7,9,18,19 123:10 124:6,12 124:22 134:7 136:5,9 <b>emits</b> 70:5 <b>emphasis</b> 71:1 <b>emphasize</b> 27:13 92:2 <b>emphasized</b> 91:21</p>	<p><b>emphysema</b> 135:12 <b>empty</b> 130:13 <b>end</b> 53:3 57:20 63:22 65:10,11,13 65:13,13 89:24 137:10 140:9 <b>ended</b> 40:22 <b>ending</b> 139:20 <b>energy</b> 28:3 71:13 72:1 134:18 136:10 <b>engaged</b> 47:4 <b>engineer</b> 92:11 94:4 128:14 133:23 <b>engineering</b> 48:5 73:22 95:6 100:18 107:13,22 113:5 113:12,15 <b>engineers</b> 10:3 <b>England</b> 138:12 <b>enough</b> 22:10 50:15 109:24 <b>ensure</b> 23:14 105:6 <b>enter</b> 11:12 42:11 <b>entered</b> 11:18 41:9 45:13 91:23 <b>entertain</b> 100:6 <b>entire</b> 88:17 107:21 <b>entirety</b> 87:11 91:23 <b>entitled</b> 2:6 43:20 <b>environment</b> 105:8 105:19,21 <b>environmental</b> 2:11 4:3,16 9:4,20 40:18 102:23 131:22 134:16 <b>envision</b> 80:9,24 81:5 82:12 117:12 <b>envisioned</b> 77:5 78:4 <b>EPA</b> 3:17 12:23 18:18 20:20 22:19 23:7 28:3,10 30:6 30:13 33:17 40:4,5 40:10,10 47:5 59:12,23 97:5 98:3 130:22 131:22 133:6,8 134:13 136:1 137:14,15 <b>EPA's</b> 28:5,11 38:11 40:8 58:7 75:2 <b>equal</b> 65:10 <b>equipment</b> 89:11 97:14 107:14 110:17 122:24 127:12 128:21 136:19,24 137:1,3 <b>errors</b> 47:22 94:16 <b>escape</b> 105:9 <b>essence</b> 50:14 <b>essentially</b> 33:14</p>	<p>50:20 124:22 <b>establish</b> 79:14,18 79:22 <b>established</b> 18:24 23:11 81:9 <b>establishing</b> 19:4 <b>estimate</b> 33:10 37:10 38:12 49:9 53:3 73:3,7 74:17 125:7,9,11,13,18 <b>estimated</b> 50:5 58:13 74:6 96:16 124:3,9 <b>estimates</b> 32:9 47:23 50:17,22 51:23 64:5 65:1 72:21,23 123:15 <b>estimating</b> 74:15 <b>etc</b> 37:7 58:6 <b>evaluate</b> 36:4 <b>evaluated</b> 34:2 36:8 55:24 <b>evaluating</b> 80:18 123:1 <b>evaluation</b> 56:12 98:6,8 126:19 <b>even</b> 19:3 24:3 62:15 63:23 76:3 103:7 122:16,18 125:16 137:8,24 <b>event</b> 112:3 <b>ever</b> 103:19 114:14 116:6 <b>every</b> 6:21,21 13:7 55:23 57:2 66:4 75:24 79:15 81:11 103:6,8 119:5 137:20 <b>everyone</b> 2:3 85:19 109:23 140:8 <b>everyone's</b> 67:22 <b>everything</b> 109:11 133:15 <b>evidence</b> 21:13,15 27:20 29:6 32:19 39:22 40:12 <b>exact</b> 70:8,10 <b>exactly</b> 19:12 21:18 43:5 66:4 100:22 109:16 <b>examination</b> 142:12 <b>examine</b> 73:6 74:17 124:17 <b>examined</b> 142:12 <b>examining</b> 57:8 <b>example</b> 28:17 36:15 62:6,11 63:14 65:14 73:12 79:8,9 81:16 88:11 88:23</p>	<p><b>exceeding</b> 123:9 <b>exceeds</b> 122:18 <b>Excellent</b> 11:8 <b>except</b> 100:11 <b>exchanges</b> 97:17 <b>excuse</b> 23:3 24:1 51:21 62:24 <b>executing</b> 95:4 <b>executive</b> 4:22 10:1 15:11 <b>exercise</b> 68:12 106:1 <b>exhibit</b> 7:11,24 8:5,6 41:10,18,22 43:4,8 43:18,23 44:10,18 45:20 48:19,19 49:3,5 50:6,18 51:18,21,22 58:24 66:20 86:10 86:18,23 120:20 <b>exhibits</b> 8:7,20 42:11 43:1 45:14 45:19 66:20 83:20 84:1,12,13 98:5 108:8 <b>exist</b> 79:3 <b>existed</b> 78:22 100:2 <b>existing</b> 95:9 96:20 111:5 112:10,16 122:3 123:12,18 124:24 <b>expect</b> 6:15 19:7,20 38:13 84:6 <b>Expectancy</b> 138:14 <b>expectation</b> 13:7 <b>expects</b> 139:21,24 <b>expeditiously</b> 92:3 <b>expense</b> 125:2 <b>expensive</b> 54:22 62:13 <b>experience</b> 68:14 95:23 97:12,14 109:5 119:4 126:19 127:4,12 <b>experienced</b> 103:19 <b>expert</b> 97:2 <b>Expires</b> 142:21 <b>explain</b> 12:11 <b>explaining</b> 114:9 <b>exposure</b> 135:14 <b>express</b> 14:16 <b>extensive</b> 127:12 <b>extent</b> 22:6 93:13 <b>extreme</b> 32:2 <b>e-mail</b> 97:17 141:1</p>	<p>88:6,8,15 89:1 117:12 132:7 134:7,9,10,14 136:4 <b>facility</b> 56:14,15 57:2 66:4 71:9,20 74:11 88:12 89:14 134:6,24 <b>facility's</b> 56:21,22 <b>fact</b> 12:14 13:2 63:23 68:7 81:13 104:8 110:12 <b>factor</b> 37:13 <b>factors</b> 33:5 37:6 68:22 77:18 <b>facts</b> 64:18 <b>failed</b> 104:8 <b>failing</b> 135:19 <b>fair</b> 46:6 74:15 123:4 <b>fairly</b> 44:24 64:24 <b>fall</b> 50:14 57:19,19 75:20 76:2 <b>falling</b> 59:4,13 <b>families</b> 135:9 <b>far</b> 15:2,4 64:17 75:12 87:23 98:18 125:14 142:10 <b>fashion</b> 23:19 <b>father</b> 103:3,4 104:21 135:5,9,12 <b>favor</b> 14:19 <b>February</b> 1:13 4:4 14:21 140:1 142:7 142:18 <b>federal</b> 21:22,23 22:22 36:18,21 38:13 134:20 137:20 <b>feed</b> 105:24 <b>feedback</b> 123:13 <b>feel</b> 11:21 60:3 78:1 78:11 106:17 <b>feeling</b> 77:23 <b>felt</b> 47:15 <b>few</b> 22:15 31:11 36:1 39:1 48:14 66:14,21 72:3 95:10 99:17,17 103:15 131:4 137:24 <b>FGR</b> 95:9,9 96:16 96:19 121:24 122:3,16 123:5,6 123:11,17,18,21 124:13,19,19,21 124:24 125:4,5,7,9 126:1,2,6 <b>fighting</b> 136:3 <b>file</b> 7:22 9:4 14:11</p>
<b>F</b>				
<p><b>F</b> 11:16 100:20 <b>face</b> 47:9 105:12 112:9 <b>facilities</b> 56:23 57:4</p>				

14:14 26:19 85:17 87:20 140:13 <b>filed</b> 2:12 6:3 10:11 12:12 16:20 54:14 87:6 94:12 98:11 98:13,23 109:16 109:22 118:1 129:4 130:9,19 140:14 <b>filing</b> 26:10 70:11 89:23 91:12,15 139:17 <b>filings</b> 132:19 140:19 <b>final</b> 21:12 34:7 44:12 72:9 121:11 139:8 <b>finalize</b> 13:5 19:8 <b>finalized</b> 20:1 21:5 <b>finally</b> 5:24 7:1 53:7 140:11 <b>financial</b> 95:14 <b>find</b> 23:2 49:24 50:2 65:1 69:22 112:24 <b>findings</b> 28:11 <b>fine</b> 11:7 27:17 42:15 43:15 70:2 78:10 83:5 87:13 101:22 102:17 118:6 130:4 134:20 135:15 <b>finish</b> 89:19 <b>finishing</b> 88:10 <b>fire</b> 71:2,3,4,5 75:21 76:9 <b>fired</b> 48:24 62:8 64:11 65:15 69:12 69:20 70:22 71:1,2 71:2 80:20 82:5 117:12 132:5 <b>firing</b> 53:1,1,2 68:14 69:17 127:2,5,11 <b>firm</b> 46:2 <b>first</b> 2:16 11:10 12:22 23:4 48:18 54:9 57:23 59:15 62:7 66:17 81:18 85:12 87:24 93:3 99:4,6 100:22 102:13 103:5,16 117:21 129:8 <b>firsthand</b> 135:9 <b>fit</b> 83:1 <b>fitting</b> 112:15 <b>five</b> 31:16 34:17 42:12,19 48:20 54:10 55:11 67:11 67:13 115:3 <b>five's</b> 28:10 <b>flexibility</b> 81:16	102:4 <b>flexible</b> 81:14 82:1 <b>flippant</b> 21:10 <b>flue</b> 62:20 <b>focus</b> 70:22 133:21 <b>focused</b> 70:22 101:7 <b>folks</b> 43:5 87:8 100:7 <b>follow</b> 4:8 15:24 39:1 40:19 55:10 60:9 83:17 90:22 107:24 <b>following</b> 2:1 38:18 42:17 63:3,8 67:18 83:7 102:1 109:12 118:8 125:22 139:13 <b>FOLLOWS</b> 11:11 85:13 <b>followup</b> 107:2 <b>foods</b> 105:24 <b>forget</b> 45:10 <b>forgetting</b> 106:23 <b>forgive</b> 11:12 129:18 <b>forgot</b> 41:10 <b>form</b> 21:8 <b>formally</b> 7:24 8:17 38:4 <b>former</b> 133:18 <b>formulating</b> 120:19 <b>forth</b> 72:10 <b>Forty</b> 111:8 <b>forum</b> 102:15 <b>forward</b> 88:12 92:3 105:5 110:1 <b>found</b> 31:24 47:17 47:21,22 64:19,20 132:22 <b>foundation</b> 32:23 135:18 <b>four</b> 39:19 42:11,11 58:6 94:24 96:6,9 96:13,14,16 113:24 120:3 <b>fourth</b> 96:20 <b>four-year-old</b> 103:1 <b>frankly</b> 86:6 <b>free</b> 11:21 14:19 95:8 106:17 140:4 <b>Friday</b> 6:4 9:3 10:17 14:21 48:2 51:19 52:22 98:10 121:15 <b>from</b> 1:8 2:7,21 3:4 3:17 4:2,4,16,17 4:19 5:2,2,17 6:1,2 8:9,10,11 11:3 13:17 24:15,17 26:2 28:19 30:6	34:22 43:21 48:2,5 49:4 51:23 55:12 57:7 59:17 68:5 75:22 76:11 77:3,3 77:11 79:7 80:3 81:13 84:19 88:5 88:24 91:18 100:2 100:11,18,23 103:3 104:13 106:22 107:8,9 109:11 113:19 115:14,19 121:6 122:8 123:8 124:6 124:10 125:9 126:12 128:4 130:1 135:13,20 141:6 <b>front</b> 43:7 46:14 61:2 130:12 <b>fuel</b> 38:14 48:22,23 55:13,18 56:5 69:4 69:5,7,18 70:5,8 71:8,12,16,20,21 81:2 82:7,9 114:2 114:23 123:13 124:1,14 126:20 127:10 <b>fuels</b> 56:4 68:15,15 70:15 80:19 81:1,2 81:7,10 82:6 114:12 120:10 127:3 <b>full</b> 55:11 58:20 124:5 126:15 136:17 <b>fully</b> 19:20 26:15 48:14 66:21 <b>function</b> 38:7 104:17 <b>funds</b> 133:19 <b>Funk</b> 102:6,9,11,16 102:19,20 106:9 106:14 138:6 <b>Funk's</b> 129:15 <b>furnace</b> 49:8,11 50:11,12 51:13 88:15 93:11 97:1 113:7 114:3 118:22 119:8 120:3 126:24 127:3 <b>furnaces</b> 43:11,23 49:1,22,23 51:4,13 51:14 52:16 79:2 88:9,10,14,22 100:19 101:8,16 107:15 113:5,13 113:22 119:14,19 121:3 130:23 <b>further</b> 10:22 15:3	24:17 27:4 31:6 35:23 38:23 39:13 41:6 42:1 58:3 66:9,11 92:17 116:22 126:8 130:24 131:7 <b>future</b> 12:15 19:24 20:7,17 31:3 32:9 32:11,14 33:6,11 37:4,9,11 104:6 105:17 <hr/> <b>G</b> <hr/> <b>gas</b> 43:10 44:3 48:7 48:7,22,24 49:7,10 49:14,15,19,21,23 49:24 50:5,10,12 50:16 51:3,7,19 52:9,13,19,21 53:1 53:17 62:8,20 64:11 65:15 69:4,6 69:7,12,18,20 70:5 70:6,8,15,17,18,22 70:23 71:1,2,2,3,4 71:5,8,12,15,20,21 75:22 80:8,8,20 81:2 82:5,7,9 88:2 88:20,21 89:7 97:1 97:1 114:3,4,4,5,5 117:12 118:22,23 118:23 119:8,8,8 124:1,2,7,10,11 126:24 127:1,1,3,3 <b>gasses</b> 49:19 53:2 81:7 127:5,8 <b>Gateway</b> 131:20 <b>gave</b> 66:19 <b>general</b> 29:14 47:18 52:12 67:7 82:16 87:21 93:20 115:19 <b>generalized</b> 55:22 <b>generally</b> 52:5 62:10 62:12,15 78:8 95:12 122:13 126:6 <b>generate</b> 49:2 55:15 <b>Generation</b> 13:13 14:13 15:2,4 <b>Generations</b> 7:13 <b>gentlemen</b> 85:7 <b>gets</b> 106:1 <b>getting</b> 47:9 78:5 133:13 <b>Gina</b> 9:19 130:10,19 <b>give</b> 43:3 48:11 64:21,22 137:23 <b>given</b> 10:17 20:15 22:11 23:15 24:3 33:22 40:9 72:12	88:2 95:4 107:13 134:16 <b>giving</b> 47:2 103:23 <b>glare</b> 14:6,8 <b>glass</b> 95:8 130:23 <b>go</b> 23:2 27:9,12 29:1 51:17,20,21 56:4,5 57:11 58:22 66:16 70:14 72:20 85:10 85:14 86:17 87:1 92:7 94:1 96:5 101:16,23 103:7 103:18 106:17 110:1 116:23 125:2 126:17 130:5 132:24 138:11 139:5,11 <b>goes</b> 15:4 16:10 <b>going</b> 15:21 16:9 26:18 53:10 55:23 62:12 66:4 81:12 88:12 91:5 109:21 117:3 123:22 132:9,24 137:14 139:15 140:6 <b>gone</b> 96:3 <b>good</b> 2:3 4:24 5:10 5:23 9:18 10:20 11:1 14:1 15:8,16 35:22 42:24 46:22 67:5 83:11 91:20 93:15 94:3 123:5 128:3 <b>governed</b> 3:6 <b>government</b> 105:2 137:21 <b>Government's</b> 131:21 <b>grade</b> 76:5 <b>grades</b> 135:19 <b>grandparents</b> 103:9 138:6 <b>Granite</b> 48:8 94:10 97:11 111:5 134:6 134:22 135:5 136:12 <b>great</b> 41:16 67:15 96:12 <b>greater</b> 122:2 134:19 <b>grew</b> 103:4 135:5 <b>grounds</b> 47:18 <b>group</b> 4:17 12:20 39:23 40:18 102:17,23 129:3 131:18,23 <b>grouping</b> 62:7 <b>groups</b> 39:21 40:21 <b>growing</b> 103:7 <b>growth</b> 37:6
---	---	--	---	--

<p><b>guarantee</b> 68:9 89:9 89:13</p> <p><b>guaranteed</b> 107:12</p> <p><b>guarantees</b> 68:5,19 68:21 95:13 110:17</p> <p><b>guess</b> 13:17 20:23 21:6,24,24 22:11 24:5 59:14,14 61:4 61:16,20 70:7 85:24 89:18 116:12</p> <p><b>guidance</b> 39:24 40:4</p> <p><b>guidelines</b> 40:10</p> <p><b>guy</b> 76:13</p> <hr/> <p style="text-align: center;"><b>H</b></p> <p><b>Hamlin</b> 1:19 142:4</p> <p><b>hand</b> 28:8 35:24 142:17</p> <p><b>hands</b> 44:24 140:2</p> <p><b>happen</b> 28:6 88:11 101:2</p> <p><b>happened</b> 47:24 58:19</p> <p><b>happens</b> 28:8</p> <p><b>happy</b> 90:19 97:20 101:4</p> <p><b>hard</b> 47:10 69:24</p> <p><b>hardwired</b> 19:15</p> <p><b>hate</b> 130:14</p> <p><b>having</b> 12:7 47:10 48:13 58:15 104:24 112:22 129:14 137:11</p> <p><b>Hawaii</b> 103:13</p> <p><b>hazardous</b> 132:6</p> <p><b>head</b> 92:20 111:7 120:12</p> <p><b>health</b> 103:4 104:12 104:18,20 105:7,7 105:14,20 133:19 133:23 138:4,7</p> <p><b>healthier</b> 105:21</p> <p><b>healthy</b> 105:24</p> <p><b>hear</b> 24:23 81:13 87:8 93:6 130:4</p> <p><b>heard</b> 80:3 84:1 110:6</p> <p><b>hearing</b> 1:12 2:4,5 2:13,16,16 3:9,17 3:22 4:6,6,20 6:16 7:1,10,11,14 8:22 8:24 10:12,14 12:7 17:16 21:15 25:3 26:7,10,14 41:21 47:5,10,14,17 49:6 54:15 67:2 70:2 77:4 83:20 84:1,6 84:9,11 86:10,13</p>	<p>87:20 90:18 98:5 98:20 99:2 100:2 100:16 102:13,13 107:19 109:24 114:19 116:17,20 117:21 118:1,17 119:3 120:21 128:5 129:13,23 132:2,15,17,19 139:24 140:6,8,20 142:7,14</p> <p><b>hearings</b> 3:6 4:7 64:10 91:7 107:6 140:12 141:3</p> <p><b>heart</b> 135:12</p> <p><b>heat</b> 49:5,21 118:2</p> <p><b>heaters</b> 71:9,20 79:1 80:18,21 81:3</p> <p><b>heating</b> 127:11</p> <p><b>held</b> 142:7</p> <p><b>help</b> 7:5,19 43:13 92:18 121:18,23 135:11 136:2,8,9 136:10,11</p> <p><b>helped</b> 64:18</p> <p><b>helpful</b> 7:3</p> <p><b>her</b> 2:24 3:24 7:5 46:3 105:24 106:1 106:2 138:5</p> <p><b>hereunto</b> 142:16</p> <p><b>herewith</b> 142:15</p> <p><b>high</b> 28:18 65:10,13 65:13 72:17 75:16 79:18 135:15 137:6</p> <p><b>higher</b> 31:22 32:3 32:11 70:9,16 72:24 76:9 77:16</p> <p><b>highlighted</b> 22:4</p> <p><b>highly</b> 38:8</p> <p><b>him</b> 3:2 87:6 90:3 116:1 126:16</p> <p><b>himself</b> 46:11</p> <p><b>hired</b> 133:17</p> <p><b>Hirner</b> 15:9,10,11 15:20,21 20:5 21:20 31:8 40:16 40:17,17 41:5 54:5 54:6,12,16,19 55:10 56:11,15,22 57:3,10,11,12 58:24 60:9,23 61:3 61:9 65:8,14,19,22 66:8,10 79:8</p> <p><b>historical</b> 48:7</p> <p><b>historically</b> 51:16 52:12 88:7 120:1</p> <p><b>Hodge</b> 4:18,21 5:1 5:21,22 6:6 24:19 24:20 25:1,11,15</p>	<p>26:4,20 27:1,3 35:24 36:1,3,12,24 37:12,16,22 38:15 38:20,22 45:24,24 46:10,15 66:13,14 66:15,17 67:6,15 67:20,24 68:20 69:1,8,14,24 70:4 70:19 71:4,6,11,18 72:2 73:8 74:2,7 74:11,20 75:3 76:21 77:13 78:13 80:14 82:2,18 83:2 83:5,9,11,24 84:4 84:21,24 85:4,14 85:16,23,24 86:4,5 86:7,8,24 87:2,14 90:6 91:2,4,21 92:6 100:6,14 101:4 107:23 109:21 110:6 117:20 126:14,15 126:18 127:15</p> <p><b>Hojin</b> 10:4</p> <p><b>hold</b> 24:2 139:19</p> <p><b>holding</b> 2:15 105:16 132:1,14</p> <p><b>Holland</b> 28:1,12,16 28:19 30:22</p> <p><b>home</b> 141:9</p> <p><b>honestly</b> 102:14</p> <p><b>Hoopta</b> 10:4</p> <p><b>hope</b> 12:7 21:24 22:6 104:5 105:16 105:17 132:15 133:5 137:2</p> <p><b>hoping</b> 116:23</p> <p><b>hot</b> 103:17</p> <p><b>hotter</b> 31:21</p> <p><b>hours</b> 67:10 103:2 109:18</p> <p><b>housekeeping</b> 6:14 7:8</p> <p><b>humoring</b> 102:12</p> <p><b>hundreds</b> 76:8 79:16</p> <p><b>husband</b> 103:14</p> <p><b>hydrocarbons</b> 127:6 127:9</p> <p><b>hydrogen</b> 124:4,8,9 127:6</p> <hr/> <p style="text-align: center;"><b>I</b></p> <p><b>ICI</b> 58:7</p> <p><b>idea</b> 81:19</p> <p><b>identified</b> 80:16 81:8 94:17 134:24</p> <p><b>identify</b> 78:19 80:2 102:17</p> <p><b>idle</b> 88:14,15 136:13</p>	<p>136:16</p> <p><b>idled</b> 88:15</p> <p><b>IEPA</b> 59:2,20 134:11 135:3</p> <p><b>IERG</b> 4:17,18 15:12 18:13 59:2,13 63:20</p> <p><b>IERG's</b> 4:21 59:3,3</p> <p><b>ignition</b> 65:15</p> <p><b>ILL</b> 1:9</p> <p><b>Illinois</b> 1:1,20,22 2:4 2:8,11 3:17 4:16 9:4 12:23 18:18 20:20 22:19 23:7 23:13,15 27:18 28:20 33:17 40:17 47:5 57:2,4 59:12 79:3,16 80:7,17 94:5 97:5 98:3 104:19 105:22 130:22 131:22 133:6,8,18 134:13 136:1 137:15,16 138:6,9 142:9,20</p> <p><b>Illinois's</b> 30:20</p> <p><b>illness</b> 104:13</p> <p><b>illustrate</b> 92:21</p> <p><b>immediate</b> 2:22</p> <p><b>impact</b> 71:12 103:3 104:14 124:11</p> <p><b>impacted</b> 15:15 18:1</p> <p><b>impacts</b> 15:17 105:14</p> <p><b>implement</b> 36:10 95:5</p> <p><b>implementation</b> 19:10 27:17 35:16 133:16</p> <p><b>implemented</b> 19:24 128:18</p> <p><b>importance</b> 135:8</p> <p><b>important</b> 33:2,12 73:5</p> <p><b>impossible</b> 88:3</p> <p><b>impress</b> 48:10</p> <p><b>improve</b> 29:12 36:10</p> <p><b>improved</b> 7:22 18:5 29:4</p> <p><b>improvement</b> 29:19</p> <p><b>improvements</b> 17:11</p> <p><b>improves</b> 33:3</p> <p><b>inadequate</b> 47:21</p> <p><b>inappropriate</b> 79:17</p> <p><b>inception</b> 131:23</p> <p><b>inches</b> 130:3</p> <p><b>incinerator</b> 132:6</p> <p><b>include</b> 6:21 13:4 23:8 39:20 40:11</p>	<p>64:13 73:23,23 99:12</p> <p><b>included</b> 12:19 13:2 13:9 23:21 30:20 30:24 31:2,23 32:15 36:22,23 37:20 48:3 65:23 69:3,7 70:11 73:10 95:8 114:3 123:14</p> <p><b>includes</b> 29:7 88:10 127:4</p> <p><b>including</b> 4:9 68:15 127:3 139:6 140:11</p> <p><b>inconsistencies</b> 94:16</p> <p><b>incorporate</b> 22:20</p> <p><b>incorporated</b> 36:19 42:20 45:14</p> <p><b>increase</b> 72:18 78:1</p> <p><b>increased</b> 47:16 53:9 134:17 136:22</p> <p><b>increasingly</b> 52:15</p> <p><b>Indiana</b> 27:18</p> <p><b>indicate</b> 30:6</p> <p><b>indicated</b> 7:14,21 10:9 11:2 25:4 29:7 32:17 68:3 84:21 85:17 86:12 86:17 95:1 129:17 135:2 140:5</p> <p><b>indicates</b> 107:4</p> <p><b>indicating</b> 31:9</p> <p><b>indication</b> 21:11 83:16</p> <p><b>indirect</b> 72:17</p> <p><b>individual</b> 80:4</p> <p><b>indoors</b> 135:24</p> <p><b>industrial</b> 36:15 54:11 59:10 60:11 61:10 69:3,14,16 69:17 70:21 80:17 80:21,23 82:5 95:5</p> <p><b>industries</b> 12:15 13:8 80:4,12 133:11 134:1 139:1</p> <p><b>industry</b> 104:12,22 105:19 118:24</p> <p><b>information</b> 3:7 10:14 25:5,9,12,19 26:1,11,11,13,17 32:22 35:18,19 38:6 40:13 43:23 44:10,18 47:21 48:2,6,11,15,16 49:4,13,17 51:18 57:7 58:23 59:24 61:18 63:16 64:9</p>
---	--	---	---	--

64:13,16,17 66:3 68:10,18 69:21 72:4 74:9 79:13 82:10 92:17 94:8 95:20 97:15 99:11 101:3 113:19 114:6,15,18,23 115:7,9,10,11,17 115:18 116:6,9 123:8 125:18 140:9 <b>infrastructure</b> 136:22 <b>inhalers</b> 135:23 <b>inherent</b> 50:6 <b>inhouse</b> 73:21 <b>initial</b> 67:1 72:9 <b>initially</b> 91:13 <b>injection</b> 63:11 <b>input</b> 49:6 50:10 78:7 <b>inspect</b> 116:16 <b>inspected</b> 115:20 <b>inspection</b> 117:1 <b>install</b> 122:24 136:14 137:3 <b>installation</b> 73:13 73:19 123:11 125:17 127:13 <b>installations</b> 95:10 95:11,24 123:12 128:12 <b>installed</b> 76:6 113:2 122:23 123:3 126:23 <b>installing</b> 125:3 128:17 136:19,23 <b>installs</b> 110:18 <b>instance</b> 133:17 <b>instrumentation</b> 122:14,17,18 <b>intend</b> 80:11 <b>intended</b> 3:12,23 16:11,24 17:10 18:5 23:10 55:22 91:13 <b>intends</b> 23:14 <b>intent</b> 5:18 <b>intention</b> 4:10 114:11 <b>interest</b> 92:2 95:14 131:7 <b>interests</b> 104:11 <b>internet</b> 97:16 <b>interrogated</b> 142:11 <b>interrupt</b> 44:13 54:17 102:3 <b>introduce</b> 2:20 102:16 <b>introduced</b> 11:22,24	<b>introduction</b> 11:20 42:8 46:18 48:21 90:8 91:3 <b>introductions</b> 85:15 <b>introductory</b> 93:20 <b>inventories</b> 36:20 37:5 <b>inventory</b> 36:23 37:3,10,21 38:9 <b>involve</b> 69:3 95:6 <b>involved</b> 78:5 119:3 127:7,7 134:4 <b>involvement</b> 78:5 <b>involving</b> 76:23 126:24 130:22 <b>issue</b> 7:16 13:8 22:4 89:24 110:10 140:7 <b>issues</b> 9:14 13:19,22 16:6 90:15 91:24 102:23 108:22 116:13 134:4 139:8,16 141:5 <hr/> <b>J</b> <b>J</b> 11:9 <b>James</b> 3:20 10:2 11:9 47:1 94:12 <b>January</b> 3:18 9:3 10:10 25:9 26:21 26:24 28:6 41:13 48:4,6 94:13 98:24 100:20 108:15 109:1 130:10,20 <b>Jefferson</b> 142:2,5 <b>jeopardize</b> 105:19 <b>job</b> 79:14,22 104:21 <b>jobs</b> 104:18 135:8 136:24 137:1 <b>John</b> 70:13 104:4 140:17 <b>Johnson</b> 3:1 67:10 125:17 <b>Joliet</b> 7:13 8:6 <b>Journal</b> 138:12,12 <b>judgment</b> 66:6 87:11 <b>June</b> 2:14 142:21 <b>just</b> 2:20 6:14 7:7 10:5 13:3 14:15 16:2,2 18:17,21,23 20:5 21:10,11,20 22:15 24:20 36:1 36:24 38:16 42:15 43:15 47:4,8,13 48:21 54:7,12 55:7 55:22 58:4,19 60:9 62:6,24 63:6,16 64:15,18,19,21 67:6,23 72:3,22,22	78:17 80:17 81:7 82:4 83:4 85:11 86:6 87:7,21 88:13 88:23 89:22 90:9 90:14 99:16,24 100:9 101:20 102:24 105:23 106:5 108:6 110:7 111:7,22 113:4 115:24 116:3 118:3,12 121:12 124:16,24 125:20 126:15 128:1,2,6,6 129:2,21 130:4,8 130:18 135:16 138:16 <b>Justice</b> 131:22 <hr/> <b>K</b> <b>K</b> 79:8 <b>Kaleel</b> 3:19 9:23 11:3,9 12:3,5 14:2 14:4 15:19 16:18 18:14,21 20:9,23 21:24 23:2,6 24:5 24:18 25:1,10,13 25:17 26:6,23 27:4 30:5 49:13,18 61:5 61:7,16 63:5,10 66:5,11 78:14,15 80:22 82:8,20 <b>Kaskaskia</b> 131:18 <b>Katherine</b> 36:3 45:24 66:15 <b>Kathy</b> 127:22 131:16 <b>Keefe</b> 1:21 <b>keep</b> 6:15 106:1 134:15 <b>Kennedy</b> 104:4 <b>key</b> 28:11 96:4 <b>kick</b> 22:8 <b>kids</b> 135:23 <b>kiln</b> 132:8 <b>kind</b> 15:21 40:23 74:3 102:24 105:5 106:7 109:24 <b>kindly</b> 41:12 <b>kinds</b> 21:15 60:2 <b>knew</b> 59:22 135:9 <b>know</b> 7:5 19:5,12,13 19:16 20:20 21:18 22:12 23:17 28:8 29:20 30:14 35:13 39:2,5 42:13 48:13 58:1 60:5,21 62:21 64:15 66:4 67:1 70:2 73:10 74:14 75:9,12 76:16,18 77:21,24 78:4,5,18	78:18 82:20 87:24 89:10 91:10,16,16 98:18 99:5,23 101:1,2 103:24 104:23 105:24 106:2,5,24 107:23 109:15 110:1 111:4 114:17 115:23 116:2 120:24 132:11 133:23 134:1 136:4,6 140:17 <b>knowledge</b> 95:21 111:14 114:14 119:12,18,21 <b>known</b> 3:3 33:4 <b>knows</b> 111:11 <b>Koerber</b> 3:19 10:1 11:4,10 17:23 27:9 27:12,13 28:24 29:6,17,23 30:5,10 30:12,16,23 31:6 31:11,19 32:8,17 33:7,19 34:5,10,14 34:23 35:4,10,13 35:23 36:4,6,17 37:3,15,17 38:2,21 38:24 39:2,4,7,17 39:19 40:2,24 41:7 42:2 <b>K's</b> 27:17 <hr/> <b>L</b> <b>L</b> 1:19 142:4 <b>labored</b> 103:8,18 <b>lacked</b> 97:17 <b>LADCO</b> 27:16 29:2 36:4,13 40:21 69:6 <b>laid</b> 136:18 <b>Lake</b> 10:1 27:24 34:20 <b>language</b> 13:2,4,9 16:5 23:3 99:14 <b>laptop</b> 101:19 <b>large</b> 64:22 65:2 75:20 108:13 115:6 <b>largely</b> 134:24 <b>largest</b> 134:22 <b>Larry</b> 66:24 136:13 <b>last</b> 7:10 10:16 19:2 22:15 30:19 34:16 47:5,14 48:9 49:6 52:4 98:10 100:2 114:18 125:15 135:3 138:13 <b>Lastly</b> 105:23 <b>late</b> 87:6 91:12,15 <b>lately</b> 57:6 <b>later</b> 19:18	<b>latest</b> 31:22 <b>latitude</b> 74:16 <b>law</b> 137:19 <b>lead</b> 2:23 <b>leads</b> 139:5 <b>learned</b> 103:3 <b>least</b> 6:23 12:11 13:17 15:4 17:16 20:3 29:24 43:3,4 52:2 62:14 97:23 123:5 <b>leave</b> 53:8,8 <b>left</b> 2:22,24 106:21 <b>leg</b> 139:2 <b>legal</b> 9:22 <b>lengthy</b> 92:4 <b>less</b> 31:15 52:6,6 54:22 62:16,17 109:17 <b>lesser</b> 81:22 <b>let</b> 102:24 <b>letter</b> 21:8 <b>letting</b> 106:7,16 <b>let's</b> 73:11 80:17 87:15,15 139:11 <b>level</b> 20:13 52:13 59:10 81:22 96:18 121:11 <b>levels</b> 16:15 32:11 33:6,15 57:15,18 58:12,18 60:16,22 61:12 62:5,21 78:6 78:10 107:13 125:5 <b>License</b> 1:20 142:20 <b>life</b> 103:5 104:14 135:6 138:13 <b>light</b> 16:1 112:9 <b>like</b> 5:8 6:12,13,23 8:8 10:5,13 12:3 12:17 14:10,11,14 14:15 15:12 20:10 20:20 22:15 27:8 27:10 28:16 31:11 41:8 42:11 45:6 48:10,15,18,18 63:17 64:3 66:24 70:1 73:22 76:18 86:1 87:6,22 90:3 90:6 95:3 96:10 97:8 100:1 102:8 103:10 107:1 <b>likely</b> 31:15 52:15 78:3 <b>limit</b> 51:10 62:4 63:15,19 78:2 79:15,18,23 82:5,7 82:12,16 120:23 135:23 <b>limitations</b> 115:4
---	--	--	---	--

<p><b>limited</b> 68:9 118:23 120:2 133:5 <b>limits</b> 19:21 59:3,3 59:12 60:13,19 61:11,14 64:9 77:8 77:17,17,19,22,22 79:12,16 80:20,24 81:1,9 97:5 137:11 <b>line</b> 49:15 93:4,11 136:11 140:3 <b>link</b> 38:5 74:24 75:1 <b>links</b> 38:7 <b>list</b> 8:14 59:2 85:19 105:14 140:20,21 <b>listed</b> 62:7,9 141:2 <b>listen</b> 137:14,17 <b>literature</b> 61:21,24 62:6 79:4 <b>little</b> 7:19,20 32:5 37:23 47:8 79:20 102:12,14 <b>live</b> 138:3,6 <b>lived</b> 103:11,13 <b>living</b> 132:2,11 <b>load</b> 127:11 <b>local</b> 102:22,23 132:16 134:1 135:22 <b>locally</b> 102:23 <b>locating</b> 69:24 <b>location</b> 27:24 30:1 <b>long</b> 6:16 19:24 81:22 87:10 105:13 <b>longer</b> 72:19 <b>look</b> 16:5 24:8 29:9 35:17 48:12,13 53:3 57:5 59:6 62:10 66:21 75:10 75:18 78:23 79:9 80:17 81:3 88:7 <b>looked</b> 77:22 <b>looking</b> 7:9 53:17 56:21 62:18 63:16 75:13 77:11 108:7 <b>looks</b> 12:3 27:8 45:6 63:14,16 <b>lost</b> 101:10 104:21 133:3 <b>lot</b> 58:6 <b>loud</b> 92:1 <b>Louis</b> 29:21 30:15 39:2 134:19 135:16,16,21 <b>low</b> 55:14 59:7 65:11,13 68:15 76:4 77:24 101:19 127:8 <b>lower</b> 30:10 32:9 55:15 56:5,5 64:9</p>	<p>77:17 96:21 123:17 137:11 138:22 <b>lowered</b> 30:6 <b>Low-NOx</b> 25:6 62:20 65:18 68:16 73:11 75:21 94:23 95:2 112:21 115:5 119:9 121:10,22 121:24 122:5,13 122:15 123:2,4,16 124:16,18,21 <b>lunch</b> 67:14 <b>lung</b> 135:16,20</p> <hr/> <p style="text-align: center;"><b>M</b></p> <hr/> <p><b>made</b> 2:1 11:3 19:3 22:9 25:4,15,17 26:6,21 35:6 38:18 39:23 42:17 45:10 47:20 51:15 63:3,8 67:18 83:7 84:19 91:9 102:1 106:11 118:8 123:20 125:22 139:13 <b>Madison</b> 135:18 142:8 <b>main</b> 68:12 <b>mainly</b> 78:5 <b>maintain</b> 136:24 <b>maintained</b> 23:15 <b>maintenance</b> 13:1 16:9 17:18 44:11 44:19 53:9 89:7,12 111:23 <b>Maji</b> 10:4 <b>major</b> 78:22 <b>make</b> 6:20,21 7:2,19 11:4,14,24 14:18 18:18 26:4 31:15 35:9 46:11,12 72:16,17 75:11 76:21 85:15 87:22 89:5 105:24 106:1 110:24 130:11 136:2 <b>maker</b> 135:7 <b>makes</b> 20:13 71:24 <b>makeup</b> 70:18 <b>making</b> 2:9,12,16,24 3:6 9:5 12:9 16:22 21:17 22:7 23:17 24:6,7 26:11 45:6 47:5 57:19 84:5 88:9,14 105:1,11 105:18 106:6 107:7 110:3 113:20 130:20 132:4,20 133:9,11 133:16 134:2,10</p>	<p>135:4 136:1 137:10,12,13 140:24 141:4 <b>malfunction</b> 133:4 <b>management</b> 122:11 <b>manager</b> 9:23 104:22 <b>mandatory</b> 55:18 <b>manner</b> 24:10 <b>manual</b> 74:8,22 <b>manufacturers</b> 95:19 <b>many</b> 3:3 50:20 64:12 86:5 104:21 119:7 140:17 <b>March</b> 30:5 98:13 98:14,17 99:5 139:20 <b>mark</b> 81:12 <b>marked</b> 41:22 84:13 86:22 <b>market</b> 88:17 89:3 <b>massive</b> 132:8 <b>matches</b> 67:22 <b>materials</b> 6:1,2 10:16 98:12 107:18 109:9 <b>mathematical</b> 33:8 <b>matter</b> 1:7 6:15 12:7 48:21 94:6 105:14 116:22 117:14,21 125:16 132:2 142:9 <b>matters</b> 3:21 7:8 116:21 139:6 <b>maximum</b> 51:14 <b>may</b> 2:12 4:14 5:19 6:16 8:3 9:9 11:23 15:24 40:19 51:15 55:13 56:1,2,4,5 57:10,16 61:18 64:9,10 73:21,21 77:24 78:1 83:4 88:6 89:11 91:24 99:13,17 100:12 102:16 118:3 121:7,9 122:16,16 126:16 129:24 139:5 140:12,24 <b>maybe</b> 16:19 58:1 61:4 62:21 75:7,16 93:19 119:22 130:11 <b>mean</b> 21:9,10,15 22:3 36:15 53:24 59:15 62:24 63:6 63:24 65:12 66:2 73:17 75:22 90:12 119:24 125:8 <b>means</b> 55:18</p>	<p><b>measured</b> 33:6,15 <b>measurements</b> 30:17 <b>measures</b> 18:10 31:1 31:1 36:8,21 <b>mechanical</b> 56:19 107:8 <b>Medicine</b> 138:12 <b>meet</b> 16:14 21:23 28:13 36:5 39:10 40:10,12 63:19 93:19 104:8,24 126:2 134:20 <b>meeting</b> 22:21 62:21 116:21 <b>melting</b> 130:23 <b>member</b> 2:22,23,24 102:6,22 131:18 131:22 <b>members</b> 3:11 15:13 85:20 131:15 141:7 <b>memory</b> 62:23 63:5 128:4 <b>mention</b> 129:2 <b>mentioned</b> 12:23 18:23 98:12 115:24 131:9 <b>merely</b> 129:18 <b>merits</b> 3:14 9:12 <b>met</b> 40:21 <b>meteorology</b> 31:13 31:14,21,24 32:2 32:10,12 33:20,22 <b>methodology</b> 74:3,6 74:12 <b>Metro</b> 17:21 19:5 104:8 132:3 134:19,22 135:21 <b>metropolitan</b> 29:21 38:10 <b>Michael</b> 3:19 11:10 <b>Michigan</b> 10:1 27:18,24 28:2,2,4 28:5,12,16 30:22 34:20 41:4,9,13 <b>microphone</b> 47:8 130:2,13 <b>mid</b> 6:10 103:17 <b>middle</b> 93:19 <b>midwest</b> 7:12 13:13 14:12 15:2,4 39:21 <b>midwestern</b> 39:23 <b>might</b> 43:8,13 59:17 75:24 81:20 96:7 101:2 102:18 111:16 124:19 129:4 130:14 133:20,21 136:7 137:18</p>	<p><b>Mike</b> 10:1 17:23 <b>military</b> 103:14 <b>mill</b> 119:7 135:6 <b>million</b> 49:16,16 50:3,13 51:5,24,24 52:18 63:22 96:18 104:11,19 105:22 124:4,5 <b>millions</b> 137:23 <b>mills</b> 132:6 <b>minimize</b> 44:21 <b>minute</b> 63:1 <b>minutes</b> 66:21 67:20 <b>mislabeling</b> 44:22 <b>missed</b> 104:13 <b>Missouri</b> 132:13 142:1,5 <b>mistake</b> 66:12 67:12 <b>mistaken</b> 129:18 <b>misunderstanding</b> 44:21 <b>mix</b> 114:2,23 <b>MMBTu</b> 117:8 <b>mobile</b> 37:6,24 38:3 38:9,11 <b>model</b> 27:23 29:3 30:20 31:13 32:14 32:24 33:4,8,12,19 37:1,11 38:1,11 39:8,10 <b>modeling</b> 31:2,23 32:20 33:3,13,16 34:23 35:2 36:6 39:21,23 40:6,21 40:21 <b>models</b> 32:10 36:13 <b>modification</b> 54:21 <b>mom</b> 102:21 <b>moment</b> 2:20 63:6 79:9 83:4 85:11 89:22 118:3,5,12 125:20 <b>Monday</b> 4:4 139:20 <b>monitor</b> 5:6 <b>monitoring</b> 27:23 29:24 30:17 32:21 33:10,21 34:6 35:8 39:9 40:4,5,8 134:17 <b>month</b> 125:15 <b>Moore</b> 2:23 <b>more</b> 7:20 16:7 29:18,18 35:7,8 39:14 49:19 57:19 64:8,8,16 67:6 68:18 70:5 71:1 76:13 78:3 81:14 81:20 83:9 88:2 97:15 104:5 105:15 112:24,24</p>
--	--	--	--	---



117:24 125:4 135:10,10 136:10 137:8,24 138:24 <b>morning</b> 2:3 6:10 9:18 27:5 31:7 46:22 92:9 94:3 131:4 <b>most</b> 11:3,4 17:15 33:21 35:17,18 39:9 52:15 54:22 54:24 58:9 70:22 71:2,3,4,5,7 74:23 75:1,20 79:23 80:12 81:5,18 95:20 101:10 125:18 130:12,14 132:19 135:6 <b>mostly</b> 138:3 <b>mother</b> 105:23 135:13 138:5 <b>Mothers</b> 102:23 <b>motion</b> 8:3 9:5,5,7 9:10,12 14:15,19 15:1,2,4,13 16:2 41:19 43:2 45:10 46:3 83:20,23 84:1 86:11 130:20,23 139:22,22 <b>motivated</b> 103:1 <b>motivation</b> 104:3 <b>move</b> 8:5 41:8,17 42:11 45:13 86:1 106:8 130:1 <b>moved</b> 8:18 45:18 86:8 103:15,19 <b>moving</b> 92:3 <b>much</b> 10:17 15:10 32:3 35:20 38:7 42:24 45:16 50:1 51:17 52:2,2 55:7 67:16 68:1 72:24 78:16 85:16 87:14 106:7,14 125:4 132:4 133:6,13 135:7,10 136:5 <b>multiple</b> 58:16 68:15,15 <b>multi-fuel</b> 95:2 112:19 118:2,18 118:20 127:14 <b>must</b> 40:9 117:14 135:23 140:19 <b>myself</b> 59:20 74:18	<b>NASA</b> 125:17 <b>National</b> 131:19 <b>natural</b> 62:8 65:15 69:19 70:6,14,17 70:23 71:3,4,5 80:8 81:2 97:1 114:4,5 118:23 119:8 127:1 132:14 <b>nature</b> 20:24 115:2 <b>nearly</b> 45:7 65:10 67:9 105:21 <b>necessarily</b> 59:23 <b>necessary</b> 55:13 92:5 95:24 99:12 122:23 <b>need</b> 6:8,15 16:15 20:14 23:17 26:12 43:21 55:24 62:23 63:5 66:21 81:21 86:5 101:20 105:6 117:12 118:5 122:11 136:22 <b>needed</b> 36:5 77:1 78:8 91:18 <b>needs</b> 104:16 <b>Neither</b> 8:22 41:21 134:11 <b>never</b> 18:6 103:19 104:23 137:18 <b>nevertheless</b> 40:12 <b>new</b> 18:2,14,15,20 18:22 19:7,13,14 19:18 20:7,8 30:10 30:12 35:3,12 66:20 78:10 125:3 128:8,10,10,12 132:7 133:1 138:12,23 <b>news</b> 103:24 <b>next</b> 6:11 35:16 41:11 43:8,18 44:1 44:9 46:5 110:14 <b>NG</b> 93:12 <b>nice</b> 139:1 <b>night</b> 48:2,9 51:19 <b>nine</b> 121:22 <b>nitro</b> 29:10 <b>nitrogen</b> 1:7 2:6 17:9 48:23 55:14 56:5 <b>none</b> 27:7 <b>non-attainer</b> 33:18 <b>non-attainment</b> 17:2,11,12 19:4,8 19:17 41:4 78:20 78:23 134:9 135:1 <b>non-catalytic</b> 95:11 117:6 <b>non-EGU</b> 23:24	36:22 <b>non-EGUs</b> 22:20,21 23:8,11,19,20 24:11 <b>normal</b> 32:1 <b>North</b> 1:21 <b>Northeastern</b> 28:19 <b>Notarial</b> 142:17 <b>Notary</b> 142:4,20 <b>note</b> 3:10 9:2 10:5 10:13 13:3,6 24:5 46:12 62:13 85:20 <b>noted</b> 8:12 15:5 25:3 25:19 39:20 94:19 96:22 <b>notes</b> 133:2 <b>nothing</b> 39:13 <b>notice</b> 130:9,19 <b>Noting</b> 84:18 <b>November</b> 59:1 <b>NOx</b> 16:11,14,24 18:6,7,19 19:20,23 20:6,6,17,21,21 21:8,17 22:22 23:10,15,24 29:4 29:10,12,15 30:20 30:23 36:5,20 49:2 51:6 53:1,4,4,10 53:15 55:4,6,9,12 55:12,15,19 61:12 70:5,16 75:4,14 76:8 78:21 79:16 95:5 96:17,21 97:4 97:7,9,13 98:11 105:4,14 107:13 109:2,5 111:17 112:5,23 113:20 120:5,5,7 121:13 122:1,2 124:1,5,6 124:11,14,18 125:5 <b>no-bearing</b> 118:2 <b>number</b> 2:9 7:13,13 7:16 8:5,6,20 27:14,22 28:11,15 30:24 32:19,20 34:14 36:18,20 38:13 41:18,22 42:13 43:1,8,17,19 44:14,14 50:19 55:8 57:22 58:5 61:23 62:9,19 63:17,20 73:1 84:2 84:13 86:10,18,23 93:3 95:18 108:22 120:2,3 132:11 140:22 141:1 <b>numbers</b> 7:11 8:1,24 43:4 45:20,20 51:11 57:14 59:11	59:13 60:7 61:6 62:2,9 84:15 121:6 121:7,8,9 134:23 <b>numerous</b> 16:21 95:4 <b>nurses</b> 135:22	24:20 25:1 27:1 36:24 37:12 38:15 40:15 41:5 47:12 61:3 66:8 68:20 70:19,19 71:6 72:2 73:8 74:2,11,20 75:3 77:13 83:2 86:7 87:14,17 94:2 108:10 113:15 114:13 116:14 117:16 120:4 121:12 130:6 <b>old</b> 16:12 111:4 136:7 <b>omission</b> 114:1 <b>once</b> 11:5 42:1 45:5 52:8 89:19 104:4 140:1,6,6 141:10 <b>one</b> 6:23 7:7 9:20 12:11,23 15:7 17:16 18:9 27:14 27:23 28:12 29:8 30:1 32:24 33:3 39:18 40:3 43:7,21 43:22 44:1,9,12,14 44:14,17 47:18 52:7,8,10 54:9 58:6,15 64:10 65:20,21,23 66:2 77:11 86:6 88:23 89:5 90:5,9 91:7 93:2 96:1 104:12 106:2 107:18 111:22 118:12 122:4 125:15,20 126:15 129:16 130:16 131:6 138:11,15 <b>ones</b> 43:5,21 113:1 <b>one's</b> 103:4 104:14 <b>one-quarter</b> 28:18 <b>ongoing</b> 12:8 95:23 <b>only</b> 8:13 18:7 51:5 80:6 88:20 95:19 109:17 121:5 133:1 136:9 <b>on-road</b> 38:9 <b>open</b> 82:19 139:19 <b>opening</b> 13:23 <b>operate</b> 88:6,17 89:1 104:17 114:12 119:5 122:24 <b>operated</b> 88:8,24 <b>operating</b> 88:5,8,12 88:19 89:2 96:4,8 122:15 134:15 <b>operation</b> 97:3 <b>opinion</b> 47:19 55:5,8 55:8,20 64:24 78:6 108:1 110:12
<b>N</b>				
<b>name</b> 2:5 9:19 43:8 47:1 92:10 94:3 102:20 131:16 <b>named</b> 135:17 <b>namely</b> 28:1				

<p>115:8 126:1,3  <b>opportunity</b> 6:19,21  6:22 9:11 46:4  47:2 48:12 87:8  97:19 104:10  116:16 129:13  137:2  <b>oppose</b> 134:12 135:3  <b>opposed</b> 14:18  <b>opposing</b> 133:10  134:10  <b>opposition</b> 137:3,9  <b>option</b> 81:17  <b>options</b> 61:22 62:11  63:17 81:8  <b>order</b> 2:13 3:23 4:6  4:7 14:22 31:2  36:10 40:10 42:9  50:21 90:6 102:4  106:17 140:8  <b>organic</b> 29:10  <b>organization</b> 102:18  129:3  <b>organizations</b> 38:11  <b>original</b> 57:13 77:3  99:14 100:1  117:11  <b>originally</b> 54:14  98:14  <b>OT</b> 63:12  <b>other</b> 2:21 3:5 4:9  4:14 5:20 6:7 7:4  11:20 15:7 16:6  21:5 30:24 36:21  37:20 43:21 56:3  56:17,17,18,18  57:7 59:24 60:2,7  61:18 73:4,4,24  78:9 81:20 83:12  83:24 89:5 91:17  91:24 111:16,20  112:5 126:9,12  127:6,9,16 131:6  132:7,12,16 139:8  141:3,5  <b>others</b> 104:22  <b>otherwise</b> 6:18  71:16,17  <b>out</b> 13:7 14:8 28:8  30:1 40:14 44:23  49:24 53:8,8 68:8  72:14 79:13 80:4  81:23 92:1 102:14  110:8 111:21  116:23 122:5  138:11  <b>outage</b> 89:11  <b>outliners</b> 80:2  <b>outreach</b> 80:1  <b>outstanding</b> 13:19</p>	<p>90:16  <b>oven</b> 43:10 44:3  48:7,7,22,24 49:7  49:10,14,15,19,19  49:21,23,24 50:5  50:10,15,15 51:3  51:19 52:9,13,18  52:19,19,21 53:2  53:17 80:7 88:2,20  88:21 89:7 97:1  114:4,5 118:22  119:8 124:1,2,7,10  124:11 126:24  127:3  <b>ovens</b> 88:9,13  <b>over</b> 2:18 7:9 33:23  38:7 46:20 50:13  52:4 104:10  111:21 114:11  <b>overall</b> 21:3 124:6  <b>overlook</b> 90:12  <b>overlooking</b> 90:24  <b>overshot</b> 81:12  <b>overturn</b> 137:20  <b>own</b> 80:1 96:15  100:10 113:20  128:7  <b>owned</b> 100:4  <b>oxides</b> 1:7 2:7 17:10  <b>oxidized</b> 29:10  <b>oxygen</b> 63:12  <b>ozone</b> 16:8,12,17  17:1,5,14,15,22  18:3,15,15 19:2,7  27:17,22 28:1,4,5  28:14,16,18 29:4,9  29:12,21 30:4,6,21  31:15,19,20,22  32:3,16 33:5,14  34:19,22 35:2  39:21 41:1,9,13  89:8,15 134:21  138:23</p> <hr/> <p style="text-align: center;"><b>P</b></p> <p><b>package</b> 136:20  <b>page</b> 7:18 12:23  15:23 22:17 23:5  31:16,17 34:17,17  39:19 54:10 55:11  59:5,6 60:10 61:10  62:7 72:6 93:3  110:16 113:23  115:3 117:5  118:11 121:22  122:10 140:21  141:2  <b>pages</b> 15:22 57:12  61:12,18,20  <b>pain</b> 105:10</p>	<p><b>paper</b> 28:7 70:11  <b>paragraph</b> 23:4  54:20 55:11 93:2,3  93:4 122:10  <b>parameters</b> 31:20  <b>parcel</b> 93:17  <b>parents</b> 138:5  <b>part</b> 5:18 6:5 21:3  24:1,4,7 39:21  40:6 50:6 58:9  70:22 75:20 81:6  85:11 98:12  105:18 106:12  108:13 128:11,11  <b>partially</b> 136:12  <b>participant</b> 24:18  83:12,24 131:20  140:11  <b>participants</b> 4:14  6:7 14:4 38:24  126:13 139:16  140:5 142:14  <b>participated</b> 140:12  <b>particles</b> 27:17  <b>particular</b> 15:17  37:19 56:14 57:18  62:14 63:13,21  65:2,5 68:22 92:23  94:10 97:18  128:16  <b>particularly</b> 104:17  <b>particulars</b> 92:16  <b>particulate</b> 105:14  138:13  <b>particulates</b> 134:21  135:15  <b>parties</b> 45:7 67:17  101:24 142:6  <b>Partners</b> 10:3  <b>parts</b> 1:9 2:8 30:7,7  53:11 91:17 124:3  <b>passing</b> 44:23  <b>past</b> 33:23 88:24  <b>patience</b> 45:3  102:10 106:10,16  131:3  <b>pattern</b> 135:7  <b>PAUSE</b> 38:17 42:16  63:2,7 83:6 118:7  125:21 139:12  <b>pay</b> 103:24  <b>pending</b> 22:7,12  <b>Pennsylvania</b> 138:2  <b>people</b> 2:21 6:19,22  47:9 58:22 59:20  74:3 129:16  132:11 133:24  137:16  <b>per</b> 30:7 43:23 49:16  50:3 51:7 52:1</p>	<p>53:5,11 63:21  72:12,12 76:8  96:18 117:8 124:4  124:5 138:1  <b>perceive</b> 79:14  <b>percent</b> 28:18 36:7  49:7 50:11,12 93:5  93:5,7,8,12,12  114:3,3,4,5,5  124:9  <b>percentages</b> 49:9  <b>perform</b> 53:7 92:12  94:17 95:22  <b>performance</b> 61:21  62:18 63:13 64:1  68:6,21  <b>performed</b> 27:15  32:14 60:7 98:7  119:9,11,13,18  <b>performing</b> 95:15  <b>perhaps</b> 5:5,5,10  32:5 46:4,9 51:16  58:1 59:16 61:7  81:4,17,20,20  82:23 92:4 99:22  111:11,12,24  123:6  <b>period</b> 9:7 139:20  140:7,10  <b>permit</b> 90:19 134:12  <b>permitting</b> 134:4  <b>person</b> 6:23 7:5  113:7 128:14  131:6 133:22  <b>personal</b> 71:23  <b>personally</b> 117:17  117:18  <b>persons</b> 140:12  <b>perspective</b> 13:18  76:12  <b>pertain</b> 101:14  <b>petition</b> 17:19  <b>petroleum</b> 36:16,17  37:1,13 71:7  <b>Philbright</b> 8:9,10  <b>phone</b> 141:1  <b>phrased</b> 23:6  <b>physically</b> 88:3  <b>picking</b> 93:22  <b>pieces</b> 48:15 66:3  <b>place</b> 2:17,18 40:23  59:8 76:17 88:20  100:3 121:5 140:2  <b>places</b> 95:13  <b>plan</b> 16:9 17:18  19:10  <b>planned</b> 13:1  <b>planning</b> 9:23 38:10  <b>plans</b> 27:17 114:8  <b>plant</b> 81:16 132:8</p>	<p>136:16,17  <b>plants</b> 79:2 132:5,5  134:15  <b>play</b> 32:6 135:24,24  <b>played</b> 31:13  <b>please</b> 3:10 6:14 7:1  7:4 11:20 15:20  20:5 27:12 29:1  38:16 39:24 57:11  66:16 85:14 87:1  92:7 102:9 106:17  110:14 119:16  126:17 130:4  131:12  <b>pleased</b> 13:15  <b>pleases</b> 93:16  <b>plug</b> 37:11  <b>plus</b> 62:20  <b>PM</b> 16:13,16 17:2,5  17:22 18:16,24  34:2,4,13,18,22  35:2 39:3,10 135:1  138:23  <b>point</b> 8:16 22:7,8  24:17 36:22 37:7  59:8 66:1 67:21  69:23 72:20 73:1  78:12 79:13 83:14  87:21 88:16  118:10 123:20  129:23 131:12  139:5  <b>pointed</b> 40:14 72:14  80:4  <b>pointing</b> 79:8 110:8  <b>points</b> 27:14 55:22  58:16,17 68:8 74:3  95:3  <b>poised</b> 137:7  <b>Policy</b> 28:3  <b>pollutants</b> 134:8  137:8  <b>pollution</b> 1:1 2:4  9:24 74:8 94:5  103:10 135:11  137:18,23 138:9  138:13,18  <b>poor</b> 135:14  <b>population</b> 78:23  81:4  <b>portions</b> 87:12  <b>pose</b> 5:20 54:4 90:3  98:1  <b>posed</b> 3:11  <b>position</b> 85:1  <b>possible</b> 7:6 20:14  21:23 43:5 53:20  68:8 72:11 122:11  125:18  <b>post</b> 37:1 84:6 87:20</p>
--	--	--	--	--

<b>posted</b> 132:20	25:2 27:14 39:19	22:17,21,23 23:8	48:17 49:6,13,17	90:1,10 98:1
<b>post-combustion</b>	42:6,20 45:15	23:24 74:1	51:8,18 52:21,22	106:22 109:22
54:24 56:3	47:13,16 48:1,21	<b>programs</b> 24:13	53:16 56:20 60:1	110:14 111:12
<b>post-hearing</b> 4:16	49:5,12 50:7,8,19	37:8 38:14,14	72:5,22,23 78:7,17	117:23 118:14
4:19 5:1,16 84:9	50:23 54:3 59:1	<b>progress</b> 22:10	82:10 107:17,22	119:23 126:22
89:23 139:7,17,19	68:2 72:7 77:3	<b>project</b> 37:4 72:12	113:19 114:6,9,14	127:23 132:23
140:7	83:13,22 84:3,19	73:14,17,20	116:6 123:16	<b>questions</b> 3:10 4:12
<b>potentially</b> 77:5	85:18 86:2,9,14,21	122:12	<b>provides</b> 109:18	4:13,23 5:5,13,19
<b>pound</b> 96:18	91:9,19,22 93:2	<b>projected</b> 121:1	110:17 137:1	6:1 9:9,13 10:23
<b>pounds</b> 53:5 63:21	94:12 98:6 108:14	<b>projecting</b> 32:10	<b>providing</b> 104:18	14:3 15:18,24
117:8 124:5	108:18 110:16	<b>projections</b> 27:23	<b>provision</b> 11:16	16:21 24:17,21
<b>power</b> 132:5	112:14 117:11	33:19 39:8,10	19:10	27:4 28:23 31:6,12
<b>PPM</b> 124:8	118:11 120:20	<b>projects</b> 25:6 95:5,6	<b>prudent</b> 125:4	34:16 35:23 36:2
<b>practical</b> 95:21	129:10,14	95:7,15,17 123:21	<b>public</b> 7:3 17:16	38:23 39:14 41:6
97:12 109:5	<b>pre-filing</b> 10:9	<b>promptly</b> 7:22	85:21 102:7,13,13	42:1,7 46:12 54:2
<b>practice</b> 110:2	<b>primary</b> 31:20	<b>proof</b> 103:20	125:16 128:5	54:8 66:9,11,14,22
<b>precisely</b> 100:12	104:3	<b>proposal</b> 2:12 3:15	131:12 132:14	67:7,22 72:3 83:3
<b>precursor</b> 31:21	<b>principal</b> 92:10 94:4	9:5 20:4,15,18	134:17 137:21	83:10,13,17,18
<b>precursors</b> 29:9	<b>prior</b> 26:13 91:7	21:1 22:20 23:7	140:13 142:4,20	86:20 97:21,23
<b>predict</b> 22:2 33:6,14	116:17,20	30:20 48:4 54:14	<b>published</b> 62:2	101:7,8,14,16
<b>prefer</b> 85:2,4	<b>privileged</b> 3:8	82:24 100:17,23	64:12 72:24	106:18,24 107:2
<b>prejudgment</b> 3:13	100:10	106:22 107:8,9,17	<b>pull</b> 47:8 130:2	126:8,9,12,16
<b>preliminarily</b> 43:3	<b>probably</b> 4:22 6:9	107:21 130:21	<b>pulled</b> 122:4	127:16 129:10,20
43:18	69:20 71:1 76:5	139:19,23	<b>purchase</b> 71:16	129:24 132:24
<b>preliminary</b> 45:20	<b>problem</b> 24:13 26:3	<b>propose</b> 7:23 60:15	<b>purpose</b> 12:10 16:3	133:7 139:8
84:15	28:4 112:14 131:5	60:21	16:10,13,22 17:8	140:15,18,23
<b>premise</b> 88:1	<b>problems</b> 41:4 112:9	<b>proposed</b> 16:1,4,10	18:4 22:21 68:12	<b>quick</b> 7:8 9:11 22:16
<b>preparation</b> 141:8	112:11,13,16	21:12 47:15 51:10	94:7	38:16 90:9 107:1
<b>prepare</b> 10:12,17	117:3	53:6,12,21 59:3,12	<b>purposes</b> 12:11	<b>quickly</b> 140:3
72:21 110:9	<b>procedural</b> 3:7,21	60:11,13,19 61:10	17:16 55:4 65:9	<b>quite</b> 16:18 20:9,23
<b>prepared</b> 42:7 74:2	9:14 11:15,17	61:11,15 66:7	99:13 101:7	24:24 51:17 82:17
91:14 98:14 102:7	139:6,16 140:23	77:17,19 78:10	112:23 128:7	<b>quote</b> 7:22
125:14 131:11	<b>procedure</b> 40:5,8	80:13,20,24 81:1	<b>pursuant</b> 28:2 142:6	
141:5	100:10	82:5 96:14,19 97:5	<b>pursue</b> 82:24	<b>R</b>
<b>preparing</b> 67:21	<b>procedures</b> 9:13	117:13 123:10	<b>put</b> 104:10 133:9	<b>RACT</b> 16:11,24
77:16	<b>proceed</b> 4:13 5:12	132:3 137:20	136:18	17:4 18:6,7,19
<b>present</b> 2:21 17:18	11:3 15:20 45:1	<b>proposes</b> 61:4	<b>putting</b> 35:15	19:12,14,15,17,21
48:15 97:20	90:7 97:24 102:10	<b>proposing</b> 19:21		19:23 20:6,7,17,21
116:17 117:20	131:12 137:10	123:17 124:23		20:21 21:8,17
<b>presented</b> 47:14	<b>proceeding</b> 2:6 3:5	133:8 137:17	<b>Q</b>	30:20,23 36:20
123:15	3:13 5:6 41:18	<b>protect</b> 95:16	<b>qualifies</b> 126:6	55:4,6,9,12,19
<b>president</b> 10:2	43:2 44:14 106:13	137:21 138:3	17:11 18:5 27:15	56:7,8 60:11 61:10
131:16 136:20	<b>proceedings</b> 2:1 9:8	<b>protecting</b> 137:15	27:22 29:3,5,16,19	75:4,14 76:11,14
138:19	38:17,18 42:16,17	<b>Protection</b> 2:11 4:3	31:3 32:9,11 33:9	76:23 80:19 82:12
<b>presumably</b> 136:21	63:2,3,7,8 67:18	9:4,20	33:11 34:2 35:17	82:19 97:5 98:15
<b>presume</b> 71:14 75:1	83:6,7 102:1,5	<b>protective</b> 138:24	35:17 36:11 37:4	126:2,2,6
<b>presuming</b> 21:2	118:7,8 125:21,22	<b>protocol</b> 33:3 35:15	37:11 39:9 103:3	<b>raise</b> 139:9 141:5
<b>pretty</b> 55:6 58:9	139:12,13	<b>proven</b> 79:5 112:24	103:24 104:9,14	<b>range</b> 57:14,14,20
65:3 104:15	<b>process</b> 18:22 78:18	126:5	105:19 131:21	57:22 58:14,20
118:23	79:1,24 80:1,1,3	<b>Proverb</b> 105:9	132:10,14 133:24	59:4,4,13 61:4,12
<b>prevent</b> 21:23	80:18,21 81:3,7	<b>provide</b> 6:19 19:9	134:20 135:14,19	63:23 65:11 70:15
<b>previous</b> 122:9	140:16	27:19 57:1 61:20	<b>quantify</b> 37:8	72:11 73:4 75:17
128:5	<b>processors</b> 82:17	68:9,10,19 74:24	<b>quash</b> 133:17	75:21 76:3 77:10
<b>previously</b> 94:5	<b>procurement</b> 95:7	76:7 80:11 92:12	<b>question</b> 14:23 16:9	79:5,10,18 114:11
126:22	<b>produce</b> 88:2 122:1	94:7 95:1,12 98:9	16:18 17:6 20:24	127:11
<b>pre-file</b> 4:10 6:12	<b>produced</b> 124:1	108:1,8 116:11	21:19 22:15 23:7	<b>ranges</b> 58:14 59:4
47:6	<b>production</b> 136:18	120:14 123:5	30:19 34:10 35:4	64:22 65:4 76:8
<b>pre-filed</b> 3:16 4:1,4	<b>professional</b> 95:14	128:23 136:23	39:17,18 41:11	<b>Rao</b> 3:1,3 39:16,18
4:8 6:18 10:6	133:23	<b>provided</b> 13:19 14:5	54:4 57:10,15 61:4	40:15 131:15
11:17 12:10 15:23	<b>program</b> 17:8 18:7	23:24 25:20 32:22	61:8,13 70:1 77:14	<b>rapid</b> 72:16

<p>rate 44:10,18 51:2,9 53:4,5,12,21 56:8 65:5,16 75:7 76:10 135:15</p> <p>rates 47:15 51:7 52:24 53:1,15 58:18 59:18 64:17 64:19 66:7 120:9 120:19 121:2,5 135:20</p> <p>rather 36:8 58:15 125:2 129:19 137:22</p> <p>reach 58:15 140:24</p> <p>reached 40:20 134:11</p> <p>read 11:18 25:1 55:2 55:17 67:12 87:6 87:10 91:15,23 92:4 93:4,7 132:19</p> <p>readily 112:24</p> <p>reading 55:21 92:1 93:19 128:4</p> <p>ready 12:3 85:9 102:9 130:5</p> <p>reaffirm 53:14</p> <p>real 30:17 95:22</p> <p>realized 117:23</p> <p>really 13:14 22:16 26:12 35:13 36:22 56:8 64:4 66:21 74:18 89:17 101:15 102:24</p> <p>reason 76:17 111:16</p> <p>reasonable 56:9 75:9 76:15,16 103:11 137:17</p> <p>reasonably 17:1 20:14 75:6 76:15 94:8 105:3 136:15</p> <p>reasons 22:5 111:20 112:4 122:4</p> <p>rebuilding 125:2</p> <p>recall 8:17 26:23 42:13 45:9 64:10 69:21,21,22 83:21 107:16,24 111:8 115:1 117:17,18 120:9</p> <p>receive 3:16 4:3 84:19</p> <p>received 4:15 5:1,16 5:24 26:2 48:2,9 100:18 122:8 123:14 135:19</p> <p>receiving 24:12</p> <p>recent 17:15 18:3 19:1 25:6 36:14,14 74:23 75:1 117:24 118:17 133:3</p>	<p>134:12 137:5,12</p> <p>recently 12:12 104:21</p> <p>recharge 101:20 106:20</p> <p>recirculation 62:21</p> <p>recognize 24:13</p> <p>recognized 70:5</p> <p>recognizing 52:8</p> <p>recollection 67:23</p> <p>recommend 57:22</p> <p>recommendation 19:3 92:24 125:1</p> <p>recommendations 76:22 92:13 109:13</p> <p>recommended 61:6 63:15,20 138:21</p> <p>recommending 12:24 128:20,22 132:23</p> <p>reconstruct 133:5</p> <p>record 2:2 3:9,12 7:20,24 8:7,18 9:8 10:5,13 12:8 16:23 38:19 41:18 42:18 45:21 53:11 63:4,9 67:18 78:19 83:8 86:9 87:7 91:16,23 92:3 100:9 101:23 102:1,2 106:12 117:15 118:9 125:16,23 126:5 129:2 138:11 139:6,11,14,15 140:6</p> <p>records 6:5 132:22</p> <p>recovers 136:17</p> <p>recovery 105:6</p> <p>redacted 99:18</p> <p>reduce 17:9 76:8 117:7 124:9,13</p> <p>reducing 29:9</p> <p>reduction 29:4,11 29:12,18 32:15 33:5 36:7,14 38:12 75:15 79:20,21 95:10,11 98:11 117:6 119:9 121:14 122:2 123:5 124:18</p> <p>reductions 17:7 29:15 30:24 32:6,8 36:5 37:1,9,13 39:22 76:7 81:19 121:10 122:1</p> <p>refer 3:2,2 75:5 129:1</p> <p>reference 54:11 58:5,6,6,21,21,22</p>	<p>64:7 65:20,20,23 66:2</p> <p>references 15:22 59:7 61:24 62:2</p> <p>referencing 54:20 94:24</p> <p>referred 49:12 138:2</p> <p>referring 31:16 109:4,6 112:12</p> <p>refers 63:11</p> <p>refineries 12:24 36:16,18 37:2 70:13 71:8 81:6,7 81:10 82:11 132:6</p> <p>refinery 25:7 37:13 69:4,5,7,17,18 70:5,8 71:8,11,12 71:13,19,21 82:7,9 127:5 134:5,22 137:7</p> <p>reflect 3:13 6:4 36:13 121:8,9,10</p> <p>reflected 59:23</p> <p>refresh 62:23 63:5</p> <p>regard 35:10 54:9 70:24</p> <p>regarding 3:14 18:19 22:16 49:14 67:1 87:22 107:6 112:15,15 115:4,8 118:1 134:13</p> <p>region 28:10 36:11</p> <p>regret 133:4</p> <p>regulate 82:3</p> <p>regulated 15:15</p> <p>regulator 76:12</p> <p>regulatory 4:17 16:7 22:20 40:18 80:1</p> <p>reheat 43:11,23 49:1 49:8,10,22,23 51:4 51:12,13,14 52:15 88:10,15,22 100:19 113:5,6,13 119:13,19 120:3 121:3</p> <p>reheating 101:16</p> <p>reinstallation 125:13</p> <p>related 7:12 48:16 103:21 139:17</p> <p>relationships 95:18</p> <p>relative 33:4,9,12</p> <p>release 28:5</p> <p>released 137:8</p> <p>relevancy 110:3</p> <p>relevant 3:8 97:15 110:4,12</p> <p>relied 21:14 98:19</p>	<p>107:8 113:19</p> <p>relying 17:7 18:10 31:24</p> <p>remain 82:15</p> <p>remainder 88:22</p> <p>remarks 85:10</p> <p>remember 26:7 103:15,22 138:8</p> <p>Reminder 138:19</p> <p>repeat 52:16 113:10 118:14 119:15</p> <p>repetition 45:17 61:8 92:4</p> <p>repetitious 3:8</p> <p>rephrasing 61:8</p> <p>replace 111:22,23 112:4,22</p> <p>replaced 111:16</p> <p>replacement 95:8</p> <p>reply 14:11</p> <p>report 13:15 28:6,9 28:11 37:18 41:9 41:13 48:3 98:13 98:14,15,19,23 99:1,8,11,14,15 100:1 106:12 109:8 121:16,17 121:19,21,22</p> <p>reported 69:2</p> <p>reporter 1:19 6:11 6:24 85:7 106:11 130:3</p> <p>Reporting 1:21</p> <p>reports 121:7</p> <p>represent 102:18 114:11</p> <p>representatives 5:19</p> <p>reputation 95:14</p> <p>request 26:5,6,22 33:18 83:24 98:11 100:7 114:21,22 115:2</p> <p>requested 10:15 25:23 48:3 98:7 100:17 114:18 116:15,19</p> <p>require 21:16 62:11 95:12 122:14,17 127:10</p> <p>required 17:18 19:9 19:13,19 24:2 28:3 36:9 89:1 115:5 137:19</p> <p>requirement 17:3,4 18:6 19:14,15,17 19:23 20:16</p> <p>requirements 16:24 18:19 20:2,3 60:10 61:9 81:15,24 111:17 112:1</p>	<p>126:2</p> <p>requires 95:17</p> <p>reschedule 117:3</p> <p>researched 108:22</p> <p>researchers 138:17</p> <p>resemblance 48:20</p> <p>reserve 8:24</p> <p>reserved 7:11</p> <p>residents 104:19 105:22 132:16</p> <p>residual 41:4</p> <p>resolve 13:19</p> <p>resolved 13:22 89:24</p> <p>resource 104:5</p> <p>Resources 132:14</p> <p>respect 12:18 36:17 49:1 130:9,19</p> <p>respected 25:21 97:2</p> <p>respectively 7:14</p> <p>respects 58:10</p> <p>respiratory 104:13</p> <p>respond 94:11 100:8 123:22</p> <p>response 6:1 8:21 9:6 10:24 14:14,16 14:17 18:17 27:6 39:15 41:20 42:4 83:15 90:4 98:10 110:6 122:8 126:10 139:10</p> <p>responses 83:18</p> <p>responsible 105:4 135:1</p> <p>rest 130:4</p> <p>result 23:16 31:22 32:9 38:13 95:23 96:17 136:22 137:8</p> <p>resulted 29:18 32:3 134:14</p> <p>results 31:13 33:17 120:14</p> <p>resume 67:13</p> <p>retrofit 119:4 122:16,16 127:4 128:8,10</p> <p>retrofits 125:13 127:8 128:11 134:18</p> <p>returned 142:15</p> <p>review 25:16,24 32:22 46:4,14 48:14 50:22 61:20 79:13 109:18,19</p> <p>reviewed 15:1 25:11 25:13 34:6 73:9 91:8</p> <p>reviewing 15:13,17</p>
---	--	---	--	---

87:18 <b>revised</b> 18:3 19:2 48:4 99:1,9 138:24 <b>revision</b> 19:10 99:5 99:6 <b>revisions</b> 99:22 <b>REV1</b> 98:24 <b>re-designation</b> 17:19 <b>right</b> 3:1 6:8 14:7 15:16 24:6 33:11 40:2 42:9 46:2 63:10 66:23 67:23 107:1 108:6 132:9 <b>rigorous</b> 38:3 <b>risk</b> 44:21 <b>river</b> 25:7 132:9,12 134:5,21 137:6 <b>RMR</b> 1:19 142:20 <b>road</b> 92:21 106:2 <b>roadway</b> 38:5 <b>Rob</b> 30:5 <b>Robert</b> 3:19 9:23 11:9 <b>Roccaforte</b> 3:22 9:16,17,18,19 10:21 11:2,7,12,19 11:22 27:8 28:23 29:1,2,14,20 30:3 30:8,11,14,19 31:4 39:1,5,12 41:8,14 41:15,22,24 42:5 42:10,19,23 43:2,9 43:14,20 44:4,8,16 45:2,4,9,11,18 46:16,20 84:12,18 86:12,16 90:9,11 90:13,21,23 116:19 130:10,19 <b>Roccaforte's</b> 83:19 <b>role</b> 31:12 32:6 101:15 <b>roughly</b> 52:17 <b>round</b> 35:16 <b>rows</b> 130:12 <b>rule</b> 2:9,12,16,24 3:5 9:5 12:8 16:4,5,10 16:10,11,13,14,22 16:23 18:4 20:6,7 21:12,12,17 22:6 22:12,16 23:16,18 24:6,6,7,9 26:18 33:18 46:3 47:5 51:10 53:13 57:19 61:15 77:17 82:13 105:11 107:6 110:3 117:13 130:20 132:3,19 133:9,10,16 134:2 134:10 135:4	136:1 137:4,10,12 137:20,22 139:21 140:24 141:4 <b>Rulemaking</b> 1:8 <b>rules</b> 3:7 11:15,17 21:5 23:16 47:16 78:11,11 80:10 81:24 91:22 <b>run</b> 6:16 9:7 14:20 30:21 32:14 103:18,23 137:10 <b>running</b> 88:13,13 103:16 <b>rush</b> 53:24 <b>R08-19</b> 1:8 2:10  <b>S</b> <b>safe</b> 106:1 141:9 <b>safely</b> 122:24 <b>safety</b> 108:22 112:1 <b>Saint-Gobain</b> 5:2 13:12 130:8,21 131:1 <b>sake</b> 121:13 <b>same</b> 7:4 17:6 23:20 40:23 50:20,21 51:7 53:15 55:11 57:13 59:6 64:14 66:5 67:4 70:6,17 88:11 100:12 107:18 108:18 112:9,13 121:2 122:10 124:23 125:5,14 133:20 142:11 <b>sanctions</b> 21:22,23 22:4,7,10,13 <b>satisfied</b> 22:9 <b>satisfy</b> 20:6,17 50:16 81:23 <b>saw</b> 33:24 <b>saying</b> 21:8 23:20 <b>says</b> 23:9 98:23 <b>scale</b> 136:17 <b>scenario</b> 88:19 <b>scenarios</b> 88:6 89:2 <b>schedule</b> 89:10 <b>scheduled</b> 141:4 <b>scheduling</b> 90:19 117:2 <b>school</b> 104:14 134:17 <b>schools</b> 135:22 <b>science</b> 138:21 <b>scientific</b> 3:4 138:21 <b>SCNR</b> 76:2 <b>SCR</b> 54:23 62:11,12 62:15 76:5 <b>SCRs</b> 76:6 <b>scrubbed</b> 124:2	<b>scrubber</b> 44:11,19 53:9 124:3,8 <b>Seal</b> 142:17 <b>searchs</b> 97:16 <b>season</b> 89:8,15 <b>seat</b> 130:1,13 <b>second</b> 2:18 3:17 4:20 42:14 47:21 54:20 55:11 117:22 <b>Secondly</b> 9:2 <b>section</b> 9:24 11:16 55:22 <b>sections</b> 93:20 <b>sector</b> 37:6 38:3 <b>sectors</b> 36:23 <b>see</b> 3:24 14:7 22:9 26:12 31:8 33:1 35:24 49:15 50:9 50:10 51:20 52:1,5 52:12,23 53:4,10 56:18,19 58:5,22 62:19 70:10,14,14 70:14,15 75:19 77:2 79:11 93:24 <b>seeing</b> 8:22 27:7,7 41:21 69:22 83:16 84:11 90:5 133:10 <b>seem</b> 45:10 <b>seemed</b> 103:10 <b>seems</b> 46:6 104:15 <b>seen</b> 16:2 52:2 72:23 76:6 82:10 118:16 123:8 <b>segments</b> 38:5 <b>select</b> 87:11 <b>selected</b> 55:9 57:18 59:11 <b>selection</b> 61:14 62:3 77:19 <b>selective</b> 95:10,11 117:5 <b>sell</b> 123:21,22 125:13 128:21 132:24 <b>sense</b> 11:3,4 65:6 71:24 78:1 85:2 130:12 <b>sensitive</b> 31:19 <b>sensitivity</b> 29:3,9,17 <b>sentence</b> 55:11 <b>sentences</b> 131:4 <b>separate</b> 16:7 <b>series</b> 34:16 115:11 115:12 <b>serve</b> 85:19 104:17 <b>served</b> 8:13 109:23 140:19 <b>service</b> 8:14 85:19 140:20,21	<b>sessions</b> 130:22 <b>set</b> 8:1 12:4 22:1 36:7 55:24 77:8 116:21 117:1 142:16 <b>sets</b> 8:2 <b>setting</b> 4:6 80:20 82:4,7 <b>settlement</b> 134:14 <b>several</b> 34:20 39:22 74:22 132:18 138:10 <b>severe</b> 32:2 33:24 <b>Shannon</b> 9:22 <b>share</b> 26:13 77:18 132:12 138:1 <b>shared</b> 25:21 <b>shareholders</b> 137:24 138:3 <b>shed</b> 132:12 <b>sheet</b> 6:10 50:24 <b>shops</b> 88:9 <b>shoreline</b> 28:15 <b>short</b> 20:15 38:17 42:16 48:13 50:14 63:2,7 67:17 83:6 101:18,24 110:8 118:7 125:21 139:12 <b>shorthand</b> 142:13 <b>shortly</b> 44:24 <b>short-sided</b> 105:1,18 <b>show</b> 8:8 27:23 28:17 29:11,17 31:2 32:15 49:3 53:20 58:11 64:4,9 65:5 69:8 <b>showed</b> 51:19 58:17 <b>shown</b> 49:15 50:8 51:17 53:19 58:21 59:4 76:2 <b>shows</b> 75:18 <b>shut</b> 89:6,14 <b>side</b> 105:1 132:12 <b>Siebenberger</b> 43:22 44:10,18 49:6,13 49:17,21 50:17 51:3,11 66:24 84:22 85:3,5,9,12 87:4,16,17 89:21 90:13,17 98:5,8 106:23 107:2,4,5 107:11,20 108:4,7 108:11 111:11,13 113:9,10,14,17,21 116:4,5,8,12,18 117:2 119:23,24 120:6,11,16,22 136:13 <b>Siebenberger's</b>	43:24 49:4 50:6 51:22 90:2 <b>Sierra</b> 102:22 129:6 131:10,18,19 134:3,12 <b>sign</b> 6:10 47:9 129:13 <b>SIGNATURE</b> 141:12 <b>signed</b> 142:14 <b>significant</b> 48:22 49:1 122:1 123:24 124:11 134:7 <b>significantly</b> 62:16 <b>similar</b> 31:14 33:22 48:20 50:18 59:10 65:3 113:1 <b>Similarly</b> 100:16 <b>simple</b> 21:11 <b>simplify</b> 7:5 <b>simply</b> 11:5 118:16 123:18 125:4 140:8 <b>since</b> 47:5,24 52:2,4 60:11 87:5 99:5 103:15 109:1 131:23 <b>single</b> 32:24 62:8 86:6 96:24 <b>SIP</b> 19:10 20:21 21:4 22:23 23:10 23:15,24 24:12 <b>sit</b> 103:1 116:19 <b>site</b> 28:10 48:8 68:22 71:8,15 75:2 132:20 <b>sites</b> 34:14,20 41:1 <b>situation</b> 55:23 <b>six</b> 31:17 34:17 38:11 59:6 60:10 61:11 93:4 103:14 <b>sixth</b> 93:11 <b>size</b> 115:4 <b>sizes</b> 61:23 <b>skip</b> 96:10 <b>skipping</b> 93:21 <b>slab</b> 48:24 107:14 <b>small</b> 60:11 61:10 <b>smaller</b> 81:4 <b>smart</b> 133:18 <b>smelters</b> 132:5 <b>Smith</b> 5:2,3,8,14 129:17,21 130:6,7 130:7,11,16,18,24 131:2,5 <b>SNCR</b> 54:23 55:3,9 97:3,4 117:6,12 118:1,17,20 <b>sold</b> 133:1 <b>sole</b> 121:17
--	---	--	---	--

<p><b>solely</b> 3:12 5:6  <b>solid</b> 81:2  <b>solution</b> 96:17 97:6  123:23 128:18  <b>solutions</b> 96:15  <b>some</b> 4:23 5:5,19,24  12:20 15:18,24  16:1,6,14 19:8,11  22:8 23:18 28:23  43:4 47:9,19,22,22  47:24 48:6,16 56:1  56:2 57:6,6 58:10  58:15 59:8 62:16  62:22 63:6,24 64:8  64:11,11,22,24  65:1 67:6,14,21  68:3,13,14 70:16  70:16 72:4 74:16  74:18 75:18 76:3  76:17 77:2,23,24  78:6,6 82:13 84:5  85:20 87:6,11  89:18 91:6,10,16  96:4 99:13 108:18  110:21 111:2,19  120:1,1,2,6 121:5  132:21 136:18  <b>somebody</b> 111:22  <b>someone</b> 56:1,2,3  <b>something</b> 45:10  46:19 50:7 55:21  73:2 76:18 78:3  108:2 128:5,6  132:23 133:24  <b>sometimes</b> 54:24  58:17  <b>somewhat</b> 32:10  33:22 64:14  <b>somewhere</b> 75:17  93:19  <b>soon</b> 5:12 23:16  109:22 132:7  133:14  <b>sorry</b> 8:17 11:14  14:6 20:7 44:13,15  54:1,17 66:12  67:12 90:11,24  91:2 93:6 101:12  113:8 117:23  118:10 120:5  140:6  <b>sort</b> 8:2  <b>sound</b> 5:7 138:20  <b>sounds</b> 67:15 90:6  <b>source</b> 1:8 2:7 43:12  63:21 65:4 77:8  78:22  <b>sources</b> 20:3,18  36:22 37:6,7,24  38:9 58:5 64:23</p>	<p>65:2 73:1,4 77:6  78:20 79:11 127:2  <b>Space</b> 125:17  <b>speak</b> 7:2 47:2 92:9  93:20 100:7 104:7  117:15 118:19  <b>speaking</b> 3:21 8:13  14:12 69:14  <b>special</b> 104:11  <b>specialist</b> 9:22  <b>specializes</b> 128:7  <b>specific</b> 15:24 23:3  26:7,17,24 56:6,10  56:11,14,17,21,23  62:3 68:22 70:18  73:19 74:17 75:5  75:10 76:21 77:7  80:10 85:2 93:22  111:14 115:1,12  127:4 128:1  130:22  <b>specifically</b> 3:18  16:8 24:8 67:7  75:23 77:1 83:23  117:17 127:24  139:17  <b>specifics</b> 97:18  115:14  <b>specified</b> 24:4  <b>specifies</b> 40:5  <b>speed</b> 38:6  <b>spend</b> 137:23  <b>sponsored</b> 17:17  <b>spread</b> 50:24  <b>Springfield</b> 2:17  <b>SS</b> 142:1  <b>St</b> 29:21 30:15 39:2  134:19 135:16,16  135:18,21  <b>staff</b> 3:4,11 141:7  <b>stake</b> 95:15  <b>stakeholders</b> 12:21  81:13 82:23  <b>stand</b> 105:13  <b>standard</b> 16:12,13  16:16,17 17:5,6,14  17:20,22 18:2,16  19:1,2,7,13,14,19  20:7,13 28:1,14  29:22 30:2,9,10,13  30:15,22 31:15  34:4,13,19,19 39:3  39:6,10 41:2 110:3  134:20  <b>standards</b> 17:7 18:3  18:8,11,14,20,22  19:18,24 20:8,17  20:22 30:4,6 35:3  35:11,12 36:5  104:9 138:22,23</p>	<p><b>standing</b> 83:19  139:21,22  <b>standpoint</b> 109:11  <b>stands</b> 43:10 137:7  <b>stand-alone</b> 97:6  <b>Stapper's</b> 4:13  10:10 48:10 68:16  86:9 110:12  <b>start</b> 37:4 85:4  87:15 93:24 95:7  127:13 140:9  <b>started</b> 86:1 102:22  <b>starting</b> 76:4 103:2  <b>state</b> 19:10 22:19  23:13 31:14 34:18  35:16 36:21 44:15  56:6 72:6 79:15,19  79:24 80:7,16  108:17 110:17  115:5 117:5,11  121:23 137:20  138:17 142:1,5  <b>stated</b> 39:22 47:17  66:5 75:4 97:3  113:24 124:20  <b>statement</b> 12:1  13:24 14:5 21:6,7  22:5 27:9 31:18  37:11 55:2 67:1  84:23 85:10 87:4  97:20 130:9,18  <b>statements</b> 11:23  87:22 93:23  <b>states</b> 4:5 6:3 10:7  10:15 27:18,20  34:5,7 35:5 36:9,9  46:1 55:7 60:8  66:18 121:24  138:14  <b>state's</b> 32:23  <b>statistical</b> 32:1  <b>status</b> 23:23 34:3,13  134:8  <b>statutory</b> 22:11  <b>Staudt</b> 3:20 10:2  11:4,9 25:4,16,22  25:24 26:13 42:6  46:8,18,21,22,24  47:1,7,12 53:23  54:2,5,7 55:5,20  56:13,16,24 57:5  57:16,17,21,21,23  59:14 60:15 61:1  64:3 65:12,17,20  65:24 66:12,19  67:7,22 68:2,7,24  69:5,10,16 70:3,7  70:24 71:5,10,14  71:23 72:14 73:15  74:5,9,14,24 75:8</p>	<p>75:12 76:24 77:15  77:16,21 78:16  83:13,17,17 88:4  94:12,14,22 96:14  97:16 108:19  115:13,24 116:6  116:16  <b>Staudt's</b> 45:14  61:17 84:2 87:18  88:1 89:6 91:8  92:15 108:14  109:12 114:1  117:10,24,24  118:4,11,16  <b>stay-at-home</b>  102:21  <b>steel</b> 4:5 6:3 10:7,15  10:16 46:1 47:14  48:2 50:21 51:8,23  53:3,18,20 57:7  66:18 67:8 79:2  80:5 84:5,18 88:9  88:14 91:9 92:12  92:24 94:15 96:2,5  96:18 98:11,16,19  98:23 100:5,18,22  101:2 109:6,7,8,14  111:6 112:4,9  113:4,12,19 114:7  114:9,14 116:24  118:23 119:7,13  119:18 121:14  123:10,17 124:23  125:1 128:19  132:6 134:6,22,23  135:6 136:3,12,23  137:2  <b>Steel's</b> 52:23 89:3  94:10 97:11  107:17  <b>step</b> 15:16  <b>Steven</b> 130:7  <b>still</b> 12:13 13:6  15:17 19:3 22:7  23:12 26:15 41:3  90:14  <b>stimulus</b> 136:20  <b>stopped</b> 103:6  <b>stopping</b> 106:20  <b>Street</b> 1:21  <b>stricter</b> 133:12  <b>stringent</b> 57:19  <b>studies</b> 69:2 73:9  127:2 138:10  <b>study</b> 28:6 41:9,13  69:6,7,19 92:12  93:21 94:15 96:1  98:11 121:14  138:16  <b>sub</b> 24:1,4,7</p>	<p><b>subject</b> 23:24 56:22  56:23 80:16  117:13 129:20  <b>subjective</b> 62:4  <b>submission</b> 52:23  <b>submit</b> 7:15,21 21:4  108:2 132:17  133:5 138:10  <b>submittal</b> 21:9,16  <b>submittals</b> 87:19  <b>submitted</b> 10:16  15:13 21:21 25:8  34:7 59:1 99:2,9  99:22 100:19  109:8,20 120:20  121:14  <b>submitting</b> 84:6  100:10  <b>SUBSEQUENT</b>  38:18 42:17 63:3,8  67:17 83:7 101:24  118:8 125:22  139:13  <b>substance</b> 9:10  <b>substantive</b> 10:23  99:15  <b>success</b> 95:17  <b>successfully</b> 97:12  <b>sufficient</b> 22:12  109:19  <b>suggest</b> 123:9  <b>suggested</b> 68:17  94:17 138:17  <b>suggesting</b> 96:21  <b>suggestion</b> 67:10  <b>suggests</b> 52:14  <b>suitable</b> 92:13 94:23  112:19  <b>suite</b> 18:9  <b>sulfurization</b> 89:7  <b>summarize</b> 47:6,13  62:1 96:7 99:16  <b>summarizes</b> 27:15  <b>summarizing</b> 91:17  <b>summary</b> 11:20  27:10 28:21 42:8  46:17 61:19 84:23  85:10 93:23 96:13  <b>summer</b> 103:17  <b>summers</b> 31:21  33:23 103:15  <b>sunset</b> 23:16  <b>sunsetting</b> 23:18  <b>supplemental</b>  107:18 109:9  <b>supplements</b> 83:21  <b>supplier</b> 48:5  <b>suppliers</b> 68:13  94:20 95:19  <b>supply</b> 128:9,10</p>
--	---	--	--	--

<p><b>supplying</b> 86:24  <b>support</b> 17:19 19:22  21:14 25:5 31:23  33:17 54:10,11,13  56:19 57:13 59:7,9  60:12,24 73:10  80:23 94:8,19  130:23  <b>supported</b> 109:13  <b>supporting</b> 6:1  10:16 21:5 47:21  59:24  <b>supportive</b> 61:19  <b>supports</b> 27:16  <b>sure</b> 9:3 56:13,20  60:4 65:12,24  73:17 76:19 78:15  87:19 105:24  106:1 108:8  110:11 113:11  118:15 119:17  136:6  <b>Surely</b> 5:15  <b>surprise</b> 138:15  <b>surprising</b> 33:21  <b>surrounded</b> 132:4  <b>suspect</b> 94:16  <b>swear</b> 11:5 85:7  <b>swings</b> 127:10  <b>switch</b> 56:4  <b>switching</b> 55:18  <b>sworn</b> 6:20 11:10  84:22 85:13 86:20  106:23 129:19  <b>system</b> 7:3 122:11  <b>systems</b> 97:3 118:2  118:18  <b>system's</b> 68:4</p> <hr/> <p style="text-align: center;"><b>T</b></p> <p><b>table</b> 48:19,20 58:4  58:16,22 60:5,10  63:16,24 70:14  <b>tables</b> 42:19 45:13  50:19,23 57:24  58:1 64:4,19,21  65:9 69:13  <b>tactic</b> 133:18  <b>tailpipe</b> 38:14  <b>take</b> 2:20 6:9 7:7  9:11 11:5 22:2  38:16 42:14 48:12  57:16 66:21 67:11  67:14 80:17 84:8  88:22 89:12  101:18  <b>taken</b> 1:13 49:4  129:8,15 142:12  <b>takes</b> 94:1 139:18  <b>taking</b> 57:5</p>	<p><b>talk</b> 58:2 82:15,16  105:13  <b>talked</b> 68:3 81:14  <b>talking</b> 7:4 43:5  56:14 65:17 75:16  <b>tar</b> 137:7  <b>targeted</b> 136:21  <b>targets</b> 36:7  <b>task</b> 7:5  <b>taxes</b> 73:24  <b>teach</b> 106:2  <b>Team</b> 131:19  <b>technical</b> 3:4 21:14  27:19 28:17 29:8,8  29:11 31:23 33:8  54:10,10,13 57:13  59:7,9 60:24 64:16  73:10 80:23  100:17 106:22  107:9,17 128:14  133:22  <b>techniques</b> 54:21,21  54:22 56:12 58:8  59:24  <b>technologies</b> 10:3  58:13 60:2 64:2,5  64:7 75:11 76:22  77:9 79:5,10 82:11  92:19 94:21 95:21  95:22 97:10 111:2  <b>technology</b> 17:1  20:11 56:10 59:22  64:15 65:3,5 75:5  75:6,6,8,14,19,23  76:13 77:4,7 94:9  97:7 104:24 105:3  128:23 136:15  <b>tell</b> 37:23 82:3  <b>telling</b> 103:22,22  104:1  <b>tend</b> 33:20 57:19  <b>tentatively</b> 43:19  44:7  <b>term</b> 75:5  <b>terms</b> 16:21 33:12  58:1 62:24 79:4  95:12  <b>terribly</b> 103:17  <b>Terrific</b> 129:22  130:17  <b>test</b> 120:14  <b>testified</b> 11:10 51:3  56:7,24 85:13 91:6  94:5 98:5 107:7  109:15 119:2  136:14  <b>testify</b> 4:9 5:9,18 6:8  129:14  <b>testifying</b> 131:7  <b>testing</b> 120:2,2</p>	<p><b>tests</b> 119:13,19  120:19 121:6  124:22  <b>Texas</b> 138:2  <b>thanks</b> 130:17 141:6  <b>their</b> 5:18,18 22:22  26:17 40:13,24  47:17 49:7 50:22  74:6 79:6 94:21  96:15,16 107:14  111:8 112:4 113:5  113:13 114:10  121:4 123:11,16  123:18,23 125:2  135:10,23 136:5,9  136:10,11,18  137:3,9,12,23,24  138:5  <b>Therriault</b> 140:17  <b>they'd</b> 85:20  <b>thing</b> 23:20 99:17  106:2 121:2  133:20 139:1  <b>things</b> 12:17 21:16  47:24 73:22,23,24  74:16 77:2 99:17  <b>think</b> 12:22 13:21  13:21,23 15:7,12  15:14,16 16:20,22  16:22 17:23 20:9  21:17,17 22:8 23:6  24:22 26:20 46:17  55:6,21 58:11  59:16,17,17 63:11  67:12,20 77:14  79:7,7,17,19,22,23  80:2,12,13 81:2,23  82:3,8,16 83:3  85:4 88:3,4,23  89:1,5,13,18 91:17  97:4 103:21  104:10 108:4,8  116:22 120:1,17  120:24 121:5  129:17,22 130:1,3  136:6 138:16  139:5  <b>thinking</b> 21:21  105:5,5  <b>third</b> 2:15 12:7  55:11 93:4  <b>Thomas</b> 3:1  <b>thorough</b> 132:1  <b>though</b> 24:3 40:19  70:20 88:4 114:24  <b>thought</b> 103:17  121:1 138:18  <b>thoughts</b> 67:2 71:21  <b>thousand</b> 52:17  <b>three</b> 3:23 4:2,11</p>	<p>15:23 17:14 19:10  22:17 23:5 49:15  72:6 96:16 104:10  129:16 135:13  <b>threshold</b> 75:15  76:6  <b>through</b> 14:6 25:2  25:23,23 34:3 52:7  52:8,10 59:19,19  66:20 79:24 83:20  84:2,14 97:16  132:19 141:1  <b>throughout</b> 64:20  <b>tie</b> 15:21  <b>tied</b> 17:4,5  <b>tightened</b> 30:4  <b>tighter</b> 122:15  <b>Tim</b> 2:5  <b>time</b> 6:16,18 7:4  10:12,17 12:13  13:13 15:3 19:8,11  20:1,12,16 27:8,11  38:8 42:6 46:17  47:10 48:13 53:8  54:4 67:4,14 69:24  87:21 88:11,16  89:8,18 95:4 98:7  103:6,8,16 104:13  106:8,9 107:9,19  109:19 110:8,10  111:21 116:22  135:24 136:14  139:23 141:8  <b>timeline</b> 89:23  <b>times</b> 56:8 73:4  74:22 103:23,23  103:23  <b>titled</b> 8:6,6 44:1  <b>today</b> 2:15,22 4:19  7:1 9:9,21 14:5,16  14:24 19:21 28:7  42:3 45:8 66:19  67:1,4 75:4 80:5  84:6,10 85:21  86:21 88:12 90:2  91:11,19 94:7  97:20 104:3 105:4  105:11,20 106:4  106:10,13 108:13  109:24 110:1  123:15 126:13  132:13,15 133:4  139:16 140:1  <b>today's</b> 25:3  <b>together</b> 15:22  35:15 90:18  116:20  <b>tomorrow</b> 105:12  <b>ton</b> 62:16 72:12  75:17 76:8</p>	<p><b>top</b> 31:17 34:17 37:7  111:7 120:11  129:12  <b>total</b> 44:1 49:5,14,15  49:22 50:9 52:6  73:13,16,17,18  122:22 138:15  <b>touching</b> 142:9  <b>toured</b> 136:4  <b>track</b> 6:15  <b>trade</b> 23:21  <b>trading</b> 23:8  <b>traffic</b> 38:6,7  <b>transcribing</b> 142:13  <b>transcribed</b> 7:1  <b>transcript</b> 7:6,9  128:5 139:22,24  140:1  <b>transport</b> 28:16  <b>transportation</b> 38:4  <b>travels</b> 141:9  <b>treated</b> 71:8  <b>treatments</b> 127:9  <b>trend</b> 51:19 52:4,12  <b>tried</b> 62:1 81:24  <b>trillion</b> 50:13  <b>trim</b> 63:12  <b>true</b> 17:13 30:3 33:2  70:4 110:19,20,21  116:15  <b>try</b> 16:19 44:21  79:22 80:9 92:17  123:22 137:19  <b>trying</b> 23:2 89:10  101:12 112:18  136:1  <b>TSC</b> 69:3,9,11  <b>TSC's</b> 70:21  <b>TSO</b> 75:18 77:16  <b>tube</b> 62:8  <b>turn</b> 46:20 95:3  <b>turnarounds</b> 13:1  <b>turnkey</b> 95:6  <b>two</b> 2:18 7:7,12 10:3  13:12 15:22 27:13  27:22 28:11,15  31:20 40:21 47:18  52:20 61:18,19  67:9 101:7,15  102:21 104:2  110:16 118:6  130:12 134:13  136:10 138:1,16  <b>type</b> 57:9 60:12 77:4  102:15  <b>types</b> 60:1 61:22  77:5 78:20 81:10  <b>typically</b> 73:22  121:8  <b>typo</b> 69:10</p>
---	--	--	---	--

<b>typos</b> 91:18 93:3,14	<b>upgrade</b> 122:11	84:5,17 89:3 91:9	67:24 72:16,17	129:18 132:13
<hr/> <b>U</b> <hr/>	<b>upgrades</b> 122:17	92:12,24 94:10,15	73:2 79:20 83:11	<b>wants</b> 85:22
<b>U</b> 24:1,4,7	<b>uphold</b> 110:13	96:2,5,18 97:10	91:20 93:15 104:1	<b>warranties</b> 68:5
<b>Uh-huh</b> 108:11	<b>upper</b> 63:22	98:11,16,19,23	104:9 106:14	<b>wasn't</b> 68:17,17
<b>ultimately</b> 128:18	<b>urged</b> 135:11	100:5,18,22 101:2	124:11 127:19,20	103:17 114:6
<b>ultra</b> 25:6	<b>URS</b> 48:3 53:16	107:17 109:6,7,8	128:3 132:4	<b>waste</b> 127:9 132:6
<b>unable</b> 132:16	92:11,23 94:4,15	109:14 112:4,9	133:18,21 135:7	<b>water</b> 62:8 63:11
<b>unambiguous</b> 140:9	94:17,20 95:4,12	113:4,12,19 114:6	135:15 137:5	<b>way</b> 3:2 9:15 10:23
<b>uncertain</b> 16:15	95:13,17 97:2,8	114:9,14 116:24	140:3	23:6 50:12 71:24
57:15	98:7 100:22	119:13,18 121:14	<b>Vetterhoffer</b> 9:21	73:3 75:13 76:14
<b>unclear</b> 128:13,14	110:17,24 111:2	123:10,17 124:23	98:2,2,18,22 99:4	88:17 99:21
<b>unconvincing</b> 47:18	114:14 119:3,4,8	125:1 128:19	99:8,16,21 100:15	<b>ways</b> 81:14
<b>uncovered</b> 109:11	120:24 121:16	134:6,23 136:3	101:1,18 106:15	<b>wear</b> 111:21
<b>under</b> 7:24 8:23	122:4,10,21,22	137:2	106:19 107:5,16	<b>web</b> 7:18 28:10 75:2
9:15 10:23 11:15	125:12,13 126:19	<hr/> <b>V</b> <hr/>	107:23 108:6,10	132:20 140:21
22:22 23:12 24:12	126:22,23 127:1	<b>valuable</b> 104:5	108:12,17,21	141:2
46:6 47:18 51:9	127:12 128:7,16	<b>value</b> 127:11	109:1,7,15 110:5,7	<b>week</b> 38:8 138:13
53:4,12 76:3 88:6	<b>URS's</b> 94:22	<b>values</b> 34:22 72:22	110:15,21,24	<b>weeks</b> 132:18
88:19,20 89:2	<b>usage</b> 44:2 48:7,7	107:12,12,21	111:4,10,15,19,24	138:16
91:22 99:18,23	50:11 51:12,19	108:5	112:3,8,13 113:3,8	<b>weight</b> 27:20 29:6
140:22	52:2,21 53:18	<b>variety</b> 27:19 29:7	113:11,15,18,23	32:18 39:21 40:11
<b>understand</b> 4:17	58:18	64:23 65:2 66:2	114:13,17,22	<b>welcome</b> 2:3
24:10 39:16 46:10	<b>use</b> 33:4,8,9 35:18	81:1 95:22 97:13	115:3,16,20,23	<b>well</b> 6:4 12:2,16
66:22 81:3 82:13	36:6 40:4,7 50:14	127:2,13	116:3,9,14,24	17:24 24:5 37:19
88:3 104:16 135:8	51:2 52:20 55:13	<b>various</b> 1:8 2:7	117:4,10,16,22	49:24 55:5 56:16
<b>understanding</b> 5:3	64:6,7 66:6 70:12	36:15 37:6 61:21	118:12,15,21	57:5,23 59:14 61:1
24:7,9 32:13 39:8	70:12 71:15 72:15	61:22,22 75:19	119:2,12,17,22	61:16 63:14 64:14
40:22 75:13 76:13	72:19 82:6 101:20	80:8 126:20 127:5	120:4,8,13,18	69:17 70:4,7,24
80:6 92:18 110:2	118:1,17 130:2	140:18	121:12,18,21	71:14 74:14 75:8,9
<b>undertook</b> 38:2	136:10 137:2	<b>vary</b> 114:12	122:9,20 123:2,24	77:15,21 80:22
<b>Unfortunately</b>	<b>used</b> 33:17 35:2	<b>vendor</b> 93:22,22	124:13,17 125:6	82:17 91:11
133:2	38:11 49:8,9,10,21	96:20 111:1,3	125:10,20,24	102:11,22 107:20
<b>union</b> 135:7	49:23 50:5,21 51:4	113:16 123:8,21	126:7,11	108:4 111:1 113:9
<b>unique</b> 55:24 73:2	51:16 52:14,15,16	124:3 125:9	<b>via</b> 97:16	113:16 120:24
80:4,6,9 82:14	52:18,19 53:18	128:15	<b>viability</b> 105:6	137:5
83:1	55:6 63:18 70:15	<b>vendors</b> 68:3,5,7,21	<b>view</b> 71:23 116:23	<b>well-versed</b> 105:15
<b>unit</b> 57:9,9 59:8	74:5,11 75:19 76:1	95:1 96:1,6,9,14	<b>viewed</b> 79:4 99:23	<b>went</b> 103:5,12,16
62:10 68:23 70:6	77:5 81:10 82:9	96:16 97:17	140:4	<b>were</b> 2:1 5:5 6:3,5
79:15,19 80:7	108:5 117:6	108:19 109:12	<b>visit</b> 103:7,8	11:10 12:13 14:3
<b>United</b> 4:5 6:3 10:7	120:19 121:3,6,7,9	110:19,22 112:6	<b>vital</b> 104:17,19	26:18 30:24 31:2
10:15 46:1 66:18	137:10 138:23	113:20 114:1	<b>VOC</b> 29:11	34:19 36:9,18,19
138:14	<b>useful</b> 7:20 58:10,11	119:5 122:8	<b>VOCs</b> 29:10	37:20 38:18 39:23
<b>units</b> 23:23 24:1	17:18 18:23 19:3,4	123:15	<b>voice</b> 93:18	39:23 40:1,3,11
65:10 76:9 78:21	19:7,22 21:6,11,16	<b>Vera</b> 10:4	<b>volume</b> 101:11	42:17 52:18 57:18
78:24 79:3,4,24	22:9 30:4 39:24	<b>verify</b> 97:8	<b>volunteer</b> 131:24	58:12,13 59:18,18
80:16 81:4,18,20	74:2,7	<b>version</b> 28:1,13 30:2	<hr/> <b>W</b> <hr/>	59:21,21 60:24
127:5	<b>uses</b> 50:17,20	35:11 74:23 75:2	<b>wait</b> 46:3	62:12 63:3,8 67:18
<b>unless</b> 46:18 131:6	<b>using</b> 29:3 32:14	98:19 100:1	<b>waiting</b> 46:23 131:3	67:20,21 69:2,6
139:7 141:4	33:20 34:21,24	<b>versus</b> 65:13,16 72:9	<b>waive</b> 15:3	72:22,22 77:18,23
<b>unlikely</b> 122:1	40:8 51:7 52:6,7	124:19	<b>WAIVED</b> 141:12	78:8,9,21 79:6,12
<b>unnecessary</b> 133:12	52:24 53:15 63:14	<b>very</b> 4:24 5:9,9,10	<b>want</b> 2:20 7:7 9:2	79:12 83:7,21
<b>unreasonable</b> 138:8	64:14 78:2 96:15	5:23 9:11 10:20	28:7 35:18 43:19	85:12 88:8 90:18
<b>until</b> 14:20 46:4	101:19 124:1	11:1 12:2 14:1	46:18 53:14 60:17	91:17 92:11 97:11
103:19	<b>utilities</b> 37:7	15:8,10 18:9 19:1	71:15 76:11 82:4	98:6 99:15,18
<b>un-scrubbed</b> 124:7	<b>utilizes</b> 72:1	31:19 32:2 35:20	85:15 90:7 92:2	102:1 112:22,24
124:10	<b>U.S</b> 10:16 47:14	35:22 38:2 42:24	102:3 105:23	113:3 114:8
<b>updated</b> 74:22	48:2 50:21 51:8,23	42:24 45:7,16 47:6	132:1 133:8	116:22 118:8
109:2,10	52:23 53:3,18,20	48:20 50:18 51:7	<b>wanted</b> 6:4 13:3	120:9,18 122:24
<b>updates</b> 104:1	57:7 67:8 80:5	53:5 65:3 67:5,16	51:13 92:15 128:6	125:22 126:12
				132:20 133:3



137:18 139:13 142:12 <b>weren't</b> 26:9,18 <b>west</b> 28:2 <b>western</b> 28:4,5,15 41:4,9,12 <b>we'll</b> 13:7 67:13 84:8 87:2 <b>we're</b> 12:3,8,14 15:17 18:21 21:21 53:17,17 75:13,13 76:14 81:6,12 82:22 88:20 101:19 106:24 117:3 125:15 128:22 141:11 <b>we've</b> 13:5 16:2,23 21:8 22:4,4 25:21 25:21 26:1 33:22 42:6 56:7 57:5 63:18 76:19 77:10 80:3,12,13,24 81:8 81:12,12,14,15,24 87:3 88:7,24 124:20 127:7 129:22 <b>WHEREOF</b> 142:16 <b>while</b> 5:18 44:21 58:10 91:24 96:20 <b>whole</b> 17:8 <b>WI</b> 63:11 <b>Wibell</b> 70:12 <b>wide</b> 72:11 73:1,4 79:5,10 127:2 <b>widely</b> 97:2 112:20 <b>willing</b> 82:15,15,22 90:14 116:10 120:13 <b>willingness</b> 93:18 <b>windows</b> 122:15 <b>Wisconsin</b> 27:19 <b>wise</b> 67:10 <b>wish</b> 4:9,18 5:4,19 6:8 8:3 11:19 14:18 27:13 46:19 84:1 94:11 110:5 129:14,24 139:9 <b>wished</b> 84:22 91:10 <b>wishes</b> 9:14 54:4 98:1 <b>witness</b> 25:3 142:16 <b>witnesses</b> 3:23 4:2,9 4:12 5:20 11:23 142:10,11 <b>wondering</b> 90:14 <b>Wood</b> 25:7 134:5,21 137:6 <b>work</b> 12:15 13:7,12 15:15 24:9 81:9 95:15 104:13	112:5 130:7 133:9 135:11 136:19 <b>worked</b> 38:3 104:22 135:6 <b>workers</b> 134:15 136:19,24 <b>working</b> 12:14 13:6 23:7 24:22 57:21 76:19 82:22 105:20 109:5 130:13,16,21 134:15 135:2 <b>works</b> 79:15 80:12 81:23 82:17 94:10 97:11 111:6 <b>world</b> 30:17 88:24 95:22 <b>world's</b> 104:5 <b>worried</b> 133:19 <b>worries</b> 43:16 <b>worst</b> 135:17 <b>wouldn't</b> 60:17 112:5 <b>wrap</b> 53:22 84:10 <b>wrapped</b> 5:13 <b>writing</b> 132:21 133:6 <b>written</b> 28:4 132:17 140:13 <b>wrote</b> 12:13 13:14	<b>0.05</b> 51:9 <b>0.074</b> 53:11 <b>0.083</b> 53:5 <b>0.113</b> 96:18 <b>03</b> 124:5 <b>05</b> 28:3 34:21,22 37:1,5 <b>06</b> 34:9 65:16,22,22 <b>07</b> 34:9 62:21 <b>08</b> 62:22 63:14,19 82:5,7,12,16 117:7 <b>084-002797</b> 1:20	<b>2.3</b> 18:16 <b>2.5</b> 16:13,16 17:2,5 17:22 18:24 29:5 34:2,4,13,18,22 35:2 39:3,10 134:21 135:1 138:23 <b>20</b> 43:8,17 45:20 48:19,19 49:3 51:22 66:20 67:20 73:3 83:20 84:2,13 94:13 <b>20th</b> 3:18 10:10 108:15 109:1 <b>2009</b> 10:10 <b>2001</b> 52:3,5 <b>2002</b> 31:14 32:2,2 32:10,14 33:24 <b>2005</b> 31:24 32:11 33:14,20 34:11,15 34:24 36:15 <b>2006</b> 16:16 29:23 34:10,18 35:11 <b>2007</b> 34:11,15 <b>2008</b> 2:13,14,17,19 16:16 18:24 25:9 29:23 30:4,5 34:3 34:6,7,19 44:10,18 52:17,21 59:1 94:6 98:4,13,17 99:5 <b>2009</b> 1:13 3:18 9:3 24:2 26:21 41:14 48:4,6 94:13 98:24 100:21 130:20 139:20 142:8,18 142:21 <b>2010</b> 19:9 <b>2012</b> 30:20 <b>2013</b> 19:11 <b>21</b> 43:19 45:20 50:18 60:10 <b>21st</b> 28:6 41:13 <b>211</b> 1:9 2:8 <b>217</b> 1:9 2:9 <b>22</b> 44:6 45:20 51:18 <b>22nd</b> 48:6 100:21 <b>23</b> 44:14 45:21 <b>23rd</b> 139:20 <b>24</b> 44:14 45:21 66:20 83:20 84:2 84:14 109:18 <b>24-hour</b> 16:16 19:1 <b>25</b> 28:18 86:10,18 86:23 114:3 <b>25th</b> 59:1 <b>26</b> 142:21	<b>3rd</b> 140:1 <b>3,000</b> 75:16,16 <b>30</b> 137:7 139:21 <b>30th</b> 6:4 9:3 130:20 <b>35</b> 1:9 2:8 93:5,8 114:3 <b>35-day</b> 44:11 <b>3500</b> 75:16 <b>36,000</b> 51:5 <b>36,180</b> 50:3
		<hr/> <b>1</b> <hr/>	<hr/> <b>4</b> <hr/>	
		<b>1</b> 58:24 <b>1.4</b> 50:13 51:24 <b>1.5</b> 65:16 <b>10</b> 52:7,8,10 100:2 <b>10th</b> 2:19 7:10 8:24 10:14 94:6 107:6 120:21 142:17 <b>102424</b> 11:16 <b>1030</b> 115:11 <b>11</b> 1:21 50:2 51:23 52:7,11 53:21 57:6 67:13 92:14,19 94:9,21,24 96:22 97:10 111:5 115:6 115:21 117:7 119:14,19 123:3 136:7 <b>12</b> 50:2 51:23 52:7 52:11 53:21 57:6 63:21 67:11 92:14 92:19 94:10,22,24 97:10 111:5 115:6 115:21 117:5,7 119:14,20 120:2 123:3 136:7 <b>13</b> 104:19 105:21 <b>13th</b> 14:21 <b>130</b> 124:3 <b>14th</b> 2:17 <b>14-day</b> 9:6 14:20 <b>15</b> 7:11 8:5,20 65:18 73:3 <b>16</b> 7:12 8:6,20 <b>18</b> 103:5 <b>19</b> 41:18,22 98:24 <b>19th</b> 7:23 26:21 48:4 <b>1900</b> 124:7 <b>1994</b> 58:9,12 59:23 <b>1997</b> 16:12 17:4,5 17:14,19,21 18:2 19:19 27:24 28:13 29:21 30:1,21 35:10 39:3	<b>2009</b> 10:10 <b>2001</b> 52:3,5 <b>2002</b> 31:14 32:2,2 32:10,14 33:24 <b>2005</b> 31:24 32:11 33:14,20 34:11,15 34:24 36:15 <b>2006</b> 16:16 29:23 34:10,18 35:11 <b>2007</b> 34:11,15 <b>2008</b> 2:13,14,17,19 16:16 18:24 25:9 29:23 30:4,5 34:3 34:6,7,19 44:10,18 52:17,21 59:1 94:6 98:4,13,17 99:5 <b>2009</b> 1:13 3:18 9:3 24:2 26:21 41:14 48:4,6 94:13 98:24 100:21 130:20 139:20 142:8,18 142:21 <b>2010</b> 19:9 <b>2012</b> 30:20 <b>2013</b> 19:11 <b>21</b> 43:19 45:20 50:18 60:10 <b>21st</b> 28:6 41:13 <b>211</b> 1:9 2:8 <b>217</b> 1:9 2:9 <b>22</b> 44:6 45:20 51:18 <b>22nd</b> 48:6 100:21 <b>23</b> 44:14 45:21 <b>23rd</b> 139:20 <b>24</b> 44:14 45:21 66:20 83:20 84:2 84:14 109:18 <b>24-hour</b> 16:16 19:1 <b>25</b> 28:18 86:10,18 86:23 114:3 <b>25th</b> 59:1 <b>26</b> 142:21	<hr/> <b>5</b> <hr/>
		<hr/> <b>2</b> <hr/>	<hr/> <b>6</b> <hr/>	
		<hr/> <b>3</b> <hr/>	<hr/> <b>7</b> <hr/>	
		<b>2nd</b> 4:4	<b>60</b> 50:11 93:12 114:5 <b>62226</b> 1:22	
			<hr/> <b>8</b> <hr/>	
			<b>71</b> 7:13 8:6 <b>75</b> 30:7,13	
			<hr/> <b>9</b> <hr/>	
			<b>830,400</b> 49:16 <b>85</b> 30:6	
			<b>9th</b> 2:12,18 26:7,10 26:14 98:4 100:2 107:6 120:21 <b>93</b> 65:21 124:9 <b>94</b> 65:21	