```
0001
 1
              ILLINOIS POLLUTION CONTROL BOARD
 2
     IN THE MATTER OF:
                                       )
 3
                                       )
    PETITION OF CITGO PETROLEUM
 4
                                       )
 5
    CORPORATION AND PDV MIDWEST
                                       ) AS 08-8
 6
    REFINING, L.L.C. FOR AN ADJUSTED ) (Adjusted
 7
    STANDARD FROM AMMONIA NITROGEN
                                      )
                                          Standard -
    DISCHARGE LEVELS AT 35 ILL. ADM.
 8
                                          Water)
                                      )
 9
    CODE 304.122
                                       )
10
11
        PROCEEDINGS had in the above-entitled cause
12
         on the 20th day of August, 2008, 9:00 a.m.
13
14
15
16
17
18
19
20
21
22
23
2.4
0002
1
    PRESENT:
 2
 3
         SONNENSCHEIN, NATH & ROSENTHAL, LLP,
 4
         7800 Sears Tower
 5
        233 South Wacker Drive
 б
        Chicago, Illinois 60606-6404
 7
         312-876-7934
 8
         MR. JEFFREY C. FORT,
         MR. ARIEL J. TESHER,
 9
              appeared on behalf of the Petitioner,
10
11
              Citgo Petroleum Corporation;
12
13
        ILLINOIS ENVIRONMENTAL PROTECTION AGENCY,
14
        1021 North Grand Avenue East
15
        P.O. Box 19276
16
        Springfield, Illinois 62794-9276
         217-782-5544
17
         MR. JASON R. BOLTZ,
18
19
         MR. DARIN E. LeCRONE, P.E.,
20
         MR. ROBERT G. MOSHER,
21
              appeared on behalf of the Respondent;
22
23
24
0003
    PRESENT (cont'd.):
 1
 2
 3
         ILLINOIS POLLUTION CONTROL BOARD,
 4
         100 West Randolph Street
 5
         Suite 11-500
 6
         Chicago, Illinois 60601
```

```
7
       312-814-3956
       MR. ANAND RAO,
8
9
       MS. ALISA LIU, P.E.,
10
           appeared on behalf of the IPCB;
11
12
       OFFICE OF THE ATTORNEY GENERAL
13
       STATE OF ILLINOIS,
14
       69 West Washington Street
15
       Suite 1800
16
       Chicago, Illinois 60602
17
       312-814-3374
18
       MR. ZEMEHERET BEREKET-AB,
19
           appeared on behalf of the Attorney General.
20
21
22
23
   REPORTED BY: SHARON BERKERY, C.S.R.
24
             CERTIFICATE NO. 84-4327.
0004
1
                  INDEX
2
                                    Page
3
   OPENING STATEMENT FOR PETITIONER.....13
4
   OPENING STATEMENT FOR RESPONDENT......18
5
6
   WITNESS
                        DX
                             CX
                                 RDX
                                       RCX
7
   BRIGITTE POSTEL
8
       By Mr. Boltz.....184
9
10
   JAMES E. HUFF, P.E.
11
       By Mr. Fort.....78
12
       By Mr. Boltz.....175
13
   ROBERT M. STEIN
       14
15
       16
   DARIN E. LeCRONE
17
       By Mr. Boltz.....215
18
19
       20
21
22
23
24
0005
1
                EXHIBITS
2
3
   NUMBER
                     MARKED FOR ID RECEIVED
4
   Petitioner's Exhibit
5
     Exhibit Nos. 1-12.....116
     Exhibits Nos. 13-15.....122
б
7
8
   Respondent's Exhibit
9
     Exhibit No. 1.....216
10
     Exhibit No. 2.....220
11
     Exhibit No. 3.....223
12
13
```

15 16 17 18 19 20 21 2.2 23 24 0006 1 THE HEARING OFFICER: Good morning, 2 everyone. My name is Bradley Halloran, I'm a 3 hearing officer with the Illinois Pollution 4 Control Board. 5 I'm also assigned to this matter 09:03:23 6 entitled In the Matter of Petition of Citgo 7 Petroleum Corporation and PDV Midwest 8 Refining, LLC for an adjusted standard from 9 ammonia nitrogen discharge levels at 35 Illinois Administrative Code 304.122. It's 10 09:03:37 docketed on our docket as AS08-8. 11 Today is August 20th, 2008 12 13 approximately 9:02 a.m. I do want to note that I don't see any members of the public 14 15 here not affiliated with any of the parties; 09:03:56 16 is that correct? 17 MR. FORT: Correct. THE HEARING OFFICER: Thank you. 18 19 We are going to run this hearing 20 pursuant to Section 104, Subpart D and 09:04:04 21 Section 101 Subpart F of the Board's 22 Procedural Rules. I also note for the record that this hearing was properly noticed up. 23 24 The hearing it intended to develop a record 0007 for Illinois Pollution Control Board. 1 2 I won't be making the decision, it 3 will be the four members of the Board who do 4 that. I'm only here to rule on evidentiary 5 matters and make sure that everything is in 09:04:28 6 order. 7 At this point, I'd like to have 8 the parties introduce themselves. Mr. Fort, 9 Mr. Tesher? 10 MR. FORT: Jeffrey Fort, Sonnenschein, 09:04:35 11 Nath, and Rosenthal on behalf of the 12 Petitioner, Citgo. And with me is my colleague, Ariel Tesher, also of 13 14 Sonnenschein. 15 THE HEARING OFFICER: Thank you, sir. 09:04:45 16 Mr. Boltz? 17 MR. BOLTZ: Yes. Jason Boltz, that's 18 B-O-L-T-Z. I am assistant counsel with the 19 Illinois EPA. Accompanying me today is 20 Mr. Darin LeCrone, also of the Agency, as 09:04:53

14

well as Mr. Bob Mosher. We are here on 21 22 behalf of the Agency pursuant to its 23 requirements to participate in the hearings. I believe it's 29.1 of the Illinois 24 8000 1 Environmental Protection Act. Thank you. 2 THE HEARING OFFICER: Thank you, 3 Mr. Boltz. 4 I see an Assistant Attorney 5 General here. Sir, would you like to 09:05:13 6 introduce yourself? 7 MR. BEREKET-AB: Aemeheret Bereket-Ab, 8 on behalf of the people of the Attorney 9 General's Office. 10 THE HEARING OFFICER: Okay. Thank 09:05:21 11 you, sir. 12 A brief note, on August 14th, 13 2008, the petitioner filed a -- it's entitled 14 a Motion to Exclude Unfiled IEPA Testimony. 15 Mr. Tesher and Mr. Fort, would you 09:05:36 16 like to elaborate on that, please? MR. FORT: Well, Your Honor, we have a 17 18 schedule here that calls for prefiled testimony in this matter. We filed our 19 20 testimony on August 1st, as required. 09:05:47 21 The Agency did not. And that was 22 countered to our expectations that the parties were going to do so pursuant to 23 24 your -- we don't know what is going to happen 0009 1 here without having that prefiled testimony. 2 It was a common courtesy, it was 3 something that, even before it became 4 customary with the Board to do prefiled 5 testimony, that that narrative testimony was 09:06:16 6 prepared and given to the other side a few 7 days ahead of time, at a minimum, so... 8 THE HEARING OFFICER: Thank you, 9 Mr. Fort. 10 09:06:25 I do note that the IEPA has not responded, but they did have 14 days, and 11 it's August 14th. Mr. Boltz, would you like 12 13 to address this motion now? 14 MR. BOLTZ: Yes, Your Honor. Thank 15 09:06:37 you. 16 Certainly, Your Honor, the Agency 17 did not respond by way of providing -prefiling testimony. But if you'll note, and 18 correctly, the July 9th order, by yourself, 19 20 sir, does not require, necessarily, the 09:06:50 21 issuance of prefiling testimony. 22 That's an opportunity. It's an 23 opportunity to present evidence not under 24 duress, not under stress, not under having 0010 objections being elicited at the time the 1 2 testimony is offered.

3 4 5 6 7 8 9	Your Honor, pursuant to 101.626 of the hearing rules, Subsection D, it provides for the allowance of written testimony. Now again, that's an allowance, that's a privilege, it's not, necessarily, a mandatory act, unless the Board says that that is to be the case.	09:07:15
10 11 12 13 14	The only requirement pursuant to written testimony is that it's proffered before the hearing so the other side has an opportunity to look at it, to respond, to do what it needs to do to react to it. But	09:07:23
15 16 17 18	otherwise, and as Your Honor has correctly noted, we add here to standards and the rules set forth both in Part 11, Part 104, pursuant to the Rules of Procedure and is allowed for	09:07:34
19 20 21 22 23 24	by the rules, as well as the Environmental Protection Act. None of those bases in law, obviously, have been cited through the motion because there is no basis in law to preclude testimony as offered by the Agency in this matter.	09:07:50
0011		
1 2 3 4	As a result, Your Honor, we would ask that the motion be denied. There's no basis in law, there's no basis in your order, there's no basis anywhere to preclude this	
5 6 7 8	testimony. Thank you. THE HEARING OFFICER: Thank you. Mr. Berekat-Ab, do you have any comment, or are you just here for	09:08:10
9 10	observation? MR. BEREKET-AB: I'm just here to	09:08:18
11	observe.	
12	THE HEARING OFFICER: Okay. All	
13	right. Thank you.	
14 15 16 17	I think, Mr. Boltz was correct when he said it was an opportunity to respond to Citgo's prefiled testimony. With that said, I'm going to deny the motion filed	09:08:24
18	August 14th by petitioner.	
19	However, if the witness from the	
20	IEPA is called, I would what I'll have to	09:08:45
21 22	do is continue this matter on record for two or three weeks down the road. We can address	
23	that later, so that Citgo can possibly	
24	formulate any cross or follow-up. I think	
0012	that is about the only way or and the	
1 2	that's about the only way we can do this. I realize I think your permit	
3	is up December 2008, but that would still, it	
4	appears, give the Board plenty of time to	00.00.11
5 6	make a decision on it. MR. FORT: Well, we will utilize that	09:09:11
7	opportunity if we need to. But, as you	
8	pointed out, we've been trying to get to this	
9	point for some time and we haven't been	

10 getting a lot of assistance, if you will, in 09:09:23 11 terms of the dialogue with the Agency or them 12 even asking us questions, can you give us 13 more information on this or that. 14 We will abide by the order. 15 THE HEARING OFFICER: Understood, 09:09:34 16 Mr. Fort. In the alternative, if I grant 17 your motion, which I did not, the Board could reverse me and we'd be back here in probably 18 19 two months down the road. So there you go. 20 In any event -- so I denied the motion, and 09:09:48 21 if need be, we will continue this on the 22 record two or three weeks down the road so 23 Citgo can formulate any cross. 24 I do want to note that I am 0013 honored to introduce Anand Rao and Alisa Liu 1 2 from our technical unit, they'll be here 3 today and they will probably be asking 4 questions of various witnesses. 5 With that said, Mr. Fort, would 09:10:11 б you like to give an opening? 7 MR. FORT: Yes, thank you. Very 8 briefly. 9 First of all, I'd like to point 10 out that this proposal that we've advanced, 09:10:17 11 the adjusted standard proposal, is a 12 reduction from what is presently allowed. So we're going in the direction of improving our 13 14 effluent discharge, and we are making efforts 15 in great strides in that effect. 09:10:34 16 I would also like to point out 17 that the Agency has proposed a new ammonia 18 nitrogen water quality standard in what we 19 call the Use Attainability Analysis, the UAA 20 rulemaking, pending before the Board, which 09:10:50 21 would establish a new ammonia nitrogen 22 standard in the Chicago Sanitary and Ship 23 Canal into which the refinery discharges. 24 Those waters today, into which we are 0014 1 discharging today, meet that proposed water 2 quality standard. 3 So the rhetoric that I've seen and 4 the Agency recommendation about water quality 5 effects or biota, I think is really 09:11:13 6 misplaced. It was very disturbing for us to 7 see that sort of position being taken by the 8 Agency in this proceeding, when, before the 9 Board in a rulemaking proceeding, they are 10 advancing the very water quality standard 09:11:25 11 that we can meet at the mixing zone. 12 Yet, they say we're doing bad 13 things with what we're proposing in terms of 14 reducing our ammonia discharge. So, 15 basically, we could argue that, based upon 09:11:39 16 the water quality that exists today, that no

17 further reductions are necessary from those 18 that we've been doing in the past. 19 But we are proposing to make it 20 tighter. We cannot, though, meet the three 09:11:52 21 milligram per liter, six milligram per liter 22 standard on a consistent basis in the nature 23 of compliance 100 percent of the time. And 24 we think that's unfair for the Agency to put 0015 1 us in a position that would put us in not 2 compliance a large portion of the time. 3 Mr. Huff has done a calculation of 4 the probabilities of where things would be, 5 based upon past performance -- based upon 09:12:19 6 recent past performance over the last five 7 years. And we've set the proposed numbers 8 that we have in our petition at a 95 percent 9 competence level. 10 What that means is that the 09:12:32 11 refinery is going to have to do better than 12 it has been doing in order to comply, even 13 with the proposed lower standard that we have 14 brought before the Board today. I think it's well known to the Board -- we'll have 15 09:12:42 testimony today that nitrification for an 16 17 industrial effluent is not easy, it's not the 18 same as municipal treatment plants. We thought the Agency citations to 19 20 the 1972 Board proceeding were out of 09:12:55 21 context. That context was clearly the 22 ability to nitrify for sanitary wastewater. 23 And Bob Stein will provide testimony on what 24 USEPA found years later, in terms of the lack 0016 1 of technology to achieve the kind of standard 2 that the Board adopted principally based upon 3 a sanitary wastewater discharge. 4 I also want to note that in the 5 past there's been times that we have been 09:13:26 6 able to achieve nitrification. It may have 7 gone for two to three years at a time. But 8 then, the mix of crude old changes, 9 production changes, some other event occurs 10 and we lose the ability to nitrify on a 09:13:38 11 consistent basis. 12 You will hear that, again and 13 again today, we are unable to achieve 14 nitrification on a consistent basis. So that 15 brings us to a question, perhaps, of why 09:13:50 16 we're doing an adjusted standard. 17 We have had site-specific rules in 18 the past. We filed an adjusted standard 19 really at the Agency's suggestion. 2.0 The Agency suggested to us that it 09:14:00 21 would be better to do an adjusted standard 22 and a site-specific rule because it simplifies their interactions with USEPA. 23

24 0017	And we felt that was a reasonable request to	
1	make.	
2	We looked at the time horizon	
3	here, we're only asking for five years. You	
4	might ask, well, why don't you do a variance?	
5	The answer is, we cannot find a guarantee	09:14:18
6	that we're going to be able to consistently	
7	comply 100 percent of the time or even	
8	95 percent of the time with the three-six	
9	milligram per liter standard.	
10	We will provide more testimony	09:14:30
11	that about the other refineries that the	
12	Agency has sited. And I think we have just,	
13	quite frankly, not gotten the whole picture	
14	of what's really occurring at other	
15	refineries in Illinois.	09:14:42
16	We are dealing in a situation now	
17	where water quality is probably an important	
18	consideration certainly. But we all know	
19	about our energy issues, we know about the	
20	need to remove our dependency on foreign oil.	09:14:53
21	The Lemont refinery is certainly	
22	doing what it can do to process crude oils	
23	that are not as easy to process as those that	
24	they've had in the past. We think that's a	
0018		
1	good thing.	
2	But at the same time, given the	
3	tightness of the three milligram per liter	
4	number for ammonia nitrogen, we cannot tell	
5	the Board or the Agency or the Attorney	09:15:16
б	General in good faith that we can meet that	
7	number. So that's why we're here today.	
8	We're trying to make further	
9	improvements. We have a lot of projects that	
10	we're working on that we think will do	09:15:26
11	better, but today we cannot say, as of	
12	December 31, 2008, we're going to be able to	
13	nitrify 100 percent of the time. Thank you.	
14	THE HEARING OFFICER: Thank you,	
15	Mr. Fort.	09:15:39
16	Mr. Boltz?	
17	MR. BOLTZ: Thank you, sir.	
18	First, I want to thank the Board	
19	for the opportunity to participate in the	
20	hearing today. I know that sometimes these	09:15:44
21	things are time consuming and we hate to take	
22	away from your time that we already know is	
23	very much consumed. And again, we appreciate	
24	it.	
0019		
1	I wanted to react, obviously,	
2	along with presenting an opening statement, to some of the things that Mr. Fort has	
3		
4 5	proffered on behalf of the petitioner. First of all, we wanted to put the context of this	09:16:00

6 hearing in its appropriate place. 7 This is not an adversarial 8 proceeding where the Agency is, necessarily, 9 standing in the way or is against or is 10 trying to prove more or less evidence than 09:16:11 11 petitioner. The petitioner is trying to go 12 after the general applicability of 13 304.122(b). They're trying to attack and 14 divest and get past those standards that are 15 complied by another refinery in the state of 09:16:26 16 Illinois. 17 They are not, necessarily, trying 18 to reproach the Agency or say the Agency -- I 19 mean, the Agency, obviously, has filled a 20 recommendation, very much like a guardianship 09:16:36 hearing, where a third party, a guardian 21 22 ad litem, would provide to the Court, to the 23 Court's benefit, a third-party perspective of 24 the matter. That's exactly what's going on 0020 1 here. 2 While the Agency is the primary 3 regulator of the environment within the state 4 of Illinois, for the perspective of this 5 hearing, it's about the rule. It's about 09:16:54 Citgo's ability to hear the rule. 6 7 That rule of law is what's at 8 issue today. Not with what the Agency has 9 presented or hasn't presented, the Agency is 10 here to ask tough questions, as it should be, 09:17:07 11 put perspective pursuant to the law, pursuant 12 to the Environmental Protection Act, pursuant 13 to Section 26, 27, 28. 14 Specifically, I want to correct 15 myself, the Agency is here pursuant to 09:17:21 16 Section 28.1(d)(3), which requires, again, 17 the Agency to participate. And that's 18 exactly what's going on. 19 Now, the Agency has provided it's 20 recommendation that Citgo's petition be 09:17:32 denied. And that's because, at this point in 21 2.2 time, adequate proof hasn't been presented by the petitioner. 23 24 Again, it's not a more likely than 0021 1 not, it's not, you know, a certain burden 2 that they're trying to reach. The need is to 3 present 100 percent of the necessary evidence 4 of the adequate proof so the Board can make 5 the decision that they've met that standard, 09:17:52 б where there's enough evidence that's been put 7 before you, that's been admitted before the 8 Board and the hearing officer, to make the 9 correct decision whether or not they should 10 be offered -- they should be provided an 09:18:03 adjusted standard differing from the other 11 12 refineries in the state of Illinois, who,

13 while they may not all necessarily comply 14 with 304.122(b), they all comply with their 15 general applicability standards moving 09:18:17 16 forward today. All of them. Except for 17 Citgo. That's -- those are the facts. 18 Now, with respect to the facts. 19 Most of the facts offered by Citgo, aside 2.0 from some of the conclusory statements, we're 09:18:30 not contesting. The Agency isn't contesting 21 22 many of the underlying facts. They're not 23 contesting, you know, whether or not they've 24 done this or that or spent so much money. 0022 1 But the Agency does see problems 2 with a couple of issues -- with a couple of legal issues that haven't -- that we haven't 3 4 seen that the -- that from the Agency's 5 perspective, haven't been met. We haven't 09:18:50 б seen 100 percent of that adequate proof yet 7 to meet the standard. 8 Specifically, Section 27 the Act 9 requires both -- requires a number of 10 factors. But two of the primary factors that 09:19:03 11 the Agency is looking at is technical feasibility and economic reasonableness. 12 13 Those are two very important factors, as the 14 courts have looked at going through the 09:19:16 15 years. 16 Those two factors by themselves, 17 if not met, can allow the Board to deny their 18 petition. If they haven't provided you 19 enough evidence, if they haven't submitted 20 enough meat within their submission for that 09:19:30 21 petition, it should be denied. 22 First of all, with respect to technical feasibility. Again, moving forward 23 today, only petitioner hasn't met their 24 0023 1 standards, which would be a deviation from 2 the general applicability limits. Only they 3 are requesting, you know, whether it be a 4 site specific rule or an adjusted standard, 5 only they are telling you today that because 09:19:53 6 it's so difficult -- because it's so 7 difficult for them to acknowledge why they 8 can't do it, because, you know, whether it be 9 their technology or the way they approach 09:20:03 10 things, they can't get it done. Well, the bottom line is, these other refineries are 11 12 getting it done. And they will tell you today -- they've already told you in the 13 14 testimony that they've provided, that the 15 technology that they use is very similar to 09:20:13 16 the technology used by the other refineries 17 in the state of Illinois. So when you think about technical feasibility, when you think 18 19 about their technical ability to get it done,

20 they're saying only they can't get it done. 09:20:27 21 Now, the Agency isn't saying that 22 sufficient evidence can't be provide to 23 necessarily overcome that, but we haven't 24 heard that. That's the perspective the 0024 1 Agency is looking at today. Those are the 2 questions that come into our heads. 3 Now, we're not looking to create 4 the case when petitioner presents its 5 testimony and its evidence today. But those 09:20:51 6 are the questions before us, those are the 7 questions in our minds, those are the issues 8 that need to be looked at and need to be 9 delved into. 10 Secondly, I'd like for one point 09:21:05 11 of clarification to be made within the 12 Agency's recommendation. While the Agency 13 stated that the other three refineries in the 14 state of Illinois are capable of meeting the 15 304.122(b) standard, we would like to say 09:21:27 16 today that that statement was made too 17 broadly. Okay? 18 While it is true that Marathon Oil and Exxon Oil, two of the other three 19 09:21:37 2.0 refineries, do meet that standard, Conoco may 21 be capable, they may in fact be capable, but 22 they do in fact meet their general 23 applicability standards. They have not been 24 before you, they have not sought any sort of 0025 1 deviation from their general applicability 2 rule. And that should be noted. And -- I 3 won't get into that yet. 4 And secondly, our other issue, 5 again, is economic reasonableness. Again, 09:22:05 6 this is a requirement for the petitioner. 7 The petitioner can't merely throw 8 out a number and say, "Well, you know, it's a 9 lot of money." This is a lot of money so we 10 09:22:14 can't get it done. You know, there is more 11 than that. 12 They need -- I mean, they are not 13 Joe Shmo Oil Company, they're not an oil 14 company that makes \$100 a year. They need to 15 present to the Board necessary proof that, 09:22:26 16 from their perspective, from their own 17 company, from the money they make and the 18 money they need to expend, from their 19 perspective, that they can't get it done. 20 Because the adjusted standard they're seeking 09:22:37 21 is specific to them. And that needs to be 2.2 kept in perspective, as well. So we would --23 we would, therefore, present, at this point 2.4 with the evidence provided, where we are 0026 1 today is the Agency's current recommendation

2 that the petition for the adjusted standard 3 be denied. 4 If the petitioner meets that 5 burden today, certainly the Agency would look 09:23:02 6 to maybe rereview, take a look again at it's 7 recommendation. But today, that 8 requirement -- that 100 percent of the 9 adequate proof requirement hasn't been met. 10 Thank you. 09:23:14 11 THE HEARING OFFICER: Thank you, 12 Mr. Boltz. 13 I do want to note, for the record, 14 if it hasn't been done already, Citgo did 15 file prefiled testimony on August 1st. Is it 09:23:21 16 Brigitte Postel, Mr. Huff and Bob Stein. 17 And it's been suggested that we 18 swear all the three witness in at once for 19 Citgo. And Mr. Fort or Mr. Tesher can do any 20 direct they wish. The IEPA can do their 09:23:43 21 cross. But, more importantly, for my 22 purpose, our technical personnel will be 23 asking them the questions, as well. So with that said -- and I assume 24 0027 1 that Citgo will offer that prefiled testimony 2 later in this hearing. But at this time, I 3 would like to swear in the three witnesses who filed the prefiled testimony. 4 5 If you can just raise your right 09:24:08 6 hand, Sharon will swear you in. 7 (WHEREUPON, the witnesses were duly 8 sworn.) 9 THE HEARING OFFICER: Mr. Fort, how do 10 you want to handle this? Do you just want 09:24:22 11 to... 12 MR. FORT: Let me do the mechanics of 13 the prefiled testimony and exhibits so we'll get that all behind us. 14 15 09:24:32 THE HEARING OFFICER: Okay. 16 MR. FORT: And then we can go from 17 there. THE HEARING OFFICER: Okay. Terrific. 18 MR. FORT: I'll probably go through 19 20 each one of them a little bit, because each 09:24:37 21 of them have their own exhibits. 22 THE HEARING OFFICER: Okay. 23 PREFILED TESTIMONY OF BRIGITTE POSTEL 24 My name is Brigitte Postel. Ι 0028 1 have been employed by CITGO Petroleum 2 Corporation ("CITGO") at the Lemont Refinery 3 since October, 2003. At the Lemont Refinery, 4 I have held the position of Environmental 5 Engineer, Water Coordinator. 6 I received a Bachelor of Science 7 in Chemistry from the University of Illinois, 8 Champaign-Urbana, and a Masters of Science in

9 Environmental Engineering from Lamar 10 University, Beaumont, Texas. Prior to my time at the Lemont Refinery, I held various 11 12 environmental positions in the 13 pharmaceutical, chemical, and power 14 industries. 15 II. Testimonv 16 PDV Midwest Refining, L.L.C. ("The 1. 17 Refinery") owns a petroleum refinery located 18 on an 860-acre tract in Will County near 19 Lemont, Illinois. The Refinery was formerly 20 owned and operated by the Union Oil Company 21 of California ("Union") and then operated by 22 the UNO-VEN Company. On May 1, 1997, PDV 23 became the owner of the Refinery and CITGO 2.4 was contracted to operate the Refinery. 0029 1 2 Despite extensive improvements and other 2. 3 efforts, the Refinery is not able to 4 consistently meet the ammonia nitrogen 5 effluent limits contained in Section 304.122(b) of Subpart B of Part 304 of Title 6 7 35 of the Illinois Administrative Code 8 (ammonia nitrogen rule). I want to emphasize 9 that "consistently" meeting the rule is the 10 focus of our Petition. The general ammonia 11 nitrogen discharge rule would apply to the 12 Refinery, but for site specific rule changes 13 granted in 1987, 1993 and 1998. Despite 14 steady improvements during the last twenty 15 years, Petitioner and its predecessors have 16 been unable to consistently achieve the 17 effluent limits of the ammonia nitrogen rule. 18 The Refinery has been successful in lowering the ammonia nitrogen concentration in its 19 20 effluent and has achieved this success even 21 though the plant throughput has increased and 22 wastewater usage has decreased. The Refinery 23 is prepared to continue efforts to reduce its ammonia nitrogen discharge, but it cannot 24 0030 1 commit to continuously meet the general 2 effluent limit in 35 Ill. Admin. Code 3 304.122(b). Additional information requested 4 by the Board's hearing officer, Bradley 5 Halloran, may be found in Exhibit 1 to this 6 testimony. 7 8 3. We have attempted to work with the Agency 9 on this matter and initiated meetings with 10 the Agency last November. As suggested by 11 the Agency then, we agreed to separate the 12 Total Dissolved Solids issues from the 13 ammonia nitrogen issues - and further agreed 14 to use the adjusted standard approach rather 15 than the site-specific rule change - in order

16 to meet the requirements of U.S.EPA in 17 reviewing Illinois's water quality standards. 18 We are disappointed that the Agency did not 19 engage in any technical discussions on the 20 content of our proposal and filed the 21 Recommendation it has. We disagree with the 2.2 Agency's statements in its Recommendation, 23 which we believe mis-characterize the Petition and are not based on facts. 2.4 One 0031 1 thing we could agree with is to continue to 2 improve our existing biological treatment 3 processes, solids handling processes, and the 4 desalter. Indeed, as will be shown by other 5 presented testimony, the Refinery is 6 currently discharging, on an average basis, 7 less ammonia nitrogen than is in its raw 8 water supply. Of course, that is because the 9 Refinery is on an "effluent dominated water," 10 the Chicago Sanitary and Ship Canal, as the 11 Agency has testified to in the UAA rulemaking 12 proceeding. 13 14 4. The Refinery was constructed during the 15 period 1967 through 1970. It became 16 operational in late fall of 1969. The 17 Refinery employs approximately 530 people. 18 19 Approximately twenty-five different 5. 20 products are produced at the Refinery, 21 including gasolines, turbine fuels, diesel 22 fuels, furnace oils, petroleum coke and 23 various specialty naphthas which can be 24 manufactured into many intermediate products, 0032 including antifreeze, dacron, detergent, 1 2 industrial alcohols, plastics and synthetic 3 rubber. Ninety percent of the Refinery's 4 output goes into making gasolines, diesel 5 fuels, home heating oils and turbine fuels 6 for use in Illinois and throughout the 7 Midwest. 8 9 6. The Refinery currently discharges to the 10 Chicago Sanitary and Ship Canal ("Canal") 11 which is a tributary of the Illinois River. 12 The discharge is quickly dispersed in the 13 Canal and assimilated by the receiving 14 stream. The dilution pattern of the effluent 15 is rapid and immediate under the criteria of 16 35 Ill. Admin. Code Subtitle C, Chapter I, Section 302.102. 17 18 19 7. The primary treatment portion of the 20 current plant consists of four sour water 21 strippers for ammonia and sulfide removal, 22 oil/water separators for free oil removal,

23 24 0033	stormwater impoundment, equalization, and emulsified oil removal using organic
1	polymers.
2 3 4 5 6 7 8 9 10 11 12 13 14 15 16 17 18 19 20	8. The effluent from the primary clarifier flows to the Induced Gas Flotation ("IGF") vessel and then to the secondary treatment portion of the wastewater plant which consists of a single stage activated sludge treatment system. The system includes three aeration basins operated in parallel with a total aeration basin volume of 1.92 million gallons. Aeration is provided by a fine-bubble diffused aeration system. Activated sludge is settled in two 100-ft. Diameter secondary clarifiers. Within the aeration basin, phosphorous is added as a nutrient for biological organisms. During the winter, steam is injected to the equalization tank to maintain operating temperatures at a minimum of 70° F in the aeration basin effluent.
21	
22 23 24 0034	9. The tertiary system consists of a 16 million gallon polishing lagoon. The purpose of the lagoon is to remove any carryover
1 2 3 4	solids from the secondary clarifier. The lagoon also serves as a water supply for fire protection.
4 5 6 7 8 9 10 11 12 13 14 15 16 17 18 19 20 21 22 23 24 0035 1 2	10. The Refinery draws from and discharges to the Canal. The Refinery takes approximately 5.0 million gallons of water daily from the Canal, and discharges approximately 4.5 million gallons to the Canal, the difference being cooling tower evaporation and steam losses. The wastewater effluent contains ammonia as nitrogen derived from compounds present in crude oil that are removed from the crude by various Refinery operations, as well as the ammonia already present in the intake water from the Canal.
	<pre>11. The Refinery operates under a National Pollutant Discharge Elimination System ("NPDES") permit (No. IL 0001589), issued by the Illinois Environmental Protection Agency ("IEPA," or "the Agency"). The most recent NPDES permit was issued as modified June 22, 2007 and expires July 31, 2011. The NPDES permit includes outfall 001 at the Refinery at river mile 296.5 on the Canal (Latitude</pre>
3	41°38′58″, Longitude 88°03′31″). The current NPDES permit includes ammonia nitrogen limits

5 6	in the existing 35 IAC 304.213.
7 8 9	12. The U.S. EPA has established effluent guidelines for wastewater discharges by industry category. The petroleum refining
10 11	industry is divided into five subcategories based on the processes utilized and the
12 13	products produced. The Refinery is classified as a Subcategory-B cracking
14 15 16	refinery under the federal regulations. Effluent limits under the federal regulations are based on production and are computed on a
17 18	pounds-per-day basis.
19 20	13. U.S. EPA has promulgated categorical limits on various industries, including the
21 22	petroleum refining industry. While these regulations, found in 40 CFR 419, do specify
23 24	limits for ammonia nitrogen, these are less stringent than the limits in the existing
0036 1	site-specific rule. The Board has previously
2 3 4 5	found that the wastewater treatment system goes beyond Best Available Technology ("BAT") requirements.
б	14. The Board has adopted Title 35, Section
7 8 9	304.122 to control ammonia discharges to the Illinois River System, originally Rule 406, adopted Jan 6, 1972. Rule 304.122(b) limits
10 11	larger industrial discharges (greater than 100 lbs/day ammonia) to an effluent discharge
12 13	concentration of 3.0 mg/l NH3-N. Historically, the refinery has achieved
14 15	compliance with the federal effluent regulations; however, the 3.0 mg/l effluent
15 16 17	limit has not been attainable on a consistent basis.
18 19	15. From 1977 through 1984, Union operated
20 21	the Refinery under several variances from the Board for the ammonia nitrogen discharge. In
22	1982, the Board granted Union a variance,
23 24 0037	contingent that by May of 1984, Union would submit a program to ensure compliance with
1 2	Rule 304.122 or prepare a proposal for a site specific rule change. In December of 1984,
3 4	Union petitioned the Board for a site specific rule change. The Board granted
5 6	Union site specific effluent limits set at the U.S. EPA's best available technology
7 8	(BAT) pursuant to 40 CFR 419.23 (1985). This site specific rule change terminated on
9 10	December 31, 1993. In 1993, UNO-VEN petitioned the Board for a site specific rule
11	change. The Board granted UNO-VEN's request

12 and set effluent limits for ammonia nitrogen 13 of 9.4 mg/l monthly average and 26.0 mg/l 14 daily maximum. By final order dated December 15 17, 1998, the Board made only two changes to 16 the rule as adopted in 1993: A change of the 17 name to reflect the sale to PDV Midwest 18 Refining, LLC, and an extension of the 19 termination date by 9 years to December 31, 20 2008. 21 22 16. The Refinery has improved its 23 performance of ammonia removal despite higher 24 crude throughput and a decrease in wastewater 0038 volume. Wastewater volumes have decreased 1 2 since 1984 through the exercise of sound 3 water management practices. Despite these 4 factors that would tend to increase ammonia 5 concentration, the Refinery has maintained 6 and improved its performance in ammonia 7 removal. 8 9 The limits for ammonia nitrogen proposed 17. 10 here are based on a statistical analysis using the 95th percentile of the standard 11 12 deviation over historical and representative 13 time periods to calculate the effluent limits. The daily and monthly limit is based 14 15 on the 95th percentile based on the last five 16 years of effluent data. The limits proposed 17 demonstrate the commitment to improvement in 18 nitrification, a reduction in the daily limit 19 of 59 percent and in the monthly limit of 27 20 percent. Jim Huff will explain these 21 calculations in his testimony. 22 23 18. Over the last several years, Lemont 24 Refinery has been processing an increased 0039 percentage of heavy crudes and can expect the 1 2 trend in feedstocks over the course of this 3 petition to continue. The uncertainty associated with this issue justifies the 4 5 Board choosing to set daily and monthly 6 limits that take into account this 7 uncertainty. Moreover, this analysis 8 indicates that the proposed limits represent 9 a continued emphasis on improvement in 10 wastewater controls and achieving 11 nitrification in the wastewater treatment 12 plant even with more difficult wastewater 13 streams to be treated. Over the last 5 14 years, on a net basis, the Refinery has 15 exceeded 100 pounds on a monthly daily 16 average for ammonia only 33 percent of the 17 time, and exceeded 200 pounds per day for 18 ammonia only 17 percent of the time.

19 20 19. At this point, Petitioner and its 21 predecessors have expended significant 22 resources in improving the wastewater 23 treatment system at the Refinery. Petitioner 24 and its predecessors have spent nearly 0040 1 \$75,000,000 to upgrade and improve the 2 wastewater treatment facilities at the 3 Refinery; approximately \$45,000,000 of that 4 was spent just in the last 10 years. While 5 some of that was not done for the specific 6 purpose of improving nitrification, 7 approximately one quarter of that investment 8 had, as a substantial component, improving 9 the ability of the wastewater treatment 10 process to provide nitrification. Even 11 investments that did not primarily target nitrification were done to benefit the 12 13 nitrification process. For example, the Purge Treatment Unit ("PTU") that was 14 installed as part of the FCC consent decree 15 16 was required in large part to ensure 17 consistent ammonia nitrogen removal. The testimony of Bob Stein provides more detail 18 19 on this matter. 20 Under the site specific rule change 21 20. 22 granted in 1987, the Refinery was required to 23 continue its efforts to reduce the 24 concentration of ammonia nitrogen in its 0041 1 wastewaters. The Refinery met this 2 requirement through continuous upgrades to 3 the wastewater treatment plant. After 4 petitioning for the 1987 site specific rule 5 change, the Refinery: Added a third aeration б basin, increasing the total aeration volume 7 from 1.38 million gallons to 1.92 million 8 gallons; Upgraded the aeration system by 9 replacing the existing mechanical surface 10 aerators with a fine-bubble diffused aeration 11 system; and Added the second 100-ft. Diameter 12 secondary clarifier, doubling the secondary 13 clarifier capacity. These improvements were 14 designed to increase ammonia oxidation, 15 increase available dissolved oxygen and 16 increase hydraulic throughput. 17 18 21. While the site specific rule change was 19 granted in 1993, the Refinery continued its 20 efforts to reduce the concentration of 21 ammonia nitrogen in its wastewaters. From 22 1992 until 1998, the Refinery: Installed a 23 new chemical feed facility at the WWTP; 24 Eliminated discharge of process wastewater to 0042

1 the stormwater basin and provided tankage for 2 equalization/oil separation of process 3 wastewater; Converted the WWTP control system 4 to new DCS control Modified the sour water 5 stripper charge tanks inlet line for better 6 oil/water separation; Performed a clean 7 closure of the stormwater basin; and 8 Utilized Nalco dried bacteria and conducted 9 nitrifier inhibition testing. 10 11 22. Since 1998, the Refinery has continued 12 to make improvements to its wastewater 13 treatment system. Those measures have 14 included: In 2000 installed induced gas 15 flotation system with polymer addition; In 2003, added additional strippers in the 16 17 sour water system for ammonia removal; 18 Also in 2003, upgraded diffused aerators to 19 improve oxygen transfer; In 2006, upgraded 20 phosphoric acid feed system and the aerators 21 to improve oxygen transfer; In 2007, 22 installed purge treatment unit to treat the 23 discharge from the FCC scrubber; And also in 2.4 2007, upgraded diffused aerators to improve 0043 1 oxygen transfer. The total cost of these 2 improvements was approximately \$45,000,000. 3 4 23. While there has been success in reducing 5 the effluent ammonia nitrogen concentration, б the Refinery is unaware of proven means to 7 comply with the ammonia nitrogen rule on a 8 continuous basis. The options available to 9 Lemont are 20-68 times more expensive, on a 10 unit cost basis, than other available alternatives for ammonia removal. Therefore, 11 12 it is possible to spend millions of dollars 13 in an attempt to implement unproven 14 strategies for potential ammonia nitrogen 15 reduction even though: (a) the present level of wastewater 16 treatment at the Refinery is better than the 17 United States Environmental Protection 18 19 Agency's ("U.S. EPA") effluent guideline of 20 best available technology ("BAT") 21 economically achievable; and 22 (b) the ammonia nitrogen discharge for the 23 Refinery has no discernable water quality 24 impact on the receiving stream. 0044 1 2 24. The requested amendment will allow 3 Lemont Refinery to continue to operate 4 without spending millions of dollars on 5 unproven technology in an attempt to 6 accomplish further ammonia nitrogen 7 reductions with little or no environmental

8 benefit. The Refinery will continue to 9 optimize its treatment facilities, regardless 10 of the outcome of this Petition. Indeed, the 11 daily limit requested here represents a 59 12 percent reduction, substantially below the level authorized in 1998. 13 14 15 The Lemont Refinery has investigated the 25. 16 available information on the performance of 17 other refineries in Illinois to provide 18 nitrification. The conclusions of that 19 investigation are in the 2007 Aware report, 20 but can be summarized as follows: 21 (a) the other refineries were using similar 22 technological approaches as used by the Lemont refinery design, and none of them were 23 24 using the technologies investigated by Aware 0045 1 as possible additions to the Lemont Refinery; 2 (b) there are site specific variations in 3 how the wastewater treatment systems are 4 designed and operated, as well as some 5 differences in the crude supply; and 6 (c) there are some differences in these 7 design specifics which may be worth exploring 8 for potential use and modifications at the 9 Lemont Refinery to further enhance its 10 nitrification capabilities. 11 12 26. Based on evaluations and reports that 13 accompany this Petition, the Refinery will 14 continue to investigate improvements to its 15 existing wastewater treatment system. It is believed that focusing on better solids 16 17 handling from the desalter holds the greatest 18 promise for achieving improved wastewater 19 treatment performance on a consistent basis. 20 The options that will be investigated include: An in situ solid removal system, 21 22 increased tankage to allow brine segregation; 23 amine management; and adjusting chemical usage to reduce emulsification in the primary 2.4 0046 1 treatment units. 2 3 27. At this point in time, the total ammonia 4 discharge from the Refinery, on an average 5 basis over the last 5 years, is less than the 6 allowable discharge of 3 mg/l, even when 7 about 25 percent of that discharge is due to 8 the ammonia nitrogen levels already in the 9 Canal. Nevertheless, the Refinery will 10 continue to look to improve its treatment for 11 ammonia nitrogen. 12 13 Through the first six months of 2008, 28. 14 the refinery has removed 29 pounds per day

15 from the Ship Canal, while adding only 17 16 pounds per day. To date, the 2008 annual 17 average ammonia concentration is 0.39 mg/L. 18 19 29. This concludes my prepared testimony. 20 Jim Huff and Bob Stein will provide further 21 testimony and exhibits in support of the 2.2 Petition. 23 BRIGITTE POSTEL, 24 called as a witness herein, having been first duly 0047 1 sworn, was examined and testified as follows: 2 DIRECT EXAMINATION 3 BY MR. FORT: 4 Ms. Postal, you filed prefiled Q. 5 testimony in this matter; correct? 09:24:45 6 Yes. Α. 7 And attached to that prefiled Ο. 8 testimony, I believe, is Exhibit 1? 9 Α. Right. 10 And have you reviewed that document 09:24:52 Ο. that we called Exhibit 1 and are you confident that 11 12 it's true, accurate and complete? 13 Α. Yes. 14 PREFILED TESTIMONY OF JAMES E. HUFF. 15 16 My name is James E. Huff, and I am 17 Vice President and part owner of Huff & Huff, Inc., an environmental consulting firm 18 19 founded in 1979. I received a Bachelor of 20 Science in Chemical Engineering in 1970 from 21 Purdue University and was awarded a Masters 22 of Science in Engineering from the 23 Environmental Engineering Department at 24 Purdue University in 1971. I am a registered 0048 1 Professional Engineer in Illinois. My work 2 experience includes two years with Mobil Oil 3 as an Advanced Environmental Engineer during 4 the construction and start-up of the Joliet 5 Refinery. After leaving Mobil in the fall of 6 1973, I was employed for three years at IIT 7 Research Institute in the Chemical 8 Engineering Department, working on advanced 9 wastewater treatment projects including 10 catalytic oxidation of cyanide in petroleum 11 wastewaters. I then spent four years with 12 the Armak Company, now called Akzo Nobel 13 Chemicals, where I was the Corporate Manager 14 of Environmental Affairs responsible for 15 regulatory compliance and engineering design 16 of environmental systems at nine 17 manufacturing facilities in the United States 18 and Canada. Three of these chemical plants 19 were fatty amines manufacturers, where 20 ammonia was utilized as a raw material and 21 was a major component in the wastewater.

22 For the last 28 years at Huff & Huff, Inc., I 23 have been involved in over 40 environmental 24 impact studies associated with the impact of 0049 1 wastewater discharges on receiving streams 2 throughout the United States. Many of these 3 studies have involved ammonia nitrogen 4 impacts, including those for the City of 5 Lockport, CITGO Lemont Refinery and its 6 predecessors UNO-VEN and Union Oil, 7 ExxonMobil Oil Corporation, the Galesburg 8 Sanitary District, and Modine Manufacturing. 9 I was Project Manager on a year long Fox 10 River Ammonia Study on behalf of most of the municipal discharges on the Fox River below 11 12 the Chain-of-Lakes. I was an active 13 participant in the ammonia water quality 14 proceedings (R94-1b), on behalf of six 15 communities and the Indian Refining 16 Corporation. I am currently working on 17 addressing low dissolved oxygen levels on the East Branch of the Du Page River and Salt 18 19 Creek on behalf of the Du Page River/Salt Creek Work Group. In addition, I have been 20 actively involved in the current UAA 21 2.2 proceedings on the Chicago Waterways on 23 behalf of three industrial clients. I have 24 designed nitrification facilities for both 0050 1 industrial and municipal wastewater treatment 2 plants. I was retained by CITGO Petroleum 3 Corporation (Lemont Refinery) to evaluate the 4 environmental impact of the ammonia in the 5 Lemont Refinery's discharge to the Chicago 6 Sanitary & Ship Canal. See 2008 report 7 attached as Exhibit 2. I have directed 8 previous studies relating to the same issue 9 for previous site-specific requests for the 10 Lemont Refinery. See 1992 report attached as 11 Exhibit 3. A copy of my resume is attached as Exhibit 4. In addition, effluent limits 12 were derived based upon existing effluent 13 14 quality, BAT, and current water quality 15 conditions. 16 Background 17 The Lemont Refinery is located southwest of 18 Lemont, Illinois, east of Romeoville, along 19 the east side of the Chicago Sanitary & Ship 20 Canal (Ship Canal), at River Mile 296.5. 21 Water is withdrawn from the Ship Canal for 22 refinery use, and the treated wastewater 23 effluent is discharged to the Ship Canal 5.5 2.4 miles upstream of the Lockport Lock and Dam 0051 1 and less than one mile upstream of Midwest 2 Generation's Romeoville Power Plant. 3 The wastewater treatment facilities came on

4 line in 1969, the same time the refinery 5 began processing crude oil. The treatment 6 plant underwent major changes in 1992, 7 including new process water storage tanks, a 8 new aeration basin, a new clarifier, and fine 9 bubble diffusers. Over the past decade, the 10 Lemont Refinery has expended an additional 11 \$45 million on capital projects related to 12 ammonia control and reduction. Over the past 13 five years the processing of heavier crude 14 oils has increased. These heavier crude oils 15 contain more inert solids and create more 16 stable emulsions in the desalter unit. The 17 result has been not only a significant increase in chemical addition to remove oil 18 (break the emulsions) and solids in the 19 20 process water, but a more variable influent 21 loading on the activated sludge treatment 22 process. 23 The Ship Canal is classified as Secondary 24 Contact water under Illinois regulations. 0052 1 There is no total ammonia water quality 2 standard applicable to the Ship Canal. 3 Un-ionized ammonia, which is a function of 4 the total ammonia, pH, and temperature, is 5 limited by a not-to-exceed value of 0.1 mg/L. This water quality standard is to be achieved 6 7 at the edge of the mixing zone. The Agency 8 has proposed to amend the ammonia water 9 quality standard on the Secondary Contact 10 Waterways to be the same standard as in the 11 General Use Standards in R08-09, currently 12 before the Board. 13 Influent and Effluent Quality 14 The Lemont Refinery water intake is located 15 approximately 175 feet upstream of the 16 outfall and is routinely analyzed for ammonia 17 by the refinery. Ammonia quality in the Ship 18 Canal has steadily improved over the past two 19 decades, from an annual average of 3.77 mg/L in 1987, to 1.28 mg/L in 1996, to 0.56 mg/L 20 21 in 2007, as depicted in the attached Exhibit 22 5, Figure 1. This decline is attributed 23 primarily to the reduction in effluent 24 ammonia achieved by the MWRDGC at its 0053 1 upstream treatment plants over this period of 2 time. 3 Effluent ammonia quality from the Lemont Refinery is presented in Exhibit 5, Figure 2. 4 5 From 1995 until 2005 the annual average 6 ammonia concentration was below 3.0 mg/L. In 7 2005, with the increase in the processing of 8 the heavier crude oils and resultant higher 9 loading on the treatment facilities, the 10 effluent ammonia increased to an annual

11 average of 3.63 mg/L. As the Lemont Refinery 12 has improved its ability to process these 13 heavier crude oils, the effluent ammonia 14 levels have continued to improve; to 3.50 15 mg/L in 2006, 2.45 mg/L in 2007, and through 16 the first six months of 2008 to an all time 17 low 0.39 mg/L. Clearly overall, the Lemont 18 Refinery has made progress on consistently 19 nitrifying. 20 Finally, Exhibit 5, Figure 3 depicts the mass 21 of ammonia removed from the Ship Canal on an 22 annual average compared to the mass 23 discharged. The net discharge (effluent less 24 influent) over the past decade has averaged 0054 1 less than 43 pounds per day, and for 2008 to 2 date, the Lemont Refinery has removed 29 3 pounds per day from the Ship Canal, while 4 only discharging an average 17 pounds per 5 day. 6 Receiving Water Way Description 7 As noted previously, the Lemont Refinery 8 discharges into the Ship Canal 5.5 miles 9 upstream of the Lockport Lock and Dam, at 10 River Mile 296.5. The Ship Canal extends 11 31.1 miles from its confluence with the Des 12 Plaines River to the Damen Avenue Bridge in 13 Chicago (CDM, 2007). The Ship Canal is typically 200 to 300 ft. Wide with depths 14 ranging from 27 to 50 ft. (CDM, 2007). The 15 16 construction of the Ship Canal includes 17 vertical walls and steep embankments. The Ship Canal was erected in approximately 1900, 18 to "transport human waste and industrial 19 20 pollutants away from Lake Michigan" (CDM, 2007). As part of the Use Attainability 21 22 Analyses (UAA), CDM conducted a recreation 23 and navigation survey for 28 days. No 24 swimming, skiing, tubing, or wading was 0055 1 observed. A single canoe, sculling or hand 2 powered boat was observed within the 28 days. 3 From my own experience in conducting benthic 4 surveys on the Ship Canal for both the Lemont 5 Refinery and the MWRDGC, the Ship Canal is 6 not safe for canoes, sculling or other hand 7 powered boating activities. When barges 8 pass, the wake creates literally a wave 9 machine bouncing off the vertical walls. 10 Where two waves cross, the amplitude doubles, 11 and waves get progressively larger reaching 12 wave heights in excess of five feet before 13 gradually subsiding. 14 The aquatic habitat of the portion of the 15 Ship Canal where the Lemont Refinery is located was rated as "poor to very poor" 16 17 (IEPA, 2006). Overall stream use is

18 designated as non-support for fish 19 consumption and aquatic life. The identified 20 causes of impairment were polychlorinated 21 biphenyls (PCBs), irons, oil and grease, 22 D.O., total nitrogen, and total phosphorus. 23 Sources included combined sewer overflows, 24 urban runoff/storm sewers, impacts from 0056 hydrostructure flow regulation/modification, 1 2 municipal point source discharges, and other 3 unknown sources. Ammonia concentrations were 4 not identified as a source of impairment, due 5 to the monitored results achieving the water 6 quality standard. 7 In addition to the unique structure, the Ship 8 Canal is home to three coal fired power 9 plants that provide low cost electricity to 10 the City of Chicago, the remainder of the 11 State of Illinois, and elsewhere through the 12 electrical power grid. The Ship Canal is 13 effluent dominated with over 70 percent of 14 its flow on an annual bases from municipal 15 effluents (IEPA, 2008). This included wastewater effluent from the Stickney 16 treatment plant, one of the largest treatment 17 18 plants in the world. Essential barge traffic 19 also flows along this critical artery to a 20 wide range of industries located along the 21 Ship Canal. 22 Another unique factor on the Ship Canal is 23 the electric barrier installed near the 24 Lockport Locks. This barrier was installed 0057 to prevent invasive bighead carp from 1 2 migrating into the Great Lakes. A second 3 electric barrier has been constructed but is 4 yet operational. These electric barriers 5 will not only prevent the invasive fish from 6 migrating, but will also prevent other fish 7 from migrating up or down the Ship Canal at 8 Lockport, normally not a desirable outcome, 9 but certainly necessary in light of the goal 10 to protect the Great Lakes. 11 The UAA Report (CDM, 2007, page 4-80) notes 12 that habitat ranged from poor to very poor, 13 and identified the following factors as 14 limiting aquatic potential on the Ship Canal: 15 Silty substrates 16 Poor substrate material 17 Little instream cover 18 Channelization 19 No sinuosity 2.0 There are no backwater areas or tributary 21 mouths along the Ship Canal. The lack of 2.2 habitat diversity along the Ship Canal 23 clearly limits the diversity of the aquatic 24 biota.

0058	
1	As noted in Exhibit 5, Figure 1, the total
2	ammonia concentrations in the Ship Canal are
3	generally low, below 1 mg/L. Un-ionized
4	ammonia levels from 2000 to 2002 at four
5	stations along the Ship Canal and Des Plaines
б	River are presented in Table 4-1 of the 2008
7	report, Exhibit 2. Average un-ionized
8	ammonia concentrations at all four stations
9	have been consistently less than 0.010 mg/L.
10	Not only is the un-ionized ammonia levels in
11	the Ship Canal less than the current water
12	quality standard, the levels also attain the
13	proposed changes in the un-ionized ammonia
14	water quality proposed as part of the Use
15	Attainability Analysis (UAA) in R08-09.
16	Mixing Zone
17	In 1992, Huff & Huff, Inc. Conducted a mixing
18	zone study on the Lemont Refinery outfall
19	(see Exhibit 3). The outfall design is
20	unique in that it is a 15-inch diameter pipe,
21	extending vertically downward 15 feet below
22	the surface into the Ship Canal. The result
23	is a turbulent discharge that is strongly
24	buoyant due to the entrained air from the
0059	offluort flouing over the usin from the
1 2	effluent flowing over the weir from the Treated Water Basin. The Zone of Initial
3	Dilution (ZID) was measured at 10:1 and only
4	occupies 100 square feet of the Ship Canal.
5	There are only 300 gallons of effluent within
6	the ZID at any one time, with a mean
7	retention time under 7 seconds.
8	In 1992 the mixing zone achieved a 40:1
9	dilution within 60 ft. Downstream, occupying
10	only 0.05 acres, compared to the allowable 26
11	acres. With the lower 7-day, 10-year low
12	flow due to the MWRDGC's loss of
13	discretionary diversion from Lake Michigan
14	and the slightly higher effluent flow today
15	than in 1992, the mixing zone today achieves
16	a 36.7:1 dilution within the same 0.05 acres.
17	Historical Relief Sought
18	In 1987, the Board granted site-specific
19	relief to the Lemont Refinery, allowing the
20	Agency to establish limits based on a
21	reasonable measure of actual production at
22	the Refinery. From that order, the Agency
23 24	set limits of 749 lb/day ammonia (monthly average) and 1 648 lb/day (daily maximum)
24 0060	average) and 1,648 lb/day (daily maximum).
1	No concentration limits were imposed in 1987
2	but at the refinery's design average flow of
3	5.79 MGD, these mass limits equate to:
4	Monthly Average: 15.5 mg/L
5	Daily Maximum: 34.1 mg/L
6	The next two rule changes contained the

7 following concentration limits: 8 Monthly Average: 9.4 mg/L Daily Maximum: 26.0 mg/L 9 10 The current petition is requesting the 11 following concentration limits: 12 Monthly Average1: 6.9 mg/L 13 Daily Average2: 10.6 mg/L 14 Clearly, the Lemont Refinery has made 15 progress in reducing its effluent ammonia 16 discharged, and the requested relief 17 continues to make commitments to future 18 progress. It is important to remember that 19 this requested relief is for a reduction in 20 pollutant loading from the current permitted 21 level. 22 Receiving Water Impacts 23 Exhibit 5, Figure 1 and Tables 4-1 and 4-2 of 24 Exhibit 2 present the historical 0061 1 concentrations of total ammonia and 2 un-ionized ammonia in the Ship Canal. The 3 total ammonia can be described as relatively 4 low on an annual basis, and the requested 5 relief will further lower the Lemont 6 Refinery's contribution to the downstream 7 stations. The permitted monthly average 8 limit will decline by 27 percent, while the permitted daily maximum will decline by 59 9 10 percent. 11 The un-ionized ammonia in the Ship Canal on 12 an annual basis is less than 10 percent of 13 the un-ionized water quality standard, and is consistently in compliance with the water 14 15 quality standard. This adjusted standard 16 request will further reduce both the total and un-ionized ammonia levels downstream over 17 18 the existing conditions. 19 As ammonia is oxidized in the receiving 20 stream, oxygen is consumed. To the extent 21 the Lemont Refinery's ammonia is contributing 22 to lower dissolved oxygen (D.O.) levels, the 23 requested relief will only improve D.O. from 24 the existing levels, with the more 0062 1 restrictive ammonia effluent limits proposed. 2 According to the UAA Study (CDM, 2007), the 3 MWRDGC has recorded D.O. levels below the 4.0 4 mg/L minimum water quality standard at all 5 seven stations on the Ship Canal. At б Romeoville and Lockport, both downstream of 7 the Lemont Refinery, 19 percent of the time 8 D.O. levels below 4.0 mg/L were recorded, the 9 same percentage of time as at the upstream 10 location at Cicero Avenue. 11 The Agency's proposal is to change the minimum D.O. to 3.5 mg/L in the Ship Canal. 12 13 It is my understanding the Ship Canal does

14 not currently achieve this 3.5 mg/L D.O. 15 level during wet weather combined sewer 16 overflow events. 17 In 1992, in support of an earlier petition, 18 Huff & Huff used the MWRDGC's QUAL 2E model 19 to predict changes in D.O. from the Lemont 20 Refinery's contribution. At a discharge rate 21 of 744 pounds per day of ammonia from the 22 Lemont Refinery, the maximum D.O. decline was 23 0.03 mg/L (maximum loading at low flow 24 conditions.) With the current requested 0063 1 relief, the maximum reduction in D.O. will be 2 closer to 0.02 mg/L at maximum loading and 3 low flow. The minor level of change in D.O. 4 is less than can be accuracy of the D.O. test 5 method for streams (0.1 mg/L). In essence, 6 no change in D.O. could be measured 7 attributed to the Lemont Refinery. 8 Illinois EPA Recommendations 9 the Agency has recommended that the Board 10 deny CITGO's requested Adjusted Standard 11 relief. Some responses to the Agency's 12 technical basis are appropriate. 13 the Agency cites the Board's 1972 conclusion 14 that a reduction in ammonia is necessary if 15 the Illinois River is to achieve the D.O. 16 Standard 17 While the 36 year old opinion held 18 significant meaning at the time, more recent 19 water quality data present different stream 20 conditions. The attached Exhibit 5, Figure 1 21 shows that since just 1986, ammonia levels in 22 the Ship Canal have declined from over 3.6 23 mg/L to between 0.47 and 0.81 mg/L. There is 24 no longer an ammonia issue on the Illinois 0064 1 River. The Agency also overlooks the fact 2 that the requested relief will further reduce 3 ammonia concentrations over existing levels 4 in the Ship Canal. 5 At this point, CITGO is the only refinery 6 discharging to the Ship Canal that has yet to 7 meet the ammonia nitrogen standard at 35 III. 8 Adm. Code 304.122(b). 9 This statement is misleading as the Lemont 10 Refinery is the sole refinery on the Ship 11 Canal. However, the waterway receives effluent from one of the largest municipal 12 13 wastewater treatment plants in the world, 14 which contributes significantly more ammonia 15 on a pounds per day basis than the Lemont Refinery contributes. Over the past four 16 17 years, the Ship Canal upstream of the Lemont 18 Refinery has contained an average 0.66 mg/L 19 total ammonia. Even at the 7-day, 10-year 20 low flow, this translates into 4,640 pounds

21 per day of ammonia passing by the Lemont 22 Refinery. The Lemont Refinery over the past 23 decade has contributed an average 43 pounds 24 per day of ammonia on a net basis, or less 0065 1 than one percent of the overall ammonia 2 loading under low flow conditions. (The 3 contribution from the Lemont Refinery would be even less at higher Ship Canal flows.) 4 5 CITGO further claims that the discharge from 6 the refinery doesn't pose any threat to human 7 health or the environment and is not 8 significantly greater than the environmental 9 impact that the Board was trying to control 10 when it adopted the ammonia nitrogen rule. Since Section 304.122(b) is a technology 11 12 based standard, not a water quality standard, 13 CITGO's assertion is irrelevant to the issue at hand as there exist removal technologies 14 15 that are economically reasonable and 16 technically feasible. 17 The economically reasonable and technically 18 feasible determination by the Board was based on treating municipal wastewater. The Agency 19 20 has supported since the late 1980s, for both 21 the Lemont Refinery and Mobil Oil relief from 22 this rule, in part based on the absence of 23 environmental impact. The Agency's current 24 response addresses environmental impact, 0066 including citing the Board's 1972 opinion on 1 2 the D.O. concern, yet claims such concerns 3 are "irrelevant". The Lemont Refinery 4 continues to make progress in reducing its 5 ammonia discharge. The requested relief will 6 reduce the permitted daily maximum by 59 7 percent. 8 Conoco-Phillips Refinery does not have water 9 quality based limits due to its location on 10 the Mississippi River, however nitrification is known to occur on a regular basis given 11 the ammonia levels measured in the effluent 12 and the results of whole effluent toxicity 13 14 testing. 15 This statement is also misleading. The 16 Lemont Refinery nitrifies a high percentage 17 of the time and its effluent also passes the 18 whole effluent toxicity testing. From 19 information in the Agency files, the 20 following could have been provided to the 21 Board by the Agency: 22 CONOCOPHILLIPS WOOD RIVER AMMONIA EFFLUENT 23 LEVELS 2.4 Year 0067 Maximum Monthly Average, mg/L 1 2 Daily Maximum,

3	mg/L
4	2003
5	2.0
6	15.2
7	2004
8	7.6
9	7.6
10	2005
11	5.8
12	10.6
13	2006
14	2.3
15	3.0
16	2007
17	4.2
18	4.2
19	From 2002 to 2007, the ConocoPhillips Wood
20	River Refinery has discharged an average 67
21	pounds of ammonia per day. As the intake
22	water is groundwater, this 67 pounds per day
23	can be considered a net discharge, as
24	compared to the Lemont Refinery net 43 pounds
0068	
1	per day ammonia discharged. It would seem
2	that the Agency's use of this other refinery
3	as an example is totally consistent with the
4	Lemont Refinery's performance.
5	It is clear Conoco-Phillips does not meet a
б	3.0 mg/L monthly average or a 6.0 mg/L daily
7	maximum all the time. In fact, the results
8	look very similar to the Lemont Refinery's
9	performance. Simply comparing concentrations
10	discharged from petroleum refineries can be
11	
	misleading, as water conservation practices
12	vary. The more modern refineries like the
13	Lemont Refinery discharge less water per
14	barrel of crude processed than older
15	refineries.
16	By seeking relief from Section 304.122
17	ammonia standard, CITGO is subjecting a
18	portion of the Ship Canal to experience much
19	higher ammonia concentrations, 6.9 mg/L as a
20	monthly average and 10.61 mg/L as a daily
21	maximum.
22	This statement does not offer an accurate
23	representation of the relief sought. The
24	requested relief will result in lower ammonia
0069	
1	concentrations in the Ship Canal than result
2	from the existed permitted levels, which the
3	Agency supported in the previous site
4	specific rule change. The Agency also seems
5	to imply that ZIDs and mixing zones are
6	inappropriate. Within the ZID, where a 10:1
7	dilution occurs within 7 seconds. Assuming
8	the Lemont Refinery is discharging at the
8 9	
2	requested daily maximum limit of 10.61 mg/L,

10 the ammonia concentration at the edge of the 11 ZID will be 1.63 mg/L, and at the edge of the 12 mixing zone, the ammonia concentration will 13 be 0.91 mg/L. At the 7-day, 10-year low 14 flow, the increase in ammonia will be from 15 0.634 mg/L upstream to 0.701 mg/L once 16 complete mixing has occurred when the 17 refinery is discharging at its proposed daily maximum 10.61 mg/L and its design average 18 19 flow. Again, all of these values are 20 reductions from the current permitted levels. 21 The Lemont Refinery is seeking an adjusted 22 standard from ammonia effluent limits that 23 were adopted by the Board solely because of 24 the elevated ammonia/low dissolved oxygen in 0070 the Illinois River over 36 years ago. No 1 2 other large water body in Illinois has 3 effluent ammonia standards. The conditions 4 that lead to these unique Illinois River 5 Basin effluent standards no longer exist 6 today. 7 The Ship Canal will thus have an area that is 8 effectively unavailable as habitat for 9 sensitive forms of aquatic life. 10 the Agency should identify which "sensitive 11 forms of aquatic life" it is referring to. 12 The Agency in its pre-filed testimony in 13 R08-09, described the Qualitative Habitat 14 Evaluation Index on the Ship Canal as 15 "generally below 22, which are to be expected 16 in waters with very poor to poor habitual 17 attributions" (R. Sulski, 2007, page 17, 18 emphasis added). If the habitat is 19 controlling the aquatic potential, it is 20 misleading to state sensitive forms would 21 enter into the turbulent ZID and mixing zone. 22 In Adjusted Standard AS96-10, the Board's 23 opinion noted that the Agency's opinion was 24 that the costs of installing additional 0071 1 cooling "may not be economically reasonable 2 when compared to the likelihood of no 3 improvement in the aquatic community of the 4 UIW."3 (AS96-10, Opinion and Order at page 5 7). The Agency's position in this ammonia 6 proceeding is inconsistent with the position 7 it has taken historically along the waterway 8 as well as its current position on the 9 limitations of habitat in the UAA 10 proceedings. 11 Adding higher ammonia discharge levels would 12 only further prevent attainment of dissolved 13 oxygen standard (emphasis added). 14 Again, the Agency is confusing the Lemont 15 Refinery's request, which is a reduction in 16 ammonia levels over the current permitted

17 levels. Attainment of the dissolved oxygen 18 standard on the Ship Canal will depend on the 19 elimination of CSO events, not on the Lemont Refinery's minor ammonia contribution. 20 21 Cost Effectiveness 22 As presented in Exhibit 5, Figure 3, the 23 Lemont Refinery has achieved an average 2.4 annual total ammonia effluent level of 75 0072 1 pounds per day over the past decade while the 2 existing Site Specific Rule Change was in 3 effect. The ammonia removed from the Ship 4 Canal by the Lemont Refinery over this same 5 period has averaged 32 pounds per day, so the 6 net contribution has been 43 pounds per day. 7 Assuming that the lowest cost upgrade 8 identified in the Aware Report (February 9 2008) will remove the 43 pounds per day 10 contributed (the refinery becomes ammonia 11 neutral to the Ship Canal), the annualized 12 cost would be \$3,220,000, or a cost of \$205 13 per additional pound removed. 14 The Lemont Refinery would also increase its carbon footprint from the additional energy 15 consumed with the add-on equipment, should 16 17 the adjusted standard be denied. The 18 operating horsepower for the added equipment 19 will be 144 HP. Assuming the additional energy consumed is derived from coal, the 20 21 additional pounds per year of carbon dioxide 22 emitted will be 1,976,000. Or for every 23 additional pound of ammonia oxidized, 126 pounds of carbon dioxide will be emitted. 2.4 0073 1 Remember, that ammonia oxidation occurs 2 naturally within the receiving stream, 3 without carbon dioxide generation. 4 The \$205 per pound of ammonia removal for the 5 incremental 43 pounds per day can be compared 6 to the cost for ammonia removal at the 7 Calumet Water Reclamation Plant of 8 approximately \$3.00 per pound, and the 9 addition of five side-stream aeration systems 10 that provide sufficient oxygen to remove a 11 pound of ammonia at approximately \$10.00 per 12 pound.4 The above unit cost is 68-times 13 higher for the Lemont Refinery than the 14 ammonia removal costs required for the 15 Calumet Water Reclamation Plant, and is 16 clearly not cost effective. 17 Derivation of Effluent Limits 18 The Lemont Refinery is currently operating 19 under a site-specific rule change that 20 expires on December 31, 2008. The existing 21 limits include both load limits based on Best 22 Available Treatment under the federal 23 categorical limits and concentration limits.

24	The existing limits are as follows:
0074 1	Ammonia Concentration
2	Monthly Average
3	9.4 mg/L
4	Daily Maximum
5	26.0 mg/L
6 7	Using five years of effluent data from June 2002 to May 2007, and the U.S. EPA Technical
8	Support Document for Water Quality-based
9	Toxics Control (1985) procedure, at the 95th
10	percentile the calculated ammonia limits are
11 12	6.9 mg/L monthly average and 10.6 mg/L daily maximum. As noted previously, these are
13	significant reductions from the current
14	limits, 27 percent on the monthly and 59
15	percent on the daily maximum. However,
16 17	Section 304.122(b) only applies to dischargers that discharge more than an
18	average 100 pounds per day on a monthly
19	average, and 200 pounds per day on a daily
20	basis, and the Lemont Refinery is asking that
21 22	the above concentration limits only apply when these mass limits are exceeded. This is
23	particularly important from a compliance
24	perspective. If nitrification is lost or
0075	
1 2	inhibited, ammonia concentrations increase, and there is minimal corrective action that
3	can be accomplished in the short term to
4	lower concentrations. However, the Lemont
5 6	Refinery does have the ability to limit the volume of discharge for a period of time, and
7	could reduce its discharge rate during
8	periods when the nitrification process is
9	upset to stay under the mass limits. From an
10 11	environmental perspective, this is a good approach to minimizing any increase in
12	ammonia in the Ship Canal, and allows for a
13	proactive method for refinery personnel to
14	respond to upsets without violating an
15 16	effluent limit.
17	Summary The Lemont Refinery has consistently achieved
18	the Best Available Treatment ammonia limits
19	since 1987. The average net ammonia
20	discharged by the refinery to the Ship Canal since 1999 has been 43 lbs/day, and in 2008
21 22	through June the refinery has removed 29
23	pounds per day from the Ship Canal, while
24	adding only 17 pounds per day.
0076	The site exception valies is not worked ,
1 2	The site-specific relief is not required to achieve the calculated BAT limits, but rather
3	for the unique Illinois River Basin
4	regulations that were based on river
5	conditions that existed in the early 1970s,

6 but no longer exist today. The Lemont 7 Refinery has been unable to consistently 8 achieve the ammonia effluent limits due to the complex nature of petroleum refining as 9 10 well as the sensitive nature of the 11 nitrification process itself. The Lemont 12 Refinery has expended over \$45,000,000 since 13 1998, to attempt to further reduce effluent 14 ammonia levels. The increase in the 15 processing of heavier crude oils in 2005 16 clearly set back the refinery's progress. 17 However, the steady improvement since 2006 18 and the record low effluent ammonia levels 19 through the first six months of 2008 suggest 20 that the Lemont Refinery is close to achieving the 3/6 mg/L limits, and a five 21 22 year period to fine tune and demonstrate 23 performance is reasonable. The environment 24 will benefit from the significant reductions 0077 1 in ammonia permitted to be discharge while 2 consumers may benefit from less expensive 3 petroleum products in Illinois and a reduced 4 carbon footprint associated with add-on 5 nitrification equipment at the Lemont 6 Refinery. 7 Given that the proposed effluent limits are 8 lower than the limits determined from the 9 water quality-based derivation, the requested 10 effluent limits will be protective of the 11 Ship Canal's water quality. The overall 12 declining ammonia loading on the Illinois 13 River System and the onset of nitrification 14 within the Ship Canal itself (due to higher 15 dissolved oxygen levels) have virtually eliminated un-ionized ammonia exceedances 16 17 downstream of the Lemont Refinery. Dramatic 18 improvements in the dissolved oxygen level 19 within the Ship Canal have also occurred over 20 the past twenty years. These factors support the Lemont Refinery's request for 21 site-specific relief, as no environmental 2.2 23 impacts from the requested relief have been 24 identified. 0078 1 JAMES HUFF, 2 called as a witness herein, having been first duly 3 sworn, was examined and testified as follows: 4 DIRECT EXAMINATION 5 BY MR. FORT: 09:25:02 6 Q. Mr. Huff, you've also filed prefiled 7 testimony here? 8 Α. Yes, sir. 9 And that document also has attached to Ο. 10 it resumes and calculations and exhibits; does it 09:25:08 11 not? 12 And data tables. Α.

13 And the exhibits and attachments to Q. 14 your testimony are true, accurate and complete to 15 the best of your knowledge and belief? 09:25:24 16 Α. Yes, sir. 17 CORRECTED TESTIMONY OF ROBERT M. STEIN 18 My name is Robert M. Stein and I am 19 affiliated with AWARE Environmental Inc. (AEI). I have been evaluating the Citgo 2.0 Lemont Refinery's (Lemont Refinery) 21 22 wastewater treatment plant with regard to 23 achieving the State of Illinois ammonia 24 nitrogen discharge limitations for over 30 0079 1 years. A summary of the AWARE Environmental 2 Inc. Professional capabilities, as well as 3 the vitae for those persons participating in 4 this evaluation are attached and are 5 designated as follows: Description of AWARE б Environmental Inc. Exhibit 6 Robert M. Stein 7 Vitae Exhibit 7 George Tyrian Vitae Exhibit 8 8 I have specialized in the area of industrial 9 water pollution control and I have worked 10 with numerous industries with regard to biological nitrification and nitrogen 11 control. I have consulted on over 10 12 13 refinery and 30 nitrogen control projects. A 14 detailed list of projects is included in the attached vitae. 15 16 I have been a contributing author to one of 17 the standard texts in the environmental 18 engineering field, have been an adjunct 19 professor at the University of North 20 Carolina-Charlotte, I was appointed by the 21 North Carolina Environmental Management 22 Commission to serve on the Champion/Pigeon River Water Quality Variance Review Committee 23 2.4 and I was awarded the TAPPI Roy F. Weston 0080 award for outstanding contributions in 1 2 environmental technology. I have authored 3 numerous articles on industrial environmental 4 control. A list of publications is included with my vitae. Several of these were in the 5 6 area of nitrogen control. 7 AEI, in addition to extensive experience in 8 refinery and nitrogen removal systems in 9 general, has a detailed understanding of the 10 Lemont Refinery. The refinery produces gasoline, a variety of other fuels, coke, and 11 12 solvents from crude oil. AEI personnel have 13 been working with the Lemont Refinery 14 treatment system for approximately thirty 15 (30) years. 16 Process wastewater and stormwater from the 17 refinery are treated in the refinery's wastewater treatment facility. The 18 19 wastewater facility includes oil and solids

20 removal, flow equalization, clarification, 21 single-stage activated sludge treatment and 22 final polishing. 23 The Lemont Refinery has been unable to 24 consistently and reliably meet the State of 0081 1 Illinois effluent ammonia nitrogen 2 concentration standard of 3.0 mg/L. The 3 Illinois Pollution Control Board granted the 4 refinery a site specific rule change, 5 effective through December 31, 2008, which 6 allows the refinery to meet the U.S. EPA Best 7 Available Technology Economically Achievable 8 (BAT) effluent limitations. The refinery has 9 consistently achieved compliance with the 10 U.S. EPA BAT effluent limitations. 11 AWARE Environmental Inc. (AEI) of Charlotte, 12 North Carolina was retained by the Lemont 13 Refinery to evaluate current conditions and 14 potential alternatives for upgrading the 15 treatment system to meet a 3 mg/l ammonia 16 nitrogen limit. AEI conducted a conceptual 17 evaluation of the Lemont Refinery wastewater 18 treatment system, and the available alternatives to achieve ammonia removal for a 19 refinery wastewater. The details of this 2.0 21 evaluation are presented in our report 22 entitled "Technical Review of Ammonia 23 Treatment at the Wastewater Treatment Plant -24 Citgo Petroleum Corporation, Lemont 0082 Refinery," attached to this testimony as 1 2 Exhibit 9. The primary objectives of this 3 evaluation were to: 4 1. Determine if the present wastewater 5 treatment system is consistent with U.S. EPA 6 BAT criteria; 7 2. Determine if the wastewater treatment 8 system operating conditions are conducive to biological nitrification; and 9 10 3. Evaluate alternative ammonia removal technologies and the cost of those 11 technologies to determine if changes in the 12 13 present wastewater treatment system are 14 warranted as part of a program to achieve 15 compliance with the 3 mg/l ammonia nitrogen 16 criteria. The results of this evaluation indicate that 17 Lemont Refinery has a wastewater treatment 18 19 system which exceeds BAT criteria and which 20 allows the refinery to comply with U.S. EPA 21 refinery discharge regulations. The long 2.2 term performance data has demonstrated that 23 the refinery wastewater treatment facility 2.4 has achieved compliance with the current mass 0083 1 based limitations for ammonia nitrogen
2 contained in the NPDES permit, but that the 3 refinery has not been able to consistently 4 meet a 3.0 mg/l ammonia nitrogen limit as per 5 the Illinois regulations. 6 A review of the wastewater treatment 7 technologies employed at the other Illinois Refineries was conducted. These refineries 8 were Conoco-Phillips, Roxana, IL; 9 10 Exxon-Mobil, Joliet, IL; and Marathon, 11 Robinson, IL. The wastewater treatment 12 processes employed by these Refineries are 13 very similar to those utilized at the Lemont 14 Refinery. 15 A review of the activated sludge treatment 16 plant was performed with regard to factors which control the ability of a biological 17 18 treatment facility to achieve nitrification. 19 These factors include food to microorganisms 20 ratio (F/M), sludge age, dissolved oxygen 21 concentration, temperature, pH, and 22 alkalinity. The review indicates that these 23 parameters have been maintained in the ranges 24 favorable to nitrification. However, in 0084 1 spite of this, the refinery treatment 2 facility has been unable to meet the 3.0 mg/l 3 ammonia nitrogen standard on a consistent 4 basis 5 We found that Lemont Refinery has maintained 6 an ongoing optimization program and this 7 program has resulted in improved ammonia 8 nitrogen removal. The program has been 9 expanded to address changes in the petroleum 10 refinery industry. The refinery has spent 11 over \$45,000,000 over the last ten years on 12 capital projects related to ammonia control 13 and reduction. 14 As a result of changes in the crude quality, 15 Lemont refinery has experienced a five-fold 16 increase in wastewater treatment chemical addition costs over the last 4 years. Lemont 17 refinery has and is continuing to conduct 18 19 research which addresses the environmental 20 impacts caused by crude quality fluctuations. 21 Crude quality fluctuations confirm AEI's 2.2 previous analysis which indicated that the 23 capability of the wastewater treatment system 24 is limited, in large part, due to the 0085 1 inherent variability of refinery wastewater. 2 There are a large number of treatment 3 technologies which can be utilized for 4 ammonia removal. These include biological 5 treatment technologies, land treatment, 6 wetlands polishing, and physical/chemical 7 treatment. As part of my review of treatment 8 alternatives for upgrade of the Lemont

```
9
            Refinery wastewater treatment plant to
10
            achieve increased ammonia removal I
11
            considered our experience in design and
12
            operation of nitrogen technologies along with
13
            a detailed review of published data on
14
            technologies for ammonia removal. The most
15
            commonly used approach for ammonia nitrogen
16
            removal is biological nitrification.
17
            Biological nitrification is typically a two
18
            step process as follows:
19
            Nitrosomonas
20
            2 NH4 + 302 2 NO2- + 4H+ + 2 H2O
21
            Nitrobacter
22
            2 NO2- + O2 2NO3-
23
            Total Reaction
24
            NH4+ + 202 NO3- + 2H+ + H2O
0086
 1
            It is in the biological nitrification process
 2
            where refineries have experienced problems in
 3
            providing consistent ammonia nitrogen
 4
            removal. This is because biological
 5
            nitrification is a very sensitive process.
 6
            The cell growth rate is much lower for the
 7
            ammonia nitrogen organisms (nitrifiers) than
 8
            for carbonaceous degradation (COD) organisms.
 9
            In a typical activated sludge aeration basin,
10
            nitrifies represent only 2-5% of the aeration
11
            tank biomass. The nitrification growth rate
12
            is more sensitive to temperature changes than
13
            carbonaceous organism and nitrifiers are more
14
            susceptible to chemicals discharges.
                                                  This
15
            can occur in a number of ways:
            1. Inhibition - Nitrifiers continue to grow
16
17
            but at a slower rate
18
               Toxicity - Loss of nitrifiers
            2.
19
            EPA has published a listing of organics and
            metals which inhibit the organic activated
20
            sludge process and which affect nitrification
21
            (EPA-430/9-76-017a). This document indicates
22
            there are significantly more compounds which
23
24
            affect nitrification than carbonaceous
0087
1
            organisms and where a compound affects both
 2
            it typically affects nitrifiers at a much
 3
            lower dosage (I.E. phenol affects
 4
            carbonaceous organisms at 200 mg/l and
 5
            nitrifiers at 4-10 mg/l).
 6
            Because of the sensitivity of the nitrifying
 7
            organisms in the degradation of refinery
 8
            wastewaters and the long term variability
 9
            which has occurred in achieving ammonia
10
            removal at the Lemont Refinery, process
11
            technologies considerations were based on
12
            approaches which could minimize potential
13
            upsets and provide the best mechanism for
14
            biological nitrogen removal. This included
15
            single stage activated sludge (an increase in
```

16 the activated sludge aeration basin size or 17 addition of a media to the existing aeration 18 basin to obtain additional biomass). Some of 19 the media applications include Kaldnes, 20 Linpor, Hydroxyl or Agar or the addition of 21 supplemental specialized bacteria to a single 2.2 stage basin. However, these alternatives 23 were rejected because of the sensitivity of 2.4 nitrifiers to the refinery wastewater. Since 0088 1 the existing treatment plant has been 2 experiencing problems with loss of 3 nitrification and the fixed media type 4 organisms are subject to sluffing, the 5 addition of fixed media or increased 6 retention time does not provide the best 7 alternative to minimize potential upsets. 8 An alternative approach could be providing a 9 fixed bed type system ahead of the activated 10 sludge system as a pretreatment. However, 11 this still presents a problem since the fixed 12 bed bacteria would be more sensitive to 13 upsets and would not do as good as job of 14 removing the carbonous materials. There is a 15 very high probability of sluffing of the 16 organisms which could upset the activated 17 sludge process. 18 In reviewing alternatives for upgrading a 19 single activated sludge system, we felt that 20 the two most promising alternatives were a 21 single stage activated sludge with a powered 22 activated carbon supplement or a single stage 23 activated sludge membrane bioreactor. The 24 powered activated carbon supplement includes 0089 1 the advantage of the plastic type media in 2 that it provides a location where additional 3 bacteria can grow however the powdered 4 activated carbon also adsorbs materials that 5 may be toxic or inhibitory to the nitrifying organisms. This process allows concentration 6 7 of trace nutrients at the carbon surface and 8 provides bulk addition to improve sludge 9 settling properties. 10 The membrane bioreactor technology is one of 11 the newest approaches for improving 12 biological nitrification. With the membrane 13 there can be improved solids liquids 14 separation and the treatment plant is able to 15 operate at significantly higher MLSS levels 16 than in a conventional treatment plant 17 (typically twice the normal MLSS levels). 18 Specifically this allows: 19 1) The retention time of the biomass can be 20 increased to create favorable conditions for 21 normal growth of the nitrifying organisms; 22 2) Better and more reliable effluent quality

23 as compared to a conventional processes; and 24 3) Easier control and operation of the 0090 1 system since the system would not longer need 2 a secondary clarifier. 3 In addition to considering a single stage 4 system we also considered two stage 5 biological treatment. In a two stage 6 process, carbonaceous removal is achieved in 7 the first stage. This is normally an 8 activated sludge process. The first stage 9 reduces the concentration of toxic and 10 inhibitory materials. There are two basic 11 second stage alternatives. One is to have a 12 2nd stage activated sludge system and the other is use of a fixed media system for the 13 14 2nd stage. The reason for selecting a fixed 15 media system for the 2nd stage is that the 16 nitrifying organisms tend to grow slower than 17 carbonous organisms, they do not settle as 18 well and therefore, if the inhibitory or 19 toxic materials can be reduced in the 1st 20 stage than a 2nd stage fixed film system 21 provides a very good mechanism for biological 2.2 treatment. The poor settling organisms will 23 attach to the media. 24 Based on the analysis of all alternatives, 0091 four of the most viable alternatives were 1 2 selected for preliminary process design and 3 budgetary cost estimates. The four 4 alternatives selected include powdered 5 activated carbon addition (PACT), a two stage 6 activated sludge fixed media biological 7 treatment, membrane bioreactors, and 8 breakpoint chlorination. Addition of a fixed media biological reactor would be the most 9 10 cost-effective alternative. The fixed media 11 system would utilize a rotating biological 12 contractor (RBC) and would have an estimated 13 capital cost of \$13,500,000 and an estimated annual operating cost of \$1,220,000. 14 The estimated total annualized cost for the 15 16 addition of the fixed media reactor system 17 over a ten (10) year period at 8 percent 18 interest is \$3,220,000/year. 19 Even with the ammonia removal upgrades, the 20 ability of the treatment system to 21 consistently meet the 3.0 mg/l ammonia 22 nitrogen standard is uncertain. Based on the 23 significant cost of upgrading the system, and 24 the uncertainty that the upgraded system 0092 1 would achieve consistent compliance with the 2 3.0 mg/l ammonia nitrogen standard, upgrading 3 the treatment system with additional 4 treatment technologies for ammonia removal is

5 not justified. 6 Our findings indicate that the Lemont 7 refinery has an approach which is properly 8 directed to improving treatment plant 9 performance, particularly as it relates to 10 ammonia removal. We recommend that Lemont 11 Refinery continue its ongoing research 12 studies and projects designed to optimize the 13 existing wastewater treatment system. These 14 efforts should be directed toward obtaining 15 the maximum possible ammonia removal on a 16 consistent basis. Continued development of 17 operational data under the varying conditions 18 inherent with refinery wastes will help to 19 improve the performance of the system, and 20 will allow the maximum ammonia removal 21 capability of the system to be achieved. 22 In conjunction with the preparation of 23 testimony I received and reviewed a copy of 24 the June 20, 2008 document entitled 0093 "Recommendation of the Illinois Environmental 1 2 Protection Agency" related to the Lemont 3 Refinery ammonia standard request. I offer 4 the following comments to information 5 contained in that document: 6 1. Item #13 on Page 5. In this section it 7 is indicated that many expenditures which 8 were credited as improvements to the 9 treatment plant were not directly related to 10 ammonia nitrogen. I feel that this is not 11 true since many of the items noted were 12 implemented to improve the overall treatment 13 plant performance and the overall treatment 14 plant performance improvements allowed the 15 treatment plant to provide increased 16 biological nitrification. For example, gas 17 floatation pretreats and removes oils and 18 solids prior to the activated sludge system. 19 Oils can inhibit nitrification and the lower 20 levels of these materials improves biological nitrification. In addition, the cost of the 21 Purge treatment unit "PTU", installed as part 22 of the FCC consent decree, were largely 23 24 caused by the need to consistently provide 0094 1 ammonia nitrogen removal. Before 2 installation of the FCC unit, the Refinery 3 was far below BAT treatment standards. The 4 PTU wastewater treatment processes would 5 likely not have been needed had the ammonia 6 rule - or the ammonia site specific rule -7 not been in effect. 8 2. Item #15 on Page 7. There is a 9 discussion that when the board adopted the 10 provisions of the ammonia nitrogen standard 11 there was extensive testimony as to the

12 availability of methods for reducing ammonia 13 in the effluent and it was determined that 14 nitrification can be satisfactory 15 accomplished for a reasonable price by a 16 second stage of biological treatment. It 17 indicated that the evidence is clear that for 18 too long, oxygen demand exerted by ammonia in 19 DOMESTIC waste has been overlooked. 20 We feel that there is adequate demonstration 21 that domestic wastewater treatment plants can 22 achieve biological nitrification but this is 23 not the case for the treatment of refinery 24 wastewaters. Two documents which justify 0095 this finding are the "Development Document 1 2 for Effluent Limitation Guidelines in New 3 Source Performance Standards for the 4 Petroleum Refinery Point Source Category", 5 April 1974, developed by the US Environmental 6 Protection Agency and the "Develop Document 7 for Effluent Guidelines New Source 8 Performance Standards and Pretreatment 9 Standards for the Petroleum Refinery Point Source Category", October 1982, developed by 10 the effluent guidelines division of the US 11 12 Environmental Protection Agency. In both of 13 these documents, there is clear indication 14 that the petroleum refinery industry does not 15 have the technology for economically 16 achieving a 3 mg/l effluent standard on a 17 consistent basis. In 1974, the EPA data 18 showed that an activated sludge system for an 19 petroleum refinery can expect to produce an 20 effluent ammonia of 1 to 100 mg/l and in the 21 1982 development document the EPA indicated 22 that for direct dischargers in the petroleum 23 refinery industry (Table 6-1) that the 24 current BPT for ammonia nitrogen is 6.8 mg/l. 0096 1 These data indicate that although the board 2 may have had extensive testimony on methods 3 of removing ammonia nitrogen in domestic 4 effluents the technology was fundamentally 5 different for ammonia nitrogen in the 6 refining industry. 7 3. Item #15 on Page 7. It is noted that 8 Citgo is the only refinery discharging to the 9 Ship Canal that has yet to meet the ammonia 10 nitrogen standard in the Illinois 11 administrative code. I am not aware of any 12 other refineries that discharge to the Ship 13 Canal. 14 Items #17 and 18 on Page 8. The Agency 4. 15 quotes an excerpt from a board decision in 16 1972 out of context. The quote would appear 17 to have the board as specifically stating 18 that nitrification can be satisfactory

19 accomplished at a reasonable price. We 20 question the use of reasonable price for 21 refineries in light of the specific nitrogen 22 reduction which is proposed to be achieved. 23 Table 3-10 of the AWARE report (Exhibit 9) 24 shows that the average effluent ammonia from 0097 1 January 2006 through October 2007 was 122 lbs 2 $\rm NH3-N/day.$ At an average flow of 7.13 MGD 3 and at a 3 mg/l ammonia nitrogen limit, the 4 refinery would be allowed to discharge 178 5 lbs NH3-N/day. Therefore, the long term 6 ammonia discharge is less than the projected 7 limit. The technical and economic 8 justification to spend an annual cost in 9 excess of 3,000,000 to achieve very little 10 addition nitrogen removal and a level that is 11 not expected to consistently achieve the 3 12 mg/l standard is questionable. 13 5. Item #19 on Page 9. This notes that 14 Citgo is the only Illinois refinery not 15 meeting the ammonia limit. Based on a review 16 of the available NPDES data, the Conoco Philips Refinery is only in compliance with 17 18 the 3 mg/l limit approximately 90% of the 19 time and the Exxon Mobil Refinery has been in 20 compliance only since 2005. 21 6. Item #20 on Page 9. The report questions if the refinery has adequate retention time 22 23 to comply with the effluent standards. It 24 should be noted that the retention time at 0098 1 the Conoco Philips is 1.31 days and that 2 refinery, as previously noted, has only been 3 in compliance approximately 90% of the time. 4 The F/M as noted in the AEI report at the 5 Citgo Refinery is adequate for biological 6 nitrification and on a long term basis 7 achieves a very low effluent ammonia 8 concentration. One item noted in the EPA 9 development document related to refineries 10 are "the effluent from a properly designed 11 and operated treatment plant changes 12 continually due to the variety of factors. 13 Changes in production mix, production rate, 14 and reaction chemistry influence the 15 composition of raw wasteload and therefore, 16 its treatability. Changes in biological 17 factors influence the efficiency of the treatment process". Therefore, we feel that 18 19 there are a number of factors which effect 20 the performance of a refinery treatment plant 21 to achieve nitrification and that these have 22 a direct effect on the ability of the 23 treatment plant to consistently achieve 24 nitrification. 0099

1 7. Item #20 on Page 10. It was noted that 2 Citgo did not consider additional aeration 3 basin or additional clarifier to provide 4 longer detention time. It should be noted in 5 the AEI report (in Table 4-6 of Exhibit 9) 6 that the overflow rate in the clarification 7 system is lower than in the Exxon Mobil and 8 Conoco Philips refineries. Therefore 9 additional clarification would not 10 necessarily make any significant improvement. 11 We looked at additional detention time in 12 that one of the processes selected (2-stage 13 biological system where we used a fixed film 14 system as the second stage). This provides 15 additional detention time and also provides 16 what we feel is one of the best cases for 17 providing good treatment in that a 2-stage 18 system provides reduction of toxic and 19 inhibitory materials in the 1st stage and a 20 2nd stage a fixed film type process provides 21 a very good media for growth of nitrifying 22 organisms. 23 Item #24 on Page 11. The ammonia 8. 2.4 concentrations in the permit should not 0100 1 affect the long term average ammonia 2 discharge. As previously noted the long term ammonia discharge from the refinery in 3 4 2006-2007 was 122 lbs/day. This is actually 5 significantly less on a long term basis than 6 the proposed permitting levels. Therefore, 7 we do not feel that there is any significant 8 additional effect on aquatic life. This also 9 applies to Item 25 on Page 12 which questions 10 the additional ammonia effecting DO in the 11 Ship Canal since on a long term average the 12 ammonia discharge is less than would be 13 permitted under the 3 mg/l regulation. 14 9. Item #37 on Page 16. The other 15 refineries have not been able to consistently achieve the 3 mg/l level. We disagreed, as 16 previously stated, that the additional 17 ammonia removal will be cost effective. 18 19 I will now summarize our findings which have 20 resulted in these conclusions: 21 1. COMPARISON OF LEMONT REFINERY WITH U.S. 22 EPA BAT TECHNOLOGY 23 a) The U.S. EPA has developed a model plant 24 for sour water strippers. The Lemont 0101 1 Refinery has maintained an on-going program 2 with the objective of improving stripper 3 performance. The sour water stripper data 4 from the last ten years shows that ammonia 5 removal efficiencies have been observed in 6 excess of 96.8 percent, and monthly average 7 efficiencies have been observed in excess of

8 99 percent. This type of performance is 9 indicative of the facility's diligent program 10 of improving performance. This represents 11 performance well exceeding the U.S. EPA model 12 refinery objective and continues to show 13 ongoing improvement. 14 b) The U.S. EPA developed a BAT model for a 15 refinery wastewater treatment system. Our 16 analysis of the Lemont Refinery wastewater 17 treatment system indicates that it exceeds 18 the BAT technology for refinery wastewater 19 treatment as presented in the 1982 U.S. EPA 20 "Development Document". The BAT criteria 21 used as the basis for the U.S. EPA effluent 22 limitations guidelines are compared with the 23 refinery wastewater treatment system in Table 24 As shown in Table 1 the refinery 1. 0102 1 treatment system contains all of the BAT 2 components outlined in the U.S. EPA. In 3 addition to complying with the U.S. EPA model 4 technology, the facility has continually made 5 improvements and upgrades to its wastewater 6 management program to reduce effluent ammonia 7 and improve the overall performance of the 8 treatment system. Based on the continued 9 improvement in effluent quality it appears 10 that these improvements and upgrades have 11 been successful. 12 c) We have found that the Refinery 13 wastewater treatment system performance is 14 compliant with the U.S. EPA BAT effluent 15 limits for ammonia. The current NPDES ammonia limits are 1005.73 lbs/day average 16 17 and 2212.65 lbs/day maximum based upon updated production data. An evaluation of 18 19 the data from January 2006 through October 20 2007 shows that the effluent ammonia has consistently been less than BAT levels with 21 22 an average ammonia nitrogen discharge over 23 this period of 122 lbs/day. The refinery 2.4 produces a better quality effluent ammonia 0103 1 and the U.S. EPA BAT ammonia effluent limits 2 are achieved 100 percent of the time, even 3 under extreme and adverse conditions. 4 2) ANALYSIS OF TREATMENT PROGRAM 5 A number of parameters have been identified 6 which affect biological nitrification. These 7 parameters are: F/M (food to mass ratio); 8 sludge age, aeration basin pH, aeration basin 9 temperature; and aeration basin dissolved 10 oxygen concentration. 11 Table 2 presents an analysis of normal 12 requirements for nitrification and the 13 operating levels at the Lemont Refinery. As 14 can be noted, the Lemont Refinery has

```
15
            consistently provided equal or better
16
            capabilities.
17
            TABLE 1
            COMPARISON OF BAT GUIDELINES WITH LEMONT
18
19
            REFINERY'S
20
            WASTEWATER TREATMENT SYSTEM
21
            BAT Guidelines
2.2
            Lemont Refinery System
23
            Sour water strippers
24
            Sour water strippers provide in excess 96%
0104
 1
            average ammonia removal efficiency
 2
            Flow equalization
 3
            Two (2) 4.6 MG process wastewater storage
 4
            tanks providing approximately 4.2 day
 5
            equalization capacity in addition to a 52 MG
 6
            stormwater capacity which provide 14 days
 7
            equalization and a 0.25 MG equalization tank
 8
            Initial oil and solids removal
 9
            CPI separators
10
            Additional oil and solids removal in the two
            4.6 MG process wastewater storage tanks
11
            Additional oil and solids removal
12
            100 ft diameter primary clarifier with
13
            polymer addition
14
15
            Induced gas flotation
16
            Biological treatment
17
            Single-stage activated sludge system
            Filtration or other final polishing
18
19
            16 MG final polishing pond
20
            TABLE 2
21
            TYPICAL OPERATING RANGES FOR NITRIFICATION
22
            Parameter
23
            Optimum Range
24
            Lemont Refinery
0105
 1
            Operation(2)
            F/M, lb BOD5/lb MLVSS-day
 2
 3
            Less than 0.3
            0.056 - 0.287(3)
 4
 5
            Sludge Age, days
 6
            > 10
            13.1 - > 100
 7
 8
            D.O., mg/L
 9
            2.0(1)
10
            3.3 - 7.0
11
            рΗ
            7.2 - 9.0
12
13
            7.0 - 8.2
14
            Temperature, °F
15
            68 - 100
16
            76 - 97
17
            NOTES: (1) Average D.O. should be > 2.0 mg/L.
18
            Minimum D.O. should be > 1.5 \text{ mg/L}.
19
              (2) Based on monthly average data.
20
              (3) F/M exceeded this range in June and
            July 1994. Overall average F/M over
21
```

```
22
            operating period is approximately 0.150
23
            lb/lb-day.
24
            3) ANALYSIS OF TECHNOLOGIES UTILIZED AT
0106
1
            ILLINOIS REFINERIES
 2
            In conjunction with the review of alternative
 3
            technologies to upgrade the Lemont Refinery,
 4
            a review of the treatment technologies in
 5
            place at other Illinois refineries was
 6
            conducted. The refineries included:
 7
            Conoco-Phillips Roxana, IL
 8
            Exxon-Mobil Joliet, IL
 9
            Marathon Robinson, IL
10
            A summary of this analysis is presented in
            Table 3.
11
12
            This analysis indicated that the treatment
13
            technologies at all the Illinois refineries
14
            are very similar. All have preliminary oil
15
            separation followed by an additional
16
            oil-water separator using a gas flotation
17
            process. The biological treatment process is
18
            activated sludge. The overflow rates on the
19
            secondary clarifiers are similar. The only
            difference in the treatment systems appears
20
            to be the activated sludge retention time.
21
2.2
            The Conoco-Phillips and Marathon refineries
23
            have a longer retention time than the Lemont
24
            Refinery. The Exxon-Mobil and Lemont
0107
1
            Refinery have similar activated sludge
 2
            retention times. A review of the effluent
 3
            data shows that the Conoco-Phillips Refinery
 4
            has not been in consistent compliance with
 5
            the 3 mg/l ammonia standard. The Exxon-Mobil
 6
            Refinery exceeded the 3 mg/l limit prior to
 7
            2005.
 8
            TABLE 3
 9
            COMPARISON OF WASTEWATER TREATMENT AT
10
            ILLINOIS REFINERIES
11
            AEI JOB NO. N356-01
12
            Refinery
13
            System
14
            Conoco
15
            Phillips
16
            Exxon
17
            Mobil
18
            Lemont
19
            Marathon
20
            Initial Oil and Solids Removal
21
            Oil/Water Separator
22
            API Separator
23
            Two-4.6 MG Process Separation Tanks
2.4
            API Separator
0108
1
            Additional Oil and Solids Removal
 2
            Dissolved Nitrogen Flotation
 3
            Air Flotation
```

```
Induced Gas Flotation
 4
 5
            Dissolved Nitrogen Flotation
 6
            Biological Treatment
 7
            Activated sludge with 1.31 days detention
 8
            time and 450 gpd/ft2 clarifier overflow
 9
            Activated sludge with 10.9 hrs detention time
10
            (upgrading to 19.4 hrs). Clarifier overflow
11
            392 gpd/ft2
12
            Activated sludge with 7.7 hrs detention time
13
            and 382 gpd/ft2 clarifier overflow
14
            Activated sludge with 1.54 days detention
15
            time and 227 gpd/ft2 clarifier overflow
16
            Tertiary Treatment
17
            Polishing ponds 5.4 mg
            Polishing pond 4.9 mg
18
19
            Polishing in treated water basin (polishing
20
            pond) 16 mg
21
            Final filtration
22
            4) ADDITIONAL TECHNOLOGIES FOR THE REMOVAL OF
23
            AMMONIA
24
            The AEI analysis of the Lemont Refinery
0109
1
            treatment facility indicated that the
 2
            refinery has been unable to provide
 3
            consistent biological nitrification.
 4
            Consequently alternative treatment
 5
            technologies or variations of the biological
 6
            treatment technology were examined to
 7
            determine the feasibility of achieving the
 8
            State of Illinois ammonia limitations of 3
 9
            mg/L. The alternative technologies which
10
            were evaluated included:
            1. Biological Treatment
11
12
            Technologies/Adaptations
13
              a. Single-stage activated sludge.
              b. Single-stage activated sludge with the
14
15
            supplement of specialized bacteria.
16
              c. Single-stage activated sludge with a
17
            powdered activated carbon supplement.
18
              d. Single-stage activated sludge membrane
19
            bioreactor.
2.0
              e. Two-stage activated sludge.
              f. Two-stage biological treatment using
21
22
            activated sludge for the first stage and a
23
            fixed media system for the second stage.
2.4
            2. Land Treatment
0110
1
            3. Wetlands Polishing
 2
            4. Physical - Chemical Technologies
 3
              a. Ion exchange.
 4
              b. Air stripping.
 5
              c. Steam stripping.
 6
              d. Breakpoint chlorination.
 7
            Based on a review of available literature,
 8
            previous studies on Lemont Refinery
 9
            wastewater, and our personal experience with
10
            similar wastewaters, this list of
```

11 technologies was reduced to the four with the 12 greatest potential for achieving the Illinois 13 3.0 mg/l ammonia nitrogen standard on a 14 consistent basis. The four technologies 15 selected for consideration at Lemont Refinery 16 are: 17 1. Activated sludge with powdered activated 18 carbon addition (PACT); 19 2. Activated sludge with a fixed media 20 system; 3. Activated sludge with membrane 21 22 bioreactor; and 23 4. Activated sludge with breakpoint 24 chlorination and dechlorination. 0111 Each technology was subjected to a rigorous 1 2 and thorough evaluation to evaluate its 3 potential for achieving the objective 4 mentioned above. 5 Our analysis indicated that the least 6 expensive approach for compliance was a 7 second stage fixed media biological treatment 8 unit. The annualized cost for the fixed 9 media system over 10 years at percent 10 interest is \$3,220,000. 11 Additional ammonia removal may be achievable 12 by upgrading the treatment plant with 13 additional treatment steps such as a fixed 14 media biological treatment unit. However, 15 this would be at significant cost, and it is uncertain that the upgraded system would 16 17 achieve consistent compliance with the 3 mg/Lammonia nitrogen standard. Therefore, 18 19 upgrading the treatment system with 20 additional treatment technologies for ammonia removal is not justified at this time. 21 22 SUMMARY 23 In summary, an analysis of the Lemont 24 Refinery wastewater collection and treatment 0112 1 system was conducted to determine if the system continues to be a BAT facility. The 2 3 results of this analysis indicate that the 4 refinery has a state-of-the-art wastewater 5 treatment system which exceeds BAT criteria 6 and allows compliance with all U.S. EPA 7 refinery discharge regulations and with the 8 current NPDES permit for the facility. The 9 wastewater treatment system has been operated 10 under conditions which are optimum to achieve 11 biological nitrification. There have been 12 significant changes in crude supply and the 13 refinery is processing heavier crudes, the 14 wastewater treatment program has been 15 diligent and has continued to provide excellent performance. However, the system 16 17 has been unable to consistently achieve

18 biological nitrification. The data has 19 demonstrated that the wastewater treatment system is not able to consistently provide 20 biological nitrification to meet the 3 $\rm mg/L$ 21 22 ammonia nitrogen standard as required in the 23 Illinois regulations. 24 The Lemont Refinery has continued its program 0113 to optimize its treatment system. 1 This 2 appears to be the proper direction for 3 improving wastewater treatment performance. 4 Alternative add-on, end-of-pipe 5 treatment technology has been evaluated and б will have an annualized cost of \$3,220,000. 7 There is no guarantee that installing this 8 technology will result in compliance with the 9 3 mg/L ammonia nitrogen limitation. 10 Therefore, we recommend that Lemont Refinery 11 continue its ongoing wastewater treatment 12 improvement programs. These efforts should be directed toward obtaining the maximum 13 14 possible ammonia removal on a consistent basis. Continued development of operational 15 data under the varying conditions inherent 16 17 with refinery wastes will help to improve the performance of the system, and will allow the 18 19 maximum ammonia removal capability of the 20 system to be achieved. 21 ROBERT STEIN, 22 called as a witness herein, having been first duly 23 sworn, was examined and testified as follows: 24 0114 1 DIRECT EXAMINATION 2 BY MR. FORT: 3 Mr. Stein, same questions. You had Q. 4 filed prefiled testimony in this matter; correct? 5 Α. Yes. 09:25:31 б And we found that there was a typo or Q. 7 dropped words in your testimony; correct? 8 Α. Yes. 9 And we now have corrected testimony Q. 10 for you; correct? 09:25:39 Yes, that's right. 11 Α. 12 ο. And the corrected testimony also 13 relies upon the same exhibits that you had in your 14 prefiled testimony? 15 Yes, it does. 09:25:46 Α. 16 And is that information all true, Q. 17 accurate and complete to the best of your knowledge 18 and belief? 19 Α. Yes, it is. 20 MR. FORT: We have two other exhibits 09:25:58 21 to add. These are probably more in the 22 nature of -- off the record. 23 (WHEREUPON, discussion was had 24 off the record.)

0115 1 THE HEARING OFFICER: We are back on 2 the record. And Mr. Tesher is going to read 3 the exhibits into the record, so it won't be 4 too confusing down the road. 5 MR. TESHER: We have the three 09:31:36 6 prefiled testimonies on Exhibit 1 in this 7 document here (indicating). This is 8 Exhibit 2 here (indicating). 9 Exhibit 3 is in three parts, due 10 to size, it's right here (indicating.) 09:31:49 11 Exhibits 4 through 8 are in this document 12 here (indicating). 13 Exhibit 9 is here (indicating). 14 And then, newly filed today, we have Exhibit 10, the corrected testimony of 15 09:32:00 16 Bob Stein. Exhibit 11 (indicating), this is 17 a provisional variance from 2005. 18 And Exhibit 12 (indicating), this 19 is the final order and the first and second notice from the 1998 rulemaking that's 20 09:32:14 21 R98-14. 22 THE HEARING OFFICER: All right. 23 Thank you, Mr. Tesher. 2.4 Mr. Boltz, any objection? 0116 1 MR. BOLTZ: No objection, Your Honor. THE HEARING OFFICER: These are 2 3 entered into evidence. 4 (WHEREUPON, said documents, 5 previously marked Exhibit 09:32:38 6 Nos. 1-12, for identification, were 7 offered and received in evidence.) 8 MR. BOLTZ: Your Honor, one point of 9 clarification, if I may. At some point within their testimony, various individuals 10 09:32:46 have generally referred on the Agency not 11 12 meeting necessarily with Citgo, with the 13 petitioner, during the course of the 14 proceedings. The Agency does generally 15 object on the basis of relevancy on that 09:33:00 issue --16 THE HEARING OFFICER: Okay. Well --17 MR. BOLTZ: -- for your notation. 18 19 THE HEARING OFFICER: The Board will 20 so note your observation. 09:33:08 21 Mr. Fort, how do you want to... 22 MR. FORT: I have a couple of 23 questions for each of the witnesses --24 THE HEARING OFFICER: Okay. 0117 1 MR. FORT: -- and then the Agency or 2 the Board or whomever can go ahead. 3 THE HEARING OFFICER: Go ahead, 4 Mr. Fort. Thank you. 5 DIRECT EXAMINATION 09:33:24 6 BY MR. FORT:

7 Ms. Postel, we've marked as an Q. exhibit, I think it's No. 11, the provisional 8 9 variance from late 2004. 10 Were you involved in that 09:33:33 11 proceeding? 12 Α. Yes. 13 Can you describe to the Board what was Q. 14 going on, why that application was made? 15 We had a process upset and we lost 09:33:39 Α. 16 nitrification in our wastewater treatment plant. We 17 didn't feel that we would be able to meet our 18 permanent limits. 19 So we worked with the Agency, and 20 filed a provisional variance for ammonia. And then, 09:34:00 21 upon receiving a request, we detailed, you know, 22 what the operational issue was and sent that to the 23 Agency. And the provisional variance was granted. 24 And those kinds of conditions happen ο. 0118 1 other times that you don't even seek a provisional 2 variance? 3 MR. BOLTZ: Objection. Leading. THE HEARING OFFICER: Overruled. 4 5 BY THE WITNESS: 09:34:25 6 Α. Correct. 7 THE HEARING OFFICER: You may answer. 8 BY THE WITNESS: 9 Α. Correct. 10 THE HEARING OFFICER: We have to keep 09:34:31 11 our voices up. We don't have the mics on. 12 Maybe at 10:00 we will. Thank you. 13 BY MR. FORT: 14 And to the extent there are upsets or Ο. 15 other variations, where might we find the data that 09:34:47 16 would reflect that? 17 It would be in Bob and in Jim's data Α. tables, where we would see the ammonia spikes and --18 19 indicating that we were having operational upsets. 20 Has the refinery had upsets from time 09:35:04 Q. 21 to time over the past ten years? 22 Α. Yes. 23 How consistently is the refinery able Q. 24 to nitrify? 0119 1 If we don't have operational upsets, Α. 2 we can consistently operate the ammonia, you know, 3 less than two parts per million on a routine basis. What kind of things is the refinery 4 0. 5 doing in the last 12, 18 months or so in order to 09:35:31 б improve its nitrification? 7 Α. We began segregating the desalter 8 water from other process wastewaters, we 9 continuously removed solids from the process water 10 tanks, we now do MEA -- well, we're doing amine 09:35:50 11 management through operational checks. We have 12 added an antifoam to the MEA system, which reduces 13 the carryover potential for amine into the

14 wastewater treatment system. 15 Q. These are ongoing --09:36:18 MS. LIU: May I interject? Would you 16 17 define MEA, please? 18 MS. POSTEL: Monoethylene amine. 19 MS. LIU: Thank you. 20 BY MR. FORT: 09:36:22 21 What is MEA? Q. 22 It's used to scrub H2S out of the Α. 23 refinery gases and waters. 24 THE HEARING OFFICER: Keep our voices 0120 1 up, I'm sorry. 2 BY MR. FORT: 3 And even though you've been doing all Q. these things, do you feel confident that the 4 5 refinery could meet the three milligram per liter, 09:36:44 б six milligram per liter standard on a continuous 7 basis? 8 No, I do not. Α. 9 MR. FORT: Can we enter her testimony 10 as if read? 09:36:57 THE HEARING OFFICER: Sure. I can do 11 12 that. 13 For the record, her testimony is entered as if read into evidence. Was that 14 15 exhibit -- well, it's the prefiled testimony. 09:37:07 Exhibit 1, is it? 16 17 MR. FORT: Well, Exhibit 1 is actually the answer to the Board's questions or the 18 19 Hearing Officer's questions. Her prefiled 20 testimony really is a separate testimony that 09:37:22 21 we'd like to have entered as if read. 22 THE HEARING OFFICER: So I don't have 23 that up here? MR. TESHER: That first document. 24 0121 1 THE HEARING OFFICER: Yes. 2 MR. TESHER: On the back of it. 3 THE HEARING OFFICER: Mr. Tesher, this 4 is exhibit -- it's a little confusing. It's 5 a little out of my -- the way I like to do 09:37:52 6 things. 7 MR. TESHER: The prefiled testimony is the prefiled testimony. And then the 8 9 exhibits are to the prefiled testimony. 10 So this is just her testimony at 09:38:00 the front, and then behind it you have Jim's 11 and Bob's testimony. The prefiled testimony 12 13 as prefiled. 14 THE HEARING OFFICER: Okay. So we're 15 marking this as Exhibit 1. I don't 09:38:16 16 understand -- I would like to get all the 17 prefiled testimony as an exhibit. 18 MR. TESHER: That's not how we had it 19 numbered. 20 THE HEARING OFFICER: Yes. 09:38:26

MR. TESHER: We didn't --21 22 THE HEARING OFFICER: It's foreign to 23 me. 24 MR. BOLTZ: It's the only way we can 0122 1 appropriately refer to it. 2 THE HEARING OFFICER: Yes. 3 MR. TESHER: Why don't we call that A? MR. FORT: Well, how do you want to do 4 5 it? I think there's only one --09:38:38 6 THE HEARING OFFICER: Tell me, 7 Mr. Fort. Exhibit -- right now --8 MR. FORT: Why don't we go off the 9 record. 10 THE HEARING OFFICER: Let's go off the 09:38:48 record, Sharon. 11 12 (WHEREUPON, discussion was had 13 off the record.) 14 (WHEREUPON, certain documents were 15 marked Petitioner's Exhibit Nos. 13-15, for identification, as 16 of 8/20/08.) 17 THE HEARING OFFICER: We're back on 18 19 the record. 09:41:54 20 What we're going to do is mark 21 Ms. Postal's prefiled testimony as 22 Exhibit 13, Mr. Huff's prefiled testimony as 23 Exhibit 14, and Mr. Stein's prefiled testimony as Exhibit 15. But he did file a 24 0123 1 corrected prefiled testimony and that is 2 marked, I believe, as Exhibit 10. 3 MR. TESHER: That's correct. 4 THE HEARING OFFICER: All right. 5 Thanks for your patience. 09:42:18 6 All right. Mr. Fort, I think 7 you're still on --8 MR. FORT: Thank you, Mr. Hearing 9 Officer, for getting this record in order. 10 09:42:30 BY MR. FORT: 11 Mr. Huff, can you elaborate --Ο. 12 MR. FORT: Now, we also have 13 Mr. Huff's testimony as prefiled, as if read? 14 THE HEARING OFFICER: Correct. 15 MR. FORT: I'm trying to picture in my 09:42:41 16 head how the flow is going to look. 17 MR. BOLTZ: Well, maybe we should slow 18 down here. Do we want to go through each 19 witness one at a time, have a direct, have a 20 cross and then go to the next? Or -- and 09:42:52 whatever pleases, Your Honor. 21 22 THE HEARING OFFICER: Well, what's 23 going to happen, I think -- because our 24 technical personnel will probably ask a 0124 question. Usually it's kind of a tag team, 1 2 like, Ms. Postal won't know the answer,

3 Mr. Stein may or Mr. Huff, so... 4 MR. BOLTZ: Sure. MR. FORT: From our standpoint -- at 5 09:43:17 б least it will be easier if, as the Hearing 7 Officer has said, because the answer to a 8 question might be another witness. So by 9 doing it as a panel, we get substantive 10 answers flowing together in response to a 09:43:30 11 question. THE HEARING OFFICER: I agree. 12 13 MR. RAO: Especially with Mr. Huff and 14 Mr. Stein, if there's overlap in their... 15 MR. BOLTZ: I'm sorry, I'm just 09:43:41 16 wondering -- I mean, are we evaluating each 17 witness' knowledge or Citgo as a party? Do 18 you see what I'm saying? That's my only 19 concern. 20 THE HEARING OFFICER: Uh-huh. 09:43:52 21 MR. BOLTZ: But however --22 THE HEARING OFFICER: Well, I mean, 23 you'll be able to read from the record who 24 says what. 0125 MR. BOLTZ: Okav. 1 2 THE HEARING OFFICER: And that's the way I -- just the standards usually go. It's 3 4 more of an informational thing. 5 MR. BOLTZ: Well, that's fine. 09:44:04 б THE HEARING OFFICER: State your 7 objection, if need be. 8 R. BOLTZ: Fine. 9 MR. RAO: And we'll let the Agency go 10 first. Hopefully you'll ask all their 09:44:11 11 questions. THE HEARING OFFICER: Mr. Fort? 12 MR. FORT: So we are going to put in 13 the record now -- Ms. Postal's testimony will 14 15 appear in the transcript as if read. And 09:44:29 16 then Mr. Huff's. 17 And should I ask a couple 18 clarifying questions for Mr. Huff now before 19 we put in Mr. Stein's as if read? THE HEARING OFFICER: Sure. If you 20 09:44:41 21 so choose. 22 MR. FORT: Just --23 THE HEARING OFFICER: And then I 24 can -- Sharon will just write this into the 0126 1 record. 2 BY MR. FORT: 3 Q. Mr. Huff, can you talk a little bit 4 more about your procedure for the 95 percent confluence interval and how you picked those levels? 09:45:05 5 6 Α. The USEPA has a document called the 7 Technical Support Document. And that document 8 outlines USEPA protocol for deriving effluent limits 9 based on existing effluent quality.

10 So it's a statistical analysis, 09:45:30 11 it's typically along normal distribution. And the 12 individual daily maximum value is typically derived at 95th percentile of the entire data set. 13 14 When you derive the monthly 15 average, that can be either a 95th percentile of 09:45:51 16 value of -- around the mean values or the 99th 17 percentile. The 99th percentile will give you a 18 higher monthly effluent limit. 19 Key in the USEPA policy is that 20 your -- in this case, ammonia effluent limits are 09:46:13 21 independent from day-to-day, which is clearly not 22 the case when they have an upset. It may last for 23 two days, may last for a week, it may last for a 24 month. 0127 And so the USEPA protocol really 1 2 underestimates the appropriate monthly limits. And 3 they acknowledge that in the technical support 4 document where you don't have independent from one 5 result to the next stage result. 09:46:38 6 But, nevertheless, the monthly limits Q. 7 that are being suggested here by Citgo are based 8 upon the 95th percentile? 9 The more conservative 95th percentile, Α. 10 yes, sir. 09:46:54 11 MR. RAO: May I just interject? 12 Mr. Huff, will it be possible for you to give us the citation of the USEPA 13 14 document that you're referring to, if it's 15 not part of the record? 09:47:03 16 MR. FORT: It is at the end of his 17 prepared testimony. 18 MR. RAO: Is it? Okay. 19 BY THE WITNESS: And it's EPA document 440/4-85-032. 09:47:09 20 Α. BY MR. FORT: 21 22 Well, while we're talking about 0. 23 Mr. Huff's references, Mr. Huff, I believe you had 24 five references to your prefiled testimony. And one 0128 1 of them was the one to the USEPA document you just 2 cited. 3 I think another one was to your 4 actual water quality report that you prepared in 5 February of '08. What are the other three 09:47:35 6 references that you have? 7 Α. One was the use attainability analysis 8 prepared by McGee and the Chicago area waterways, 9 another was the Illinois EPA statement of reason in 10 the UAA proceedings, which are 08-09. And the other 09:47:53 11 was the prefiled testimony of an IEPA employee Rob 12 Shultky in that same manner. 13 So large parts of your testimony here Q. 14 are actually using and relying upon testimony that 15 the Agency included in the Use Attainability Rule? 09:48:09 16 Α. Well, some of it is, certainly, yes.

17 Q. Mr. Huff, you also did a calculation of the amount of horsepower that might be required 18 to put in some of the additional treatment that 19 20 the -- that Mr. Stein looked at as possible 09:48:39 21 additional things; did you not? 22 Α. Actually, Mr. Stein's office did the 23 horsepower calculation. 24 Well, describe the horsepower Q. 0129 1 calculation and how you used it. 2 Well, Mr. Stein's low-cost alternative Α. 3 that was derived, they estimated, 144 horsepower 4 would be required to be added in the way of 5 mechanical equipment. And then I used that to try 09:49:08 6 to go back and calculate how much carbon dioxide 7 that would result in emissions. 8 And did you come up with a number? Ο. 9 Α. Almost two million pounds annually. 10 Two million pounds annually of carbon 09:49:22 Q. 11 dioxide would be added in the efforts to reduce the 12 ammonia? 13 Yes. Α. 14 Or the effort to maybe reduce the Q. 15 ammonia consistently; correct? 09:49:31 Correct. 16 Α. 17 Ο. Mr. Huff, you've also been involved 18 with Citgo in terms of their installation of the 19 purge treatment unit as part of their reduction in 20 air emissions? 09:49:54 Yes, sir. 21 Α. 22 Describe for us briefly what that is, Ο. 23 purge treatment unit? 24 Citgo, like a lot of refineries, has Α. 0130 1 been required to reduce sulphur dioxide emissions 2 from their largest source, which is called the Fluid Catalytic Converter or FCC unit. Citgo, as all 3 4 refineries, have elected to put in, basically, a wet 5 scrubber. 09:50:21 6 So they're scrubbing with a 7 solution of -- a mild caustic solution. And the 8 result is they produce sodium sulfite, S-U-L-F-I-T-E. In Citgo's case, that sodium sulfite 9 10 stream then goes through what's called a purge 09:50:40 11 treatment unit where the catalyst fines are removed 12 and the sulfite is oxidized to the sulphate form. 13 Q. And in Citgo's situation, do they --14 are they taking -- that's now in operation? 15 That's correct. 09:50:56 Α. 16 Q. And is that going into their regular 17 wastewater treatment facility, or not? 18 Α. It is not -- you, basically, have two 19 options. One is you can oxidize in this purge 20 treatment unit and then bypass the biological 09:51:08 21 treatment unit or you can attempt to put the sodium 22 sulfite into the biological unit. 23 There's a considerable oxygen

24 demand loading with that, so you have to increase 0131 1 your air supply dramatically in your activated 2 sludge unit. You also have a more dense liquid, if 3 you will, because of the higher dissolved solids. 4 And so your solid separation is not as good in the 5 clarifier. 09:51:38 6 You have the potential to produce 7 filamentous growth in those clarifiers. So that, in 8 my mind, is a higher risk approach. 9 Citgo elected to treat that purge 10 in the purge treatment unit and then that stream 09:51:54 11 bypasses their biological treatment unit, goes into 12 the final treated water basin. And then it all goes 13 out through the same outfall. When you're talking about the high 14 0. 15 risk of the alternative of sending it through the 09:52:13 16 regular wastewater treatment plant, is there any 17 risk associated with nitrification there? 18 Well, I believe there is. The Α. 19 concerns you would have is with the sodium sulphate 20 or sulfite if you end up with shocks. Say, when you 09:52:27 21 first bring the FCC unit back online or you shut 22 down that FCC unit, you're going to have quite a 23 shift in loading there. 24 I would worry that it would have a 0132 1 negative impact on your ability to nitrify in the short term. And given the difficulties that we 2 3 already have in achieving consistent nitrification, 4 that's what I was referring to on a higher risk. 5 Thank you. 09:52:56 Q. 6 MR. FORT: I have a couple questions 7 for Mr. Stein. So again, we assume 8 Mr. Stein's testimony will be entered as if 9 read at this point in the transcript. THE HEARING OFFICER: That's correct. 10 09:53:13 11 And again, to make the record clear, I will 12 give the court reporter Ms. Postel's prefiled 13 testimony, that's Exhibit 13, Mr. Huff's prefiled testimony, Exhibit 14 and 14 Mr. Stein's testimony, the corrected 15 09:53:27 16 testimony, marked as Exhibit 10. I'll give 17 that to Sharon and she can transcribe it into 18 the transcript as if read. 19 MR. FORT: Thank you. 20 THE HEARING OFFICER: Thank you. 09:53:38 21 BY MR. FORT: 22 Mr. Stein, I was asking Mr. Huff some Ο. 23 questions about the impact of sending this PTU 24 material into a regular -- or into the existing 0133 1 industrial wastewater treatment facility. You heard 2 that testimony? 3 Α. Yes, I did. 4 Q. Do you generally agree with Mr. Huff's 5 09:54:00 comments?

б Α. Yes. I'd probably expand. 7 I would think there's actually a 8 very significant chance of getting filamentous or 9 bulking sludge, which would cause an upset in the 10 treatment plant. I was just involved in a project 09:54:11 11 at a paper mill that had a very similar situation. 12 They had gone ten years without a 13 problem, and then, because of high temperatures, had 14 some sulfites. And developed sulphur-based 15 filaments and lost control of the system, and 09:54:30 16 lost -- very heavily solids. 17 What happens is, when you get the 18 filamentous bulking, you cannot settle very well. 19 And, therefore, the solids will go out the effluent 20 and you lose control of your treatment system. 09:54:46 21 THE HEARING OFFICER: Mr. Stein, can I 22 ask you to keep your voice up. I'm not even 23 sure when 10:00 rolls around we're going to 24 have mics, unless -- if the voices keep 0134 1 lowering maybe we'll have to put the 2 witnesses up here when the mics are turned 3 on. 4 Because the testimony keeps going 5 softer. And I'm having a hard time hearing, 09:55:05 and I think Sharon is, as well, so... 6 7 MR. STEIN: I'm sorry. 8 THE HEARING OFFICER: Oh, no. If you 9 could just make an extra effort. 10 MR. STEIN: All right. I'll try. 09:55:14 11 THE HEARING OFFICER: Thank you, sir. 12 MR. FORT: Face the court reporter, 13 not me. 14 MR. STEIN: All right. 15 BY MR. FORT: 09:55:19 So, Mr. Stein, let me make sure I 16 Q. 17 understand then. You're saying that if a PTU 18 discharge associated with air pollution control 19 efforts, such as an FCC, is sent into an existing 09:55:33 20 industrial wastewater treatment plant, which has 21 achieved nitrification in the past, it may not be 2.2 able to continue in the future? 23 Α. Yes, that's very true. Because you 24 have, as Mr. Huff stated, one, an additional oxygen 0135 1 demand on the treatment plant. And nitrifying 2 organisms are very sensitive to oxygen. 3 As you start getting a DO or 4 dissolved oxygen level less than two milligrams per 5 liter in a biological treatment system, the 09:55:59 6 nitrifiers stop nitrifying and you lose your 7 biological nitrification. Also, with the 8 sulphur-type materials you can have the potential 9 problem of developing certain types of filaments, 10 such as the enulin nicola 3 (phonetic), which would 09:56:21 upset the treatment system, and, therefore, lose 11 12 solids and further reduce the ability to nitrify.

13 Q. Mr. Stein, you saw the Agency's 14 recommendations concerning other refineries; did you 15 not? 09:56:45 16 Yes, I did. Α. 17 Ο. Let me direct your first to the Mobil 18 refinery. Do you know if they are planning on 19 sending -- if they are under construction still with 20 their PTU, or are they now operational for PTU? 09:56:57 21 It's my understanding that they are Α. 22 under construction on the PTU. And I believe that 23 is going to go into their biological wastewater 24 treatment plant. 0136 1 Ο. So in terms of their discharge that 2 they have had in the past, they're not sure if 3 they're going to be able to handle and achieve 4 nitrification with that PTU discharge going into the 5 regular plant. 09:57:23 б That would be my opinion, that they Α. 7 very well could experience problems. 8 And the other thing is, if I can 9 expand on that a little bit, you know, I've been doing this for 30-some-odd years. And in many 10 09:57:31 cases, we have -- with regard to filamentous 11 12 bulking, we have done laboratory -- extensive 13 laboratory treatability studies on a treatment 14 system where we did not experience filamentous bulking. 09:57:50 15 16 But when you get to the full scale 17 system, you have extensive filamentous bulking problems. And that's because, on the small 18 19 laboratory scale study, when you're testing 20 something out, you can't really demonstrate what's 09:58:01 21 actually happening in the full scale system. 22 So you can do very good in your 23 preliminary testing, and then when you get your full 24 scale system, find that there are problems. 0137 1 In terms of that issue, how long a Q. 2 period of time do you think is long enough to know 3 that you have a good handle and can guarantee 4 performance to meet a nitrification requirement that 5 is reflected with the three milligram per liter 09:58:34 6 number? 7 I would say that you need to go Α. 8 through a full MPDS permit cycle, which would be a 9 minimum of five years. 10 Why do you say five years? 09:58:45 Q. 11 Because there's inherent variability Α. 12 in a treatment system. Unless you've got good long-term demonstration, then there's always the, 13 14 you know, potential problem of upsets. 15 Ο. Now, in terms of the Conoco 09:59:07 16 performance, I believe the Agency seems to be 17 correcting what they said in their recommendation. 18 But you looked into the Conoco performance, how well 19 they were able to achieve nitrification?

20 Yes. I mean, the data -- and I pulled 09:59:24 Α. 21 it off the USEPA website, which has the reported data for NPDS permits. And if you look at the data 22 for the Conoco refinery, they get about 90 percent 23 24 compliance with the three milligram per liter, where 0138 1 their effluent is less than three milligrams per 2 liter. 3 But they also have ten percent of 4 the time that they exceed the limits -- the three 5 milligrams per liter limit. And if you look at 09:59:57 6 their data and compare it to Citgo, the performance 7 of the Conoco is very similar to Citgo. 8 And, you know, the detention time 9 in the activated sludge system is several -- I 10 think, four or five times longer. 10:00:16 11 So the detention time doesn't equate Ο. 12 to a better performance? 13 No, it doesn't. Really, the detention Α. 14 time is -- a better factor is the FM or food to 15 microorganism ratio in the treatment plant. But 10:00:33 16 there's also a number of other factors that can 17 affect the performance of a biological wastewater treatment plant. 18 19 Do you know where Conoco gets their Q. 20 water? Is it a well source or is it a river source? 10:00:45 21 Α. I believe it's a well source. But I'm 22 not 100 percent sure. 23 BY MR. FORT: 24 Q. Mr. Huff, what's the kind of ammonia 0139 in the Sanitary and Ship Canal these days, in 1 2 testimony? 3 What's the kind? Α. 4 What levels? Q. 5 Oh, you're consistently below one 10:01:03 Α. 6 milligram per liter total ammonia. 7 But is that a level that is higher or Ο. 8 lower than what you'd expect in a well water supply? 9 Α. I would expect the well water to be 10 basically nondetected in ammonia. 10:01:18 So Conoco is having about the same 11 Ο. performance, but they probably have a background 12 13 that's far lower than what Citgo has? 14 Α. Yes. 15 Because Citgo takes in water from the Q. 10:01:27 16 Ship Canal; correct? 17 Α. Correct. 18 MR. STEIN: Which is still, I believe, 19 a half to one milligram per liter of ammonia 20 in the Ship Canal. 10:01:35 21 MR. FORT: Those are all the other 2.2 questions that I had. Thank you. 23 THE HEARING OFFICER: Thank you, 2.4 Mr. Fort. 0140 Mr. Boltz? 1

2 MR. BOLTZ: Yes, thank you, 3 Your Honor. 4 Does it matter which order I take? 5 THE HEARING OFFICER: Whatever 10:01:55 6 questions -- no, it doesn't. 7 MR. BOLTZ: Let's start in reverse 8 order. 9 I'm going to go ahead and proceed 10 with Mr. Stein, from, again, the Illinois 10:02:06 11 EPA's participation. 12 CROSS-EXAMINATION 13 BY MR. BOLTZ: 14 Q. Mr. Stein? 15 Α. Yes. 10:02:12 16 My name is Jason Boltz. Nice to meet Q. 17 you, sir. 18 Nice meeting you, Mr. Boltz. Α. 19 Thank you for participating today. Ο. 20 I have had an opportunity to look 10:02:19 21 at your testimony as you presented it before, and I 22 do have some questions for you. Now, you've already provided some 23 24 testimony for us regarding Conoco-Phillips; correct? 0141 1 Α. Yes. 2 Ο. And you've also taken the time to 3 evaluate Conoco-Phillips -- their ability to nitrify through their ammonia limits, as reports to USEPA; 4 5 is that correct? 10:02:43 6 Α. Yes. 7 Ο. Are you aware of what standard 8 Conoco-Phillips needs to comply with regarding 9 ammonia? 10 I understand it's a higher standard 10:02:53 Α. 11 than the three milligrams per liter standard. 12 And when you say higher, do you mean Q. 13 it's less stringent? 14 Α. Yes. 15 Do they have to comply with 10:03:05 Q. 304.122(b)? 16 17 I do not believe they do. Α. They don't; do they? 18 Q. 19 Α. No. 20 Ο. Because you've done a comparative 10:03:13 21 analysis and study with Citgo versus the other three 22 refineries. That was part of your job as it relates 23 to Citgo; isn't that correct? 24 Α. Well, part of it was to review, you 0142 1 know, what the other refineries are doing. 2 Q. Relative to Citgo for purposes of 3 whether or not the ammonia nitrogen --4 MR. FORT: I object to this line of 5 questioning. Because, actually, our 10:03:35 6 applicable standard is the one that's in 7 effect now through the end of the year. 8 So I'm not sure what inferences

9 the Agency is trying to draw here when we had 10 a different standard that we were subject to. 10:03:45 MR. BOLTZ: Your Honor, that's not 11 12 even a legally recognizable objection. I'm 13 having cross-examination. 14 If he understands the question, I 15 would ask that he answer it. 10:03:56 16 THE HEARING OFFICER: Are you going to 17 respond to --18 MR. BOLTZ: That's how I'm responding 19 to his objection. I'm not... 20 THE HEARING OFFICER: Overruled. 10:04:02 21 BY THE WITNESS: 22 I would say, and, you know, in the Α. 23 instance of Citgo, and I believe the other refineries, I think -- and I've done a lot of work 2.4 0143 1 with industrial environmental control. But most industries try to operate their treatment plants to 2 3 get the best possible effluent quality. 4 And, therefore, in looking at the 5 data, since the Conoco-Phillips normally gets very 10:04:30 low effluent levels and the Citgo refinery also gets 6 7 very low effluent levels on a long-term basis, I 8 would think that both of them are trying to do a 9 very good job. And when I look at the data, the 10 data shows what I have stated, that there is 10:04:55 11 inherent variability during -- due to product mix, different variations, temperature that can affect 12 13 the biological wastewater treatment plant so you see 14 the normal inherent variability. 15 One of the things --10:05:19 16 BY MR. BOLTZ: 17 Well, let me ask a question. Ο. 18 MR. FORT: Well, let him answer if 19 there's an answer. MR. BOLTZ: I think he's entered into 20 10:05:24 21 a narrative, Your Honor, so I would ask that 22 I be able to provide a cross-examination 23 here. He's not being responsive to my 24 questions. 0144 THE HEARING OFFICER: Sustained. You 1 2 can continue, Mr. Boltz. 3 MR. BOLTZ: Thank, Your Honor. 4 BY MR. BOLTZ: 5 Ο. So while both of these refineries are 10:05:36 6 attempting to do a good job, as you stated, Conoco 7 doesn't even need to comply with 304.122(b); isn't 8 that correct? 9 They don't need to comply with 10 304.122(b); do they? 10:05:50 11 MR. FORT: Object. He's arguing, and 12 it's really irrelevant to this proceedings. 13 MR. BOLTZ: I have not received an 14 answer to my question, and it's very relevant 15 to the technical feasibility aspect of the 10:05:57 16 argument that the petition needs to present. MR. FORT: I am going to further 17 object to a lack of foundation. Because he's 18 19 assuming that you can just go low enough. 20 MR. BOLTZ: Foundation isn't required 10:06:06 21 under cross-examination. 22 THE HEARING OFFICER: Mr. Boltz, let 23 Mr. Fort continue. 2.4 MR. BOLTZ: I'm sorry. 0145 1 MR. FORT: When the scientific 2 evidence is that you either nitrify or you 3 don't, you don't just nitrify a little bit 4 and just bump along at a particular level, 5 10:06:19 so --6 MR. BOLTZ: Your Honor --7 MR. FORT: -- I object, the foundation 8 of his question is irrelevant. 9 MR. BOLTZ: Two things, Your Honor. 10 One, he's arguing his case in 10:06:27 11 cross-examination. 12 Two, he hasn't presented, again, a 13 legally recognizable objection for purpose of cross, because foundation is required under 14 15 cross-examination. So, again, I'm not quite 10:06:34 16 sure where he's going with this. 17 THE HEARING OFFICER: I agree with 18 Mr. Boltz. You may continue your course of 19 cross. 20 MR. BOLTZ: Madam court reporter, 21 could you please read back my question to the 22 witness, please. 23 THE HEARING OFFICER: You can ask me 24 and then I'll ask Sharon to read it back. 0146 MR. BOLTZ: Could you please, I 1 2 apologize. Thank you, Your Honor. (WHEREUPON, the record was 3 4 read by the reporter.) 5 10:07:11 BY THE WITNESS: 6 That is true. Α. But at the same token, I think 7 8 right now the Citgo refinery doesn't -- I mean, it 9 has an NPDS permit that they have to comply with. 10 BY MR. BOLTZ: 10:07:24 11 Well, let me ask you a question then: Q. 12 Have you looked into Conoco-Phillips regulatory 13 requirements? 14 I have not looked at the specific Α. 15 limits. 10:07:35 16 Q. So you haven't even investigated as to 17 what Conoco needs to do in terms of compliance, 18 relative to their ammonia nitrogen. Is that what 19 you're telling the Board today? 20 Α. I'm saying I've looked at the 10:07:47 21 performance of their treatment plant and also I 22 don't know -- I do not believe they have had a

```
23
    violation of their limits.
24
            Q.
                  But you're not aware of what their
0147
1
    regulatory requirements are. Is that what you're
 2
     saying today?
 3
            Α.
                  Right.
 4
            Ο.
                   Okav.
 5
                       And with respect to biological and 10:08:04
     treatment times, you have already discussed that on
 6
 7
     direct examination. With respect to ExxonMobil and
 8
     comparing them to Lemont --
 9
                  Right.
            Α.
10
            Q.
                   -- who has a longer detention time?
                                                           10:08:20
11
            Α.
                   ExxonMobil, I believe, has 11 hours
12
     and the Citgo is about eight hours.
13
                  You put in your testimony that the
            Q.
14
     activated sludge time for Lemont is 7.7 hours. Does
15
     that sound right to you?
                                                            10:08:35
16
            Α.
                  Yes.
17
                  And you stated in the ExxonMobil's,
            0.
     their refinery detention time, that they're upgraded
18
    to 19.4 hours; is that correct?
19
                  That's correct.
20
            Α.
                                                            10:08:45
21
                   How do you know that?
            Ο.
2.2
            Α.
                   Based on receiving reports on what the
    ExxonMobil changes in their treatment plant.
23
24
            ο.
                  Did they send you reports?
0148
1
                   I was provided reports.
            Α.
 2
                  Did you ask them for reports?
            Q.
 3
                   It was received through -- the
            Α.
 4
    attorneys were able to obtain reports.
 5
                   So your attorney provided you with
                                                           10:09:04
            Ο.
 6
    reports as to what these other folks' detention
 7
    times were going to be?
 8
                   Right.
            Α.
9
                   Okay.
            Ο.
                   MR. FORT: I think that information
10
                                                           10:09:13
11
            came from the construction permit
12
            applications.
13
    BY MR. BOLTZ:
14
                  Now, with respect to Marathon Oil, who
            Ο.
15
    has a longer detention time, Marathon or Lemont?
                                                           10:09:27
16
            Α.
                   Marathon.
17
            Ο.
                   And what is Marathon's detention time?
18
                   I believe it is about a day and a
           Α.
19
    half.
20
                                                       10:09:37
            Q.
                   It's 1.54 days? Does that sound
21
    right?
22
            Α.
                   Right.
23
            Q.
                   So both Exxon and Marathon have longer
     detention times than Lemont; correct?
24
0149
1
            Α.
                   Right.
 2
            Ο.
                   Now, let's step back to Exxon.
 3
                       Have you evaluated or come to an
 4
     understanding of what regulatory compliance measures
```

5 10:09:55 that they're under? A. Well, I know they've been under the --6 7 they have had a site-specific variance probably for the last 20-some-odd years. 8 9 And to what standards? Ο. 10 Α. I believe it's BAT. 10:10:08 11 Ο. Have they -- do you know if they have 12 had to comply with 304.122(b)? 13 They have not -- they have not had to Α. 14 comply with the three and six. 15 Ο. You've stated that they had an 10:10:22 16 adjusted standard? 17 Α. Right. 18 Ο. That standard was adjusted from what? 19 From what general applicability standard? 20 The three and six. 10:10:30 Α. 21 The 304.122(b) standard? Ο. 22 Α. Right. 23 Do you know if they're going to Q. 24 continue to pursue in just the standard? 0150 They have -- it is my understanding 1 Α. 2 that they have not asked to have the adjusted 3 standard renewed. 4 Do you know if, based upon recent ο. 5 levels of ammonium nitrate for Exxon, whether or not 10:10:51 6 they have complied with the three and six standard? 7 Α. Do you mean ammonium nitrate or 8 ammonia and nitrogen? Ammonia and nitrogen. 9 Q. 10 It is my understanding that they are Α. 10:11:06 11 not -- they have complied the last couple of years 12 with the three and six. 13 The last couple of years. Do you know Ο. 14 in fact how many years they've complied? Roughly -- from the data I have seen, 10:11:21 15 Α. 16 at least two years. 17 At least two years. So you're saying Ο. 18 from the data you've seen they've only waited two 19 years and now they're not going to seek a 20 continuance of the adjusted standard. Is that what 10:11:33 21 you're saying today? 22 Α. That's my understanding. 23 Ο. So they're not going to wait the 24 necessary five years, as you stated under your 0151 1 direct examination; isn't that correct? 2 Α. That is what they're doing, but 3 they're also making major changes with their --4 Q. Okay. I'm not asking about the major 5 changes, sir. 10:11:50 6 MR. FORT: Well, you know, I would 7 like the counsel to be a little more --8 developing the record. Because you seem to 9 be cutting him off, routinely, counsel. And 10 I thought you said you wanted information. 10:11:58 THE HEARING OFFICER: You know, I kind 11

```
12
            of agree with Mr. Fort. Obviously, Mr. Fort
13
            can do a redirect.
14
                       But, again, if you'd let the
15
            witness finish just a little bit before you
                                                           10:12:09
16
            cut him off.
17
                   MR. BOLTZ: I just want him to answer
18
           my question. I thought he was going in an
19
           unresponsive direction in his testimony, and
20
           I just wanted to be able to continue my line
                                                           10:12:17
21
           of questioning, Your Honor.
22
                   THE HEARING OFFICER: Proceed,
23
           Mr. Boltz.
24
                  MR. BOLTZ: Thank you, sir. I'm
0152
1
            sorry, I'm not looking to interrupt or cause
 2
            any problems with his testimony.
 3
     BY MR. BOLTZ:
 4
                  Are you familiar with the technologies
            Ο.
 5
    utilized by these other three refineries in the
                                                           10:12:33
 6
     state of Illinois?
 7
           Α.
                  Yes.
                  Are they generally different, similar
8
            Q.
9
     or -- than what happens at Citgo?
10
                  They're generally similar.
                                                           10:12:45
           Α.
11
                   So the way they perceive technology
            Ο.
     is, again, very similar?
12
13
            Α.
                   Similar as far as activated sludge.
14
     But there can be varying significant differences in
15
    how they operate their system.
                                                           10:13:03
16
            Q.
                  Have you also taken the opportunity to
17
     evaluate Marathon Oil in their regulatory standards?
18
                  No, I haven't. I looked at the levels
            Α.
19
     that they were achieving.
20
                                                           10:13:15
            Ο.
                   Okay.
21
            Α.
                   Very low levels of...
22
                   So they've used a similar technology
            Q.
     and they have very low levels. Is what you're
23
24
     saying? Of ammonia and nitrogen effluence; is that
0153
1
    right?
 2
                  Yes, they have.
           Α.
 3
                  All right.
            Q.
 4
            Α.
                  But there are a whole bunch of factors
 5
     that can come into play.
                                                           10:13:33
 6
                   I don't understand.
            Q.
7
                   MR. FORT: Well, let him answer.
8
                   THE HEARING OFFICER: Let Mr. Stein
9
            answer, please. Thank you, Mr. Boltz.
10
     BY THE WITNESS:
                                                           10:13:40
11
           Α.
                  For example, a refinery can use very
12
    high levels of water, dilute their effluent and meet
13
     a low concentration limit. Where, you know, one of
14
     the key factors is, you know, your pounds per day
15
     discharge, as compared to the, you know, limits.
                                                           10:13:53
16
    BY MR. BOLTZ:
17
                   So they're doing things a little bit
            Q.
18
    differently there?
```

19 Α. Right. 20 MR. FORT: Excuse me. Are you 10:14:03 21 clarifying that the Agency says delusion is 22 okay? 23 MR. BOLTZ: I'm asking your witness a 24 question under cross-examination. 0154 1 MR. FORT: It's just your comment 2 about doing a little bit differently is what 3 intriqued me. 4 MR. BOLTZ: He said yes. 5 THE HEARING OFFICER: Your observation 10:14:18 б is on the record, Mr. Fort. 7 You may proceed, Mr. Boltz. 8 MR. BOLTZ: Thank you, Your Honor. 9 BY MR. BOLTZ: 10 Have they met the three-six levels? 10:14:24 ο. 11 Α. Yes, they have. You're talking about 12 Marathon? 13 Yes, sir. My line of questioning Q. right now is Marathon. Thank you. 14 15 Yes. 10:14:33 Α. 16 How long do you know that they have Ο. 17 met this three-six standard? 18 Α. At least through 2000 -- I think 2004 19 through 2006. 20 Ο. Do you know if they're still meeting 10:14:46 21 it today? 22 No, I don't. Α. 23 You don't know. Q. 24 But you know through at least 2004 0155 1 through 2006? 2 Well, I use the EPA database, which is Α. 3 available on the internet --4 Right. Q. 5 -- which is about a year and a half 10:15:00 Α. б behind as far as the -- I believe it's the DMR 7 reports that are submitted by the dischargers, get 8 entered into the EPA database and are relied on the 9 available information from the EPA database on the 10 internet. 10:15:19 11 Q. So fast forward to today. Moving forward to today, do you know if -- for instance, if 12 13 Marathon -- are they seeking any sort of adjusted 14 standard? 15 Α. I don't know. 10:15:34 16 Q. You don't know. 17 But you do know from the years that you've seen that they've met the three-six 18 19 standard at least? 20 Α. Yes. 10:15:41 21 Ο. And I'm summarizing here. With 22 respect to Exxon, they're being the three-six 23 standard today, from the most recent information 24 you've been provided? 0156

The most recent -- but they've had --1 Α. 2 I mean, if you look at the data over the period, percent of violations of the three-six, through the 3 period that I looked at, which was 2004 through the 4 5 end of 2006, they had a higher percentage of 10:16:04 6 violations because they were consistently above the 7 three and six during 2004. 8 So during the course of your studies, Q. you have not -- and I'm speaking with respect to 9 10 your comparative analysis studies of the other 10:16:31 11 refineries in the state of Illinois, you have not 12 taken that extra step to understand what necessarily 13 their regulatory standards would be; is that correct? You just evaluated again their limits of 14 15 ammonia and nitrogen? 10:16:47 16 Α. Right. 17 During the course of your other Ο. 18 evaluations of Citgo, did you do any sort of 19 economic analysis relative to Citgo's ability to 20 obtain nitrification? 10:17:37 21 Yeah. I mean, they obtained Α. 22 nitrification right now. So the question is the --23 They're meeting the three-six Ο. 24 standards? 0157 1 Α. To try -- additional technology to 2 meet the three-six standard. Yes, we did a detailed 3 review of technology and came up with designs of 4 potential treatment options that could meet the 5 three-six. 10:18:01 б Was -- part of your investigation, did Q. 7 that include evaluating how much money Citgo makes? 8 Α. No. 9 Did you do a budgetary analysis of Ο. 10 Citgo to see how much money they can spend towards 10:18:16 bettering their refinery to lower the limits that 11 12 they typically --13 MR. FORT: I'm going to object on 14 relevance of how much a company or an entity 15 makes is not relevant to the proceeding here. 10:18:32 16 THE HEARING OFFICER: Mr. Boltz? 17 MR. BOLTZ: Your Honor, I would argue 18 it is. The economic reasonableness is a 19 specific component, as articulated through 20 the Act. 10:18:43 21 MR. FORT: The economic reasonableness 22 under the Act is never meant how much money 23 does a company make. It's always been tied 24 to a cost benefit of the technology, 0158 1 availability, and typically, if not almost 2 always, has been a cost effectiveness 3 decision and what's the need, from a 4 technical standpoint, what's the 5 environmental need. 10:19:00 6 MR. BOLTZ: Your Honor, I would argue 7 that it's relevant. It's relevant, and

8 relevant evidence, you know, should be 9 admissible for purposes of at least guiding 10 the Board in a full evaluation of whether or 10:19:09 11 not it would have been economically 12 reasonable or not for Citgo to pursue these 13 various options that is presented to the 14 Board. 15 THE HEARING OFFICER: Yeah, I'm going 10:19:21 to overrule Mr. Fort's objection. 16 17 You may answer if you're able to, 18 Mr. Stein. 19 BY THE WITNESS: 20 All right. We did, you know, a couple 10:19:28 Α. 21 of things. 2.2 We did not look at the profits or 23 balance sheet of Citgo. 24 0159 BY MR. BOLTZ: 1 2 Q. Okay. 3 Α. But, you know, I have done a lot of 4 work in looking at BAT and the cost applicability of 5 putting in a treatment plant, an additional 10:19:49 6 treatment plant. 7 For example, if you look at a 8 municipal treatment plant, the cost of nitrogen 9 removal is about one dollar per pound. If you look 10 at -- and so, what you do to do a BAT evaluation of 10:20:07 the cost effectiveness of nitrogen removal, is you 11 12 look at the level of additional nitrogen removal you 13 can achieve with a type of expenditure. 14 Right now, the Citgo refinery is 15 getting down to an average of -- which I had in the 10:20:34 report, which I think was 2006, 2007 -- of 122 16 17 pounds per day. Which, if you look at the three milligram per liter standard and their flow limit, 18 19 they would be allowed to get 177 pounds per day. 20 So right now pounds-per-daywise, 10:20:56 21 they were less than the standard. So if you look at 22 a cost benefit, if you're going to spend an 23 extra 3. -- I believe it's \$3.2 million a year, and 24 you're only going to get, say, ten or 20 pounds per 0160 1 day additional nitrogen removal on a long-term 2 basis, you still may not be able to comply with a 3 three and six. Then you're talking about spending 4 \$20,000 per pound for additional nitrogen removal as 5 compared to a -- what is typically BAT of one to \$3 10:21:36 б per pound, that would not be cost effective. 7 MR. RAO: May I ask a follow-up 8 question? 9 MR. BOLTZ: Please do. 10:21:58 10 MR. RAO: Mr. Stein, you just 11 testified about the cost analysis, which 12 references Citgo. Did you do any similar 13 analysis for the other three refineries as to what kind of cost effectiveness their 14

15 10:22:17 nitrification plants --16 MR. STEIN: No, we didn't. 17 MR. RAO: -- were achieving? 18 MR. STEIN: No. MR. RAO: Thank you. 19 20 MR. BOLTZ: I'd like -- I have no 10:22:35 21 further questions for this witness. 2.2 MR. RAO: Mr. Boltz, I just have one question for Mr. Stein. It's not a 23 24 follow-up --0161 1 MR. BOLTZ: Oh, please. 2 MR. RAO: -- but since he's been 3 answering questions. 4 Mr. Stein, in your prefiled 5 testimony at Pages 2 and 3, you indicate that 10:22:58 6 the February 2008 AWARE Report contains a 7 review of activated sludge plants with 8 regards to factors which control, I believe 9 you have, biological treatment facility to 10 achieve nitrification. You list these 10:23:18 factors as including food to microorganism 11 12 ratio, sludge age, dissolved oxygen concentration, temperature, pH and 13 alkalinity. 14 15 Did you also review the affect of 10:23:32 16 detention time, surface area and clarifier 17 overflow rates as factors that could affect nitrification? Most specifically detention 18 19 time, because that's been raised by the 20 10:23:51 Agency. 21 MR. STEIN: Well, I guess I did not 22 look at detention time, because I think a 23 more realistic evaluation is the food to 24 microorganism ratio. Let me explain what the 0162 1 food to microorganism ratio is. 2 That's the pounds of BOD applied 3 per pound of MLSS, which is mixed liquor --4 mixed liquor suspended solids, which are the 5 actual active biomass in your system. So --10:24:22 6 and for a nitrification -- to get biological 7 nitrification, you tend need to have an F to 8 M of less than .3. 9 So what happens is, you can have a 10 long detention time and have a low mixed 10:24:42 11 liquor suspended solids or you can have a 12 short detention time and have a higher 13 solids. So the detention time is not as critical as the F to M ratio. And that's why 14 15 I really concentrated on the F to M ratio. 10:25:00 16 Because that is actually how much 17 food the organisms are receiving. And the F 18 to M ratio at the Lemont refinery runs from 19 about .05 to about .28. Which is in the, you 20 know, the less than .3 range. 10:25:23 And also the other factor is 21

```
22
            sludge age, which is the length of time your
23
            mixed liquor solids are in the aeration
24
            basin. And to get biological nitrification,
0163
1
            you, typically, want a sludge age of greater
2
            than ten days.
3
                       The sludge age at the Lemont
 4
            refinery ranges from 13 to greater than a
 5
                                                            10:25:55
            hundred days.
 6
                   MR. RAO: How do these factors, sludge
 7
            age and foot to microorganism ratio, for
8
            Citgo refinery compare with the other three
9
            refineries that you evaluated?
10
                   MR. STEIN: I wasn't able to get
                                                            10:26:10
            enough data to evaluate their sludge age and
11
12
            F to M ratio.
13
                   MR. RAO: Okay. Thank you.
14
                   THE HEARING OFFICER: All right.
15
            Mr. Boltz, do you --
                                                            10:26:23
16
                   MR. BOLTZ: Your Honor, I do actually
17
            have one more question for this witness.
18
                   THE HEARING OFFICER: Okay.
19
                   MR. BOLTZ: I'm sorry to back up on
                                                            10:26:29
20
            you that way.
21
     BY MR. BOLTZ:
2.2
                   Within one of your paragraphs, sir, in
            Ο.
23
     your prefiled testimony, you stated that -- and I
24
     think this is just a matter of clarification here.
0164
 1
     But I know within the Agency's recommendation that
 2
     it stated that, obviously, there was another
 3
     refinery on the Ship Canal.
 4
                       Can you discuss and clarify, if
 5
    you can or will, the relationship of Citgo in terms
                                                            10:26:54
 6
    of its location on the Ship Canal versus the
 7
    proximity to Exxon and where they're located in
 8
     terms of their river body or other water body, if
 9
    you're not aware?
10
            Α.
                   Well, I mean, I haven't done any work
                                                            10:27:11
11
     with ExxonMobil, but I have done other work for
     another industry in Channahon. I know they're in
12
     Channahon just over the, I believe, the Des Plaines
13
14
     River. And I believe they would discharge into the
15
     Des Plaines River.
                                                            10:27:28
16
                       Jim could probably expand better
17
     than I could as far as -- I know the --
18
            Q.
                   The relationship in terms of where
19
     they're located?
20
                   I know where they're located and I
                                                            10:27:40
            Α.
21
    know -- I believe -- and I know the Citgo refinery
22
     goes into the canal.
23
            Q.
                   The Ship Canal?
2.4
                   The Ship Canal.
                                    I do not know
            Α.
0165
1
     specifically the tie-in with the Ship Canal and the
     Des Plaines River.
 2
 3
            Ο.
                   Do you know if they tie into one
```
```
another?
 4
 5
                       Why don't I go to Mr. Huff,
                                                           10:28:05
 6
     because I think you would feel more comfortable if
 7
     he answered that question.
                   MR. BOLTZ: With your permission,
 8
 9
            Your Honor?
10
                   THE HEARING OFFICER: Sure. You may
                                                           10:28:07
11
            qo, Mr. Boltz.
12
     BY MR. BOLTZ:
13
            Ο.
                  Mr. Huff, do you want to go ahead and
14
     elaborate further, because I think Mr. Stein was
15
     wanting you to answer that.
                                                            10:28:14
16
                   Well, the Lemont refinery Citgo is
            Α.
17
     located on the Chicago Sanitary and Ship Canal. The
18
     ExxonMobil refinery is located on the Des Plaines
     River just upstream of the I-55 bridge.
19
20
                       The I-55 bridge is the demarkation 10:28:27
21
     between the secondary contact waters and the primary
22
     contact waters.
23
                  With respect to the Des Plaines River
            Q.
24
     and Ship Canal, do they flow into one another, do
0166
 1
     they --
 2
                   Well, the Sanitary and Ship Canal
            Α.
 3
     flows to Lockport. There's a lock and damn at
 4
     Lockport.
 5
                       And right immediately below that, 10:28:46
 6
     it merges into the Des Plaines River.
 7
                   So it is a contiguous waterway with
            Q.
 8
     that damn right there in the middle; is that
 9
     correct?
10
                   Well --
                                                           10:28:57
            Α.
11
                   In between that?
            ο.
12
                   I think you're putting words in my
            Α.
13
     mouth.
14
                   Well, if I --
            Q.
                   The Sanitary and Ship Canal enters the 10:29:05
15
            Α.
16
     Des Plaines River. They are not contiguous in the
17
     sense that you have an electric barrier there that
     prevents that contiguous contact between those water
18
19
     bodies with respect to plant life.
20
                   Okay. But they do run into one
            Ο.
                                                          10:29:17
21
     another?
22
            Α.
                   The Sanitary and Ship Canal merges
     into the Des Plaines River at Lockport.
23
24
                   And then the Des Plaines River will
            Q.
0167
 1
     move along and then eventually you come upon the
 2
     Exxon refinery?
 3
            Α.
                   Immediately upstream of the I-55
 4
     bridge, yes, sir.
                   Thank you, sir.
 5
            Q.
                                                           10:29:35
 6
                   MR. BOLTZ: And that's for the point
 7
            of clarification for the Board's benefit.
 8
                   THE HEARING OFFICER: Anybody want to
 9
            take about an eight-minute break? We are off
10
                                                            10:29:52
            the record.
```

11 (WHEREUPON, a recess was had.) 12 THE HEARING OFFICER: All right. Back 13 on the record. Mr. Boltz is still in his 14 15 cross-examination mode. 10:39:32 16 MR. BOLTZ: Thank you, sir. 17 THE HEARING OFFICER: You may proceed. 18 MR. BOLTZ: Your Honor, we'd actually 19 like to follow-up --20 THE HEARING OFFICER: Mr. Rao? 10:39:38 21 MR. BOLTZ: On Mr. Stein, actually. 22 He provided some information and we want 23 to -- to a limited degree. 24 THE HEARING OFFICER: Go ahead. 0168 BY MR. BOLTZ: 1 2 Previously, Mr. Stein, you Ο. 3 testified and you have also been kind enough to 4 provide information within your prefiled testimony 5 on Page 4. Okay. You're discussing the limited 10:39:56 6 problems or the inhibitions that refinery wastewater 7 causes relative to the nitrifiers. 8 Do you recall that part of your 9 testimonv? 10 Α. 10:40:11 Right. 11 Ο. And I think the Board has questions 12 for you regarding the same. Or just --13 Α. All right. 14 Really, from the Agency's perspective, Q. we would like to know, I guess, your opinion. If 15 10:40:22 that detention period increased, you know, at the 16 17 basin, to allow for the nitrifiers to do their work, because of that refinery wastewater, because the 18 19 inhibitions it proposes, do you believe that a 20 longer detention time would help? 10:40:41 Not necessarily. The problem is you 21 Α. 22 get different types of materials that could be an 23 inhibitory to nitrification. The concentration of 24 those materials, which are not necessarily 0169 biodegradable, will inhibit the nitrifiers, and, 1 2 therefore -- you know, and that is what I feel is 3 causing the upsets. 4 And just to clarify, I guess one 5 of the other questions that was raised, I think on 10:41:15 6 the F to M and detention time, detention time is a 7 factor in F to M. Because the size of the basin 8 does affect the F to M. 9 But the F to M at the Chicago --10 the Lemont refinery, even though they have a shorter 10:41:30 11 detention time, is a reasonable F to M to get 12 biological nitrification. 13 Well, if I may follow up on some of Ο. 14 the things we discussed, because, again, I would 15 just like to extrapolate and seek clarification. 10:41:41 You discuss some of these other materials that can 16 further complicate the nitrification? 17

18 Α. Right. 19 Q. Can you explain what you meant by that 20 a little bit? 10:41:54 21 Α. Well, any type of -- different types 22 of organics. Like I had phenol -- I think I 23 specifically showed phenol in the -- my testimony. 24 Because phenol is inhibitory to 0170 1 carbonaceous or BOD removing organisms at about 200 2 milligrams per liter. The level of four to ten 3 milligrams per liter would be inhibitory to 4 nitrifiers. And there's a long list of metals, 5 organics and stuff that can inhibit nitrifiers at 10:42:28 б relatively low levels. 7 So just like the refinery wastewater, Q. 8 they kind of screw up the process a little bit in 9 term of the nitrification? 10 Right. 10:42:42 Α. 11 But again, wouldn't the longer Q. 12 duration -- wouldn't that longer period of time, 13 wouldn't that help things? I mean, I guess I don't 14 understand how --MR. FORT: Objecting. Asked and 15 10:42:49 answered. That was his first question, and 16 he's answered it. 17 MR. BOLTZ: I don't feel like --18 19 THE HEARING OFFICER: I'll allow him 20 to answer. Overruled. 10:42:54 MR. BOLTZ: You can see the 21 22 discussion, we're getting to it, and I don't 23 want to complicate this at all. He's, 24 obviously, articulated that --0171 1 BY THE WITNESS: 2 A longer detention time may not -- may Α. 3 improve it but also may not improve it. 4 BY MR. BOLTZ: 5 And why may -- and I'm looking for 10:43:07 Ο. б exactly why. 7 Because if you've got a concentration Α. 8 of a inhibitory material, that is still going to 9 upset the biomass. Even though you have a longer detention time, if you've got that inhibitory 10 10:43:19 11 material into your treatment system, it will inhibit 12 the system. 13 So when it inhibits the system, how 0. 14 does the system repair itself to get past that 15 inhibition? I mean, does more time help, do you 10:43:35 16 need a bigger basin? 17 Is there a solution that you 18 thought of to get past these extra elements that 19 kind of upset what's going on? 20 Well, I think it's because of these -- 10:43:45 Α. 21 what happens is the system -- as you reduce the 22 concentration of inhibitory materials, then the 23 system recovers. That's why you see in data -- if 24 you look at the Conoco data, you look at the Citgo

0172 1 data, and I've worked on a whole bunch of other 2 nitrifying treatment plants, you see systems that go 3 along very well, then all of a sudden you see a 4 gradual spike of increased nitrogen and you try to 5 control -- you try to control that, sometimes try to 10:44:21 6 increase your biomass. And then you see that that 7 nitrogen goes down. 8 I've also seen cases where you 9 completely wipe out the biomass and you have to 10 bring in organisms from other treatment plants to 10:44:36 11 really reestablish your system. It's -- this 12 variability is the reason we say we cannot 13 consistently meet the three milligram per liter 14 level. And that is why, I believe, an EPA developing BAT for the refining industry, you know, 15 10:44:54 16 limits -- the first thing -- their limits are on a 17 pound per day basis. 18 But they throw in an effluent 19 variability factor in -- if you go back to the 20 development document, which I referred to in my 10:45:10 21 testimony, they specifically have a variability 22 factor to account for these operations. And you do 23 get variability in a biological wastewater treatment 24 plant. 0173 1 Ο. What you're getting at -- and I see 2 you've been kind enough to provide within your 3 testimony in Table 3, again, within Exhibit No. 15, 4 your prefiled testimony, the various detention times 5 10:45:40 of the other refineries as well as Lemont's. What 6 is the -- what goes into the decision making, if 7 there is a decision that's made, as to why Marathon 8 chooses 1.54 days, versus Exxon 10.9, versus 9 Lemont's 7.7? 10 Do you see what I'm saying? How 10:46:01 11 do these different refineries or how did Citgo come to the decision that -- well, let's set ours at 7.7 12 13 hours versus 6 or 9? 14 Α. Well, there's a whole bunch of factors 15 that could come on to your decision making. One is 10:46:13 16 what type of aeration device do you use? Are you using course bubble 17 18 diffusers, fine bubble, or are you using low speed 19 or high speed mechanical areas? Different types of 20 treatment plants cannot maintain as many solids in 10:46:29 21 suspension -- different types of aeration devices 22 cannot maintain as much solids in suspension, 23 therefore, you need a longer detention time to 24 account for the fact that you're going to be 0174 1 operating at lower solids levels. So, you know, 2 you're trying to -- the basic factor in doing 3 treatability studies and coming up with a process 4 design is you look at what type of F to M or food to 5 microorganism ratio you need. 10:46:59 6 You know your pounds of food going

7 into the system, you know how many pounds of 8 microorganisms you need in your biological treatment 9 plant. To get those pounds of microorganisms, you 10 can either have less microorganisms and a longer, 10:47:12 11 bigger detention time, or you could have more 12 microorganisms and a shorter detention time. 13 But other factors, such as the 14 site configuration, can you go deeper, can we build 15 a bigger tank, can -- are we going to use coarse 10:47:31 16 bubble diffusers, fine bubble diffusers, low speed 17 aerators, jet aerators -- all have factors in how 18 you would configure the design of your biological 19 treatment plant. 20 Did you ever recommend to Citgo that 10:47:49 Q. 21 they lengthen their detention time within the course 22 of your studies? 23 It was one of the things that we, Α. 24 obviously, looked at in the -- in our evaluation. 0175 1 But our feeling was that they had an adequate 2 detention time -- that they actually had the --3 using fine bubble diffusers, which is actually a 4 much better approach to get good oxygen transfer and 5 a better operating treatment plant. 10:48:19 6 MR. BOLTZ: That's all the questions I 7 have of Mr. Stein. 8 THE HEARING OFFICER: Thank you, 9 Mr. Boltz. Do you want to move on to 10 Mr. Huff? 10:48:31 11 MR. BOLTZ: Yeah, let's go to 12 Mr. Huff. 13 THE HEARING OFFICER: Okay. 14 CROSS-EXAMINATION 15 BY MR. BOLTZ: 10:48:36 16 Good morning, Mr. Huff. I'm going to Ο. 17 ask you some similar questions I think, because I think a lot of this hones in on, hopefully, your 18 19 level of expertise, especially with respect to 20 technological feasibility aspect that the Agency's 10:48:50 concerned about, as relates to some of the other 21 22 refineries in the state of Illinois. 23 Did you have an opportunity to 24 evaluate Marathon Oil, their operations within the 0176 1 state of Illinois, or was that not part of your 2 study? 3 Α. No, sir. It was not part of my study. 4 Q. So you did not evaluate what Marathon 5 10:49:14 Oil was doing? б Α. Right. 7 Q. Did you evaluate ExxonMobil? 8 Α. With respect to this project? 9 Yeah, with respect to meeting the Ο. 10 304.122(b) standard or alternatively meeting the 10:49:23 11 three-six levels or attempting to meet the three-six 12 levels? 13 Α. With respect to this project? No,

14 sir. 15 Q. All right. 10:49:34 16 Α. Now, Exxon is an active client of mine. My first job was at that refinery building, 17 18 that wastewater treatment plant. So I have intimate 19 knowledge of their treatment plant. 20 Independently of what you did for 10:49:45 Q. 21 Citgo? 22 Α. That's correct. 23 During the course of your studies at 0. 24 Citgo, did you take affirmative steps to instruct or 0177 1 advise Citgo relative to what goes on at Mobil for 2 purpose of improvements, concerning the effluent 3 levels of ammonia and nitrogen at Citgo? MR. FORT: I'm going to object, 4 5 because I don't know what the issue there is. 10:50:31 6 But I think you're running into some 7 dangerous grounds if you talk about nonpublic 8 information. 9 Can you rephrase the question? 10 MR. BOLTZ: No, I think that I'm 10:50:39 11 asking regarding his personal knowledge. He's already testified, Your 12 13 Honor, that he has intimate knowledge of what 14 goes on at Exxon. You know, I would ask for 15 that comparison. 10:50:50 I'm looking to see whether or not 16 17 he drew upon his experience while he was at 18 Exxon to help Citgo out. 19 THE HEARING OFFICER: Right now, 20 Mr. Fort, I'll overrule it. But object when 10:50:58 21 you feel that we're getting closer to 22 dangerous waters. MR. FORT: Yes. 23 MR. BOLTZ: I mean, it's not dangerous 24 0178 1 waters for me. I mean, if he has, you know, 2 confidentiality --3 MR. FORT: Can we go off the record for a minute? 4 5 THE HEARING OFFICER: Off the record. 10:51:14 6 (WHEREUPON, discussion was had 7 off the record.) THE HEARING OFFICER: We're back on 8 9 the record. 10 Mr. Boltz? 10:51:52 MR. BOLTZ: Yes. I'll move off of 11 12 that question, Your Honor. 13 BY MR. BOLTZ: 14 Q. Did you use your experiences at Exxon, 15 specifically relative to ammonia and nitrogen 10:52:00 16 treatment, in your work at Citgo? 17 Α. I think you're misunderstanding my 18 role at Citgo. My charge at Citgo was to look at 19 the environmental impact of the discharge. 20 Now it would be in the treatment 10:52:16

21 with Mr. Stein's responsibility. So the answer is 22 no. 23 Q. Okay. Then that's easy enough. Do you have an understanding of 24 0179 1 what affects ammonia has on water quality standards? 2 Α. Yes. 3 Q. What are they? 4 Well, it has some toxicity --Α. 5 MR. FORT: I'm going to object to 10:52:39 6 asking a basic question that was done in 7 basic rulemaking about ammonia nitrogen and 8 why we have ammonia and nitrogen water 9 quality standards. I hope we're not going to 10 have to build this whole proceeding from 10:52:50 ground zero, which is the feeling that I'm 11 12 getting. 13 THE HEARING OFFICER: Mr. Boltz? 14 MR. BOLTZ: I think, again, that 15 environmental impact, another component to 10:52:56 16 this adjusted standards process -- I'm not 17 looking to build from ground up anything. 18 I'm looking for answers so the Board can make an appropriate decision to address whether or 19 20 not to grant this petition. 10:53:09 21 THE HEARING OFFICER: I'm going to 22 overrule it. 23 Mr. Boltz, you may ask a question. 24 0180 BY MR. BOLTZ: 1 2 Again, only relative to ammonia and Q. 3 nitrogen and whatever its impact is on water quality 4 standards. Can you address that at all? 5 Water quality standards or water 10:53:24 Α. 6 quality impact? 7 Ο. Just water quality impact. 8 Α. Okay. 9 Specifically relative to, let's say, Q. 10 10:53:31 aquatic life. 11 Well, it would be three-fold. One, Α. 12 there's a toxicity component on the total ammonia, there's a toxicity component from the unionized 13 14 ammonia, both chronic and acute. And then there is an impact on --15 10:53:45 16 there are three parts to the question on water 17 quality impact. One is on the total ammonia and it 18 has some toxicity component. 19 The second is on the unionized 20 fraction of the ammonia that has both a chronic and 10:54:24 21 acute toxicity component. And the third component 22 is its impact on the consumption of dissolved oxygen 23 as the ammonia is oxidized in the stream. 2.4 Ο. And I do have questions specifically 0181 1 relative to that oxygen component that you just 2 articulated. What are the effects on the oxygen

```
3
     levels in water when ammonia and nitrogen gets into
 4
     that water?
 5
            Α.
                   If we're talking in general terms, it
                                                            10:54:55
     is oxidizing -- the ammonia is oxidized as it
 6
     travels downstream. And as part of that oxidation,
 7
8
     it consumes dissolved oxygen that's in the waterway.
 9
                   So it lessens the amount of oxygen in
            Ο.
10
     the waterway, generally speaking?
                                                            10:55:14
11
                   I don't think I would agree with that
           Α.
12
     statement.
13
                   Well, what does it do to the oxygen,
           Q.
14
     it consumes it?
15
                   Yes, it consumes it. But every time
                                                           10:55:22
           Α.
16
    you consume the dissolved oxygen, you have an
17
     increase in the amount of oxygen that comes in from
    reiteration from the surface.
18
19
                       So it's a function of how fast
20
     that ammonia is oxidized and how significant the
                                                           10:55:36
21
    reaeration factor is.
22
                 I'm not really looking at the
            Q.
23
    reaeration, I guess I'm only looking at what happens
24
    within that water. Is there a corresponding
0182
    relationship, then, between the amount of ammonia
1
     and nitrogen introduced into the water and the
 2
 3
     amount of oxygen in the water?
 4
           Α.
                   The answer is no, because you can't
     ignore the reaeration. I think what you're asking
 5
                                                           10:56:04
 6
     is, is there a relationship -- if {\tt I} oxidize a pound
 7
     of ammonia, can I tell you how much oxygen is
 8
     consumed? I can answer that question.
9
                   Well, please do.
            Q.
10
                   It's 4.57 pounds of oxygen per pound
            Α.
                                                           10:56:17
11
     of ammonia is oxidized.
12
                   Thank you.
            Q.
13
                       Well, isn't it true that aquatic
     life -- dependent upon the species. Because
14
15
    obviously species may require different amounts of
                                                           10:56:30
16
    oxygen.
17
                       It does require varying amounts of
18
     objection, though, in that water?
19
                   In which water?
            Α.
20
                   In -- generally speaking.
            Ο.
                                                           10:56:40
21
            Α.
                   Yes.
22
            Ο.
                   So again, while the proposed effluent
23
     limits pursuant to this petition that are being
24
     sought are less than the presently adjusted
0183
     standard, and you understand how they're looking to
1
 2
     lower it?
 3
            Α.
                   Yes, sir.
 4
            Q.
                   They are still, though, greater than
 5
     the standard rate, as generally stated in
                                                            10:57:07
 б
     304.122(b)?
 7
            Α.
                   The requested relief are higher than
 8
     the three milligram per liter and six milligram per
 9
     liter number, yes. Otherwise we wouldn't be here
```

10 today. 10:57:21 11 Q. Right. We just want to get that 12 clarified, because you did make the point several 13 times in your testimony. 14 Α. I think that was the question I was 15 responding to the Agency's --10:57:31 16 I understand. ο. 17 MR. BOLTZ: No further questions. 18 THE HEARING OFFICER: Thank you. 19 Mr. Rao, Ms. Liu, do you have any questions 20 of Mr. Huff? 10:57:51 21 MR. RAO: We'll wait until they're 22 done. 23 THE HEARING OFFICER: Okay. You were 24 interjecting before. 0184 1 MR. RAO: The line of thought is 2 not... 3 THE HEARING OFFICER: All right. Do 4 you want to move onto Ms. Postal? 5 10:58:09 MR. BOLTZ: Yes, sir. б THE HEARING OFFICER: Thank you. 7 CROSS-EXAMINATION 8 BY MR. BOLTZ: 9 Ms. Postel, I just want to get, I Ο. guess, an understanding of your role. I probably 10 10:58:14 11 should have started off with that from Mr. Huff 12 initially. 13 Did your role include a comparable analysis between the Lemont refinery and the other 14 15 three refineries in the state of Illinois? 10:58:26 16 It did not. Α. 17 You would agree, though, and you state Ο. 18 as much in your testimony, that all four refineries 19 have a very similar technology? Share the same --Based on the review that Bob Stein 20 Α. 10:58:42 21 did. 22 Ο. And again, I'm only reciting your 23 testimony. Is that correct? Based on the review that Bob Stein 24 Α. 0185 performed. I did not perform a study. 1 2 Q. Okay. 3 THE HEARING OFFICER: Ms. Postel, 4 could you keep your voice up please? Thank you. 5 10:59:03 б BY MR. BOLTZ: Was part of your inclusion in this 7 Q. 8 process, for purpose of the adjusted standard, did it include in the evaluation of -- to use 9 10 Mr. Stein's terminology -- a budgetary or an 10:59:15 analysis of Citgo for the purpose of pursuing 11 12 further technological advancements to address the 13 ammonia and nitrogen effluence? 14 Α. No, that was Bob Stein's role. 15 MR. BOLTZ: No questions, Your Honor. 10:59:38 16 THE HEARING OFFICER: Thank you.

17 Mr. Fort, redirect, I guess, and then we'll have the technical personnel, I 18 guess, address their questions. 19 20 MR. FORT: Thank you. 10:59:49 REDIRECT EXAMINATION 21 22 BY MR. FORT: 23 Ms. Postel, with respect to this last 0. 2.4 question that counsel inquired about you in terms of 0186 1 doing your role with technological things. You were 2 thinking primarily of the add-on treatment costs? 3 Α. Correct. 4 Ο. And you are involved, though, on a 5 day-to-day basis in terms of the refinery doing 11:00:06 6 things? 7 On the compliance end, not -- yes. Α. 8 So you are involved in implementing Ο. 9 projects that reduce ammonia and nitrogen discharge? 10 I am involved in implementation and 11:00:21 Α. 11 development of projects. BY MR. FORT: 12 13 Mr. Huff, a couple of clarifying Q. questions. Counsel asked you a series of questions 14 15 about the ammonia nitrogen conditions. Do you 11:00:42 16 recall those questions? And you gave an answer that 17 there are three factors with ammonia and nitrogen? 18 Α. With respect to water quality impact, 19 yes, sir. 20 And with respect to water quality 11:00:53 Q. impact in the Sanitary and Ship Canal of ammonia, 21 22 what additional comments would you have concerning 23 the current conditions of ammonia and nitrogen in 24 the Ship Canal and the discharge from Citgo? 0187 1 Well, the current ammonia levels, Α. total ammonia levels, Mr. Stein indicated, are quite 2 3 low. They are less than one part per million, consistently, all year long. 4 5 Excuse me. And the Agency's proposed 11:01:20 Q. 6 total ammonia standard is what? 7 Fifteen milligrams per liter, which is Α. 8 significantly higher than what we are asking for here in the way of a site-specific daily maximum and 9 a monthly limit. They are below what the total 10 11:01:34 11 ammonia water quality proposed is under the UAA's 12 proceedings. 13 Q. And what is your understanding of the 14 basis for the Agency suggesting 15 milligrams per 15 liter to be an appropriate water quality standard? 11:01:46 I believe that's related to some 16 Α. 17 toxicity issue at a total ammonia level of 18 15 milligrams per liter. 19 You had a second one, the unionized ο. 20 ammonia? 11:01:57 21 Α. Yes, sir. 22 And how does the conditions in the Q. 23 Ship Canal near the refinery, the Lemont refinery,

24 compare? 0188 1 Α. Well, the current unionized standard 2 is 0.1 milligrams per liter. What has been proposed in the UAA would be equivalent to what the general 3 4 use ammonia standards are, which varies with 5 seasons, but is lower. But the Ship Canal at --11:02:23 6 where the Citgo refinery is, consistently meets the 7 0.1 milligrams per liter unionized and it 8 consistently meets the proposed limit, as well, is 9 my understanding. 10 So even with the discharge levels that 11:02:43 Q. 11 Citgo has had over the past several years, those two 12 components, the total ammonia and the unionized 13 ammonia, are still being met? 14 Yes. On an overall contribution, when Α. 15 the stream is at low flow condition, Citgo was 11:03:00 16 contributing about one percent of the ammonia 17 loading on the Ship Canal. And it would be even 18 less at normal flow conditions. 19 And where's the rest of that coming Ο. 20 from, the other 99 percent plus? 11:03:14 21 Primarily from the three large Α. 22 metropolitan water reclamation district plants. Or, 23 I guess, two in this case, the Cal Sag -- is that --24 is the Cal Sag on there already? Yes, all three of 0189 1 them. 2 So that just leaves the dissolved Q. 3 oxygen as a possible component; correct? 4 Α. Yes. 5 And what about the contribution of 11:03:36 Q. 6 dissolved oxygen demanding materials from the 7 upstream source as compared to the Citgo refinery? 8 Well, a multi-pronged answer. Two Α. 9 adjusted standards ago we borrowed the Metropolitan 10 Water Reclamation District QUAL2E model, to predict 11:03:58 11 dissolved oxygen levels, not only on the Ship Canal 12 and the Des Plaines River but all the way down the 13 Illinois River. 14 At that time a -- at the level --15 the maximum daily load that we were requesting at 11:04:20 16 low flow, the impact on DO was a maximum of .06 17 milligrams per liter at the maximum level we're 18 requesting today, that's on the order of .02 19 milligrams per liter, which is well below what one 20 is capable of measuring with a dissolved oxygen 11:04:39 21 meter. So you wouldn't be able to detect that. 22 So it's a theoretical calculation, Q. it's not something that can be measured? 23 24 Α. The .02 is a theoretical calculation 0190 1 and cannot be measured. 2 Now, Mr. Huff, you have been Ο. 3 associated with the Citgo refinery for some time; 4 correct? 5 11:05:09 Α. Yes, sir.

6 And you have consulted with Ms. Postel Q. 7 about various issues that come up relating to 8 wastewater treatment? 9 Α. Yes, sir. 10 Ο. And you were here earlier today when 11:05:19 11 we talked about the things that she is doing and the 12 refinery is doing to improve their effluent? 13 Α. Yes. 14 Do you have anything you would Ο. 15 recommend that they do beyond the things that she 11:05:29 16 mentioned? 17 No, sir. Α. 18 MR. FORT: And back to Mr. Stein, a 19 couple of questions. 20 BY MR. FORT: 11:05:49 21 Mr. Stein, am I correct in saying that Ο. 22 that nitrification either works or it doesn't or can 23 you describe how nitrification works? Can you do it halfway to get a little bit of nitrification, or is 24 0191 1 it there or not there? 2 You're correct. It's basically an all Α. or nothing. Either you're getting biological 3 nitrification or you're not. 4 5 Now, obviously, sometimes if you 11:06:14 6 get an inhibition you can start getting a reduction. 7 But it's, basically, either you're nitrifying or you're not. You can't control it -- operate in a 8 9 half-way manner. 10 So if a refinery is subject to -- and, 11:06:28 Q. 11 I'm sorry. Withdraw that. 12 Federal BAT requirements include a 13 requirement for nitrification? 14 You have to have some level of Α. nitrification to be able to meet the ammonia 15 11:06:40 16 nitrogen limits? So an entity, such as Conoco, would be 17 ο. subject to a federal BAT requirement? 18 19 Right. Α. 11:06:52 20 So if they have to do nitrification, Ο. 21 they're going to try to do it to meet the BAT, and 2.2 it's going to be a good -- a low number or not a low number; correct? 23 24 Α. Correct. 0192 1 We had several questions about Q. 2 retention time, but what about surface areas, how 3 does that fit into this whole issue? 4 Yeah, surface area is important in Α. 5 trying to get settling and be able to maintain your 11:07:24 6 biomass. And if you look at the secondary clarifier surface area, I believe the Citgo refinery is larger 7 8 than two of the other refineries. 9 Basically, they are much better 10 than Conoco-Phillips and ExxonMobil, that they 11:07:48 have -- what happens is, the more surface area you 11 have, the lower the gallons per minute per square 12

13 foot overflow. And the lower the overflow, the better chance that solids have to settle your 14 clarifier, be able to recycle back to the treatment 15 11:08:13 plants. The more surface area, the better the 16 17 performance of the system. 18 And the data that you're referring to ο. 19 is in Table 3 to your testimony? 20 Α. Yes, it is. 11:08:26 21 What about the affects of winter, and Ο. 22 what do winter conditions, cold temperature 23 conditions, do to nitrification? 24 Winter conditions can wipe out Α. 0193 1 nitrification. Temperatures less than 68 degrees 2 can inhibit nitrification statistically and lessen, 3 probably about 15 degrees C, which you would 4 probably, you know, lose nitrification. 5 Thank you. 11:09:04 Q. б Going back to the retention issue 7 again and adding more retention time. Will that 8 require more energy be consumed in order to do that? 9 Yeah. Obviously, if you increase the Α. retention time, then you have to add more aeration 10 11:09:17 to maintain the solids in suspension into that 11 12 system. 13 And that was where I was getting 14 that the Citgo refinery with the fine bubble diffusers has a very good system that could allow 15 11:09:32 operating at a shorter detention time and still be 16 17 within the reasonable F to M to get biological 18 nitrification. 19 Q. But if you went to another technology, 20 an add-on technology of some sort, such as the ones 11:09:48 21 that you looked at here, that would require more 22 horsepower, and hence, more energy consumption? 23 More energy, as I think Mr. Huff Α. 24 alluded to in his looking at the CO2 effect. 0194 1 Thank you. Q. 2 MR. FORT: I have one more for 3 Ms. Postel, I forgot to ask her earlier. BY MR. FORT: 4 5 Ms. Postel, what's the zoning Ο. 11:10:16 6 classification of the refinery? Industrial. 7 Α. 8 MR. FORT: That's all I have. Thank 9 you. 10 THE HEARING OFFICER: Mr. Boltz, 11:10:31 11 recross? 12 MR. BOLTZ: Just a couple of small 13 points of clarification for Mr. Stein, sir. 14 THE HEARING OFFICER: Proceed. 15 MR. BOLTZ: Thank you, sir. 11:10:41 16 RECROSS-EXAMINATION 17 BY MR. BOLTZ: 18 Within -- do you have your testimony Q. 19 in front of you, sir?

20 11:10:45 Α. Yes. 21 Q. Within Page 14 of your testimony ... THE HEARING OFFICER: And we're 22 23 referring to Exhibit 10, is it, the corrected? 24 0195 1 MR. BOLTZ: Let me see if I've got an 2 exhibit number. 3 MR. FORT: It's the same on both. 4 THE HEARING OFFICER: Oh, okay. 5 BY MR. BOLTZ: 11:11:03 6 Do you have that in front of you, sir? Q. 7 Α. Yes. 8 Q. Just your last statement there where 9 you state the ExxonMobil refinery exceeded three 10 milligrams prior to 2005. 11:11:12 11 Α. Yes. 12 ο. Is that true and correct? 13 Yes. Α. 14 So subsequent to that time, they've Q. 15 met that limit? 11:11:18 Right. As I said, the data I had was 16 Α. 17 for really 2005, 2006. 18 And then turning back to Page 8 again Ο. 19 of your same testimony, within that document, you referred to a couple of sources that justified, 20 11:11:38 21 apparently, your finding that biological 22 nitrification may not be possible for treatment of refinery wastewaters, a document from 1974 and a 23 document from 1982. You did utilize those documents 24 0196 1 for purposes of justifying that statement; is that 2 correct? 3 MR. FORT: Object to the --4 mischaracterized what he said. 5 THE HEARING OFFICER: Mr. Boltz? 11:12:04 MR. BOLTZ: It says right here two 6 7 documents which justify these findings. 8 Maybe I'll be even more specific with the 9 statement. 10 MR. FORT: Counsel, it's the way you 11:12:12 said it. You said the possibility of not 11 12 being able to nitrify. 13 That wasn't what he was saying there. I was objecting not to your citation 14 15 of these things but how you asked the 11:12:19 16 question. 17 MR. BOLTZ: I'll withdraw the question 18 and --THE HEARING OFFICER: Thank you, 19 20 Mr. Boltz. 11:12:24 21 BY MR. BOLTZ: 22 Within that paragraph you state that ο. 23 while you feel that there's adequate demonstration 2.4 that domestic wastewater treatment plants can 0197 achieve biological nitrification, you also state, 1

"But this is not the case for the treatment of 2 3 refinery wastewaters." 4 Do you see where you stated that 5 11:12:39 in your testimony? 6 Yes, I do. Α. 7 Ο. And then, do you see where in your 8 next sentence you state two documents which justify 9 this finding, and you refer to two documents, one 10 from April 1974 and one from October of 1982; is 11:12:48 11 that correct? 12 Α. Yes. 13 MR. BOLTZ: That's all I have. 14 THE HEARING OFFICER: Thank you, 15 Mr. Boltz. 11:12:58 16 Any re-redirect Mr. Fort? 17 MR. FORT: No. 18 THE HEARING OFFICER: At this time I'm 19 going to let our technical personnel ask 20 their questions, if any. 11:13:09 21 MR. RAO: We have a few questions. 22 Some of them relate to this whole issue of detention time and issues raised by the 23 24 Agency. 0198 1 I'll start with the first 2 question. In the Agency's recommendation, 3 the Agency refers to Table 46 of Citgo's 4 technical review document by AWARE 5 Environmental, that compares the detention 11:13:39 б times and clarifier overflows of activated 7 sludge treatment processes in different 8 Illinois refineries. 9 And the Agency notes that Citgo's 10 wastewater treatment plant aeration basins 11:13:53 11 have the lowest detention time of the four refineries. Further, the Agency refers to 12 the longer detention times of the other 13 14 refineries and suggests that these longer detention times may be at least partially 15 11:14:07 responsible for more effective and more 16 17 consistent nitrification achieved at these facilities. 18 19 And my question goes to 20 Ms. Postel. In your testimony on Pages 7 and 11:14:18 21 8, you list the upgrades to the wastewater 2.2 treatment plant at Lemont refinery from 1987 23 to 2007 totaling to \$45 million. Between 24 1987 and 1993 you list the addition of a 0199 1 second hundred foot diameter secondary 2 clarifier that doubled the secondary 3 clarifier's capacity at the plant. 4 Would you please identify any 5 other upgrades that were made at the Lemont 11:14:51 6 refinery that contributed to an increase in 7 detention time or surface area or a decrease in overflow rates? I direct the question to 8

9 you, if any of the other witnesses want to 10 answer, that's fine, too. 11:15:09 MR. FORT: Did you hear the question? 11 12 MS. POSTEL: Yes, there has not been 13 any. 14 MR. RAO: So your testimony pretty 15 much covers all the upgrades that were made 11:15:24 16 at the refinery? 17 MS. POSTEL: I mean, the only -- to 18 the surface. 19 MR. HUFF: Well, if I could interject, 20 the reason for the additional clarifier was 11:15:37 21 to allow a higher biomass to be carried in 22 the aeration basins. And if we go back to 23 Mr. Stein's comments, that removal nitrification is a function of retention time 2.4 0200 1 and biomass population. Those two terms 2 actually get multiplied together. 3 So if you want to improve, in 4 theory, removal, you have to increase those 5 two products multiplied together. And so by 11:16:03 adding a clarifier in there, allowed the 6 7 refineries to run at higher mixed liquor 8 suspended solids level, directly intended to 9 try to improve the performance of the 10 nitrification. 11:16:17 MR. RAO: So the additional -- the 11 secondary clarifier, helped in increasing the 12 13 food to microorganism ratio? 14 MR. HUFF: Absolutely. Because you 15 can now run at higher biomasses, where you 11:16:30 16 couldn't settle those before any other 17 clarifiers, you had too many solids, on a 18 pounds per gallon per square foot basis. 19 And so, now the refinery has a 20 very conservative surface overflow rate on a 11:16:44 21 gallons per day per square foot. But that 22 then allows them to run with more biomass in 23 the system that accomplishes the identical 24 thing to retention. 0201 1 MR. STEIN: One other item that the 2 refinery also switched, I'm not exactly sure 3 of the year, but from surface aerators to 4 fine bubble diffusers, which also allowed to 5 operate at a higher mixed liquor suspended 11:17:09 6 solids level, because you can get much better 7 oxygen transfer. For example, the fine bubbles could get up to twice as many pounds 8 9 of oxygen per horsepower hour as a surface 10 aerator. 11:17:28 11 MS. POSTEL: Just to go back to the 12 oxygen transfer. 13 MS. RAO: Yes. 14 MS. POSTEL: We have three aeration cells, and in Cell A we upgraded the 15 11:17:35 16 diffusers in 2006. In B cell, 2003. And in C cell we upgraded them in 17 2001 and did some repairs in 2007. 18 19 MR. RAO: And in terms of the overflow 20 rate from the secondary clarifier, would you 11:17:54 21 characterize the overflow rates to be pretty 22 much in the same range of the other 23 refineries, referring to Table 3 of 24 Mr. Stein's testimony? 0202 1 MR. STEIN: Conoco-Phillips would be 2 higher. It looks like Exxon and Lemont are 3 similar, and Marathon has a much lower 4 overflow rate. 5 MR. RAO: Okay. 11:18:23 6 MR. STEIN: But typical for industrial 7 design, you want 500 to 600 gallons per day 8 per square foot. So all four, when you look 9 at industry standards, are good overflow 10 11:18:39 rates. 11 MR. RAO: And you testified earlier you're familiar with the food to 12 microorganism ratio of the other refineries? 13 MR. STEIN: Unfortunately, it's hard 14 15 to get a lot of that information. It's not 11:18:52 publicly available. 16 17 MR. RAO: Could I ask the Agency if 18 the Agency has this information about -- more specific operational information about the 19 other refineries that could be provided into 20 11:19:04 21 the record? 22 THE HEARING OFFICER: Mr. Rao, who are 23 you asking? We probably should swear them 24 in. 0203 MR. RAO: Are they going to testify 1 2 later? THE HEARING OFFICER: Yeah. Well, 3 4 they're going to rest and then the Agency 5 will put on their case. 11:19:19 6 MR. BOLTZ: Could I --7 MR. RAO: Then I can hold off until --8 THE HEARING OFFICER: Sure. MR. BOLTZ: Yeah, maybe I could get a 9 10 response real quickly, sir, if I may. 11:19:24 11 Your Honor, if I may provide a 12 response. I'm not going to provide 13 information, I'd like to respond to his 14 inquiry, if I may. 15 THE HEARING OFFICER: You may. 11:19:45 16 MR. BOLTZ: Thank you, sir. 17 The Agency has those very same 18 questions, sir. And that's exactly, in fact, 19 the information we were looking at obtaining for purposes of this petition. 2.0 11:19:54 21 We have not conducted our own 22 independent evaluation or investigation of

23 the same thing but we see the same issues. 24 MR. FORT: Does the Agency have the 0204 1 data available? 2 MR. BOLTZ: Of the other refineries? 3 MR. FORT: Yes. 4 MR. BOLTZ: You know, maybe that's a trade secret issue. I don't know. 5 11:20:13 MR. LeCRONE: Do I need to be sworn in 6 7 to answer any --8 MR. RAO: We can wait. 9 THE HEARING OFFICER: It would make it 10 cleaner if Sharon would swear in the witness 11:20:23 11 and then we can go back. 12 MR. BOLTZ: Absolutely, Your Honor. 13 (WHEREUPON, the witness was duly 14 sworn.) 15 MR. LeCRONE: We probably do. We 11:20:36 16 haven't looked for it or evaluated it yet. 17 We, basically, were hoping that more of that 18 type of an analysis would have been in this 19 petition. Conoco and ExxonMobil are both 20 undergoing some plant changes and upgrades 11:20:55 now, so we probably got better information on 21 what they're looking to do here soon and in 2.2 23 the future than what we do on the food to 24 microorganism ratios and the mixed liquor 0205 solids. I don't know if we have any of that, 1 2 nothing recent anyway. 3 We probably had the design 4 characteristics of it way back when, when the 5 plants were built but nothing recent other 11:21:19 6 than probably the design specs on their 7 recent proposed upgrades. But that's not information that's routinely, you know, asked 8 9 for by us or given to us, unless it's at a 10 design stage where we're evaluating a design 11:21:37 11 proposal or something. 12 MR. RAO: Thank you. MR. BOLTZ: Thank you, sir. 13 MS. LIU: Just following up on 14 Mr. Rao's question earlier. You mentioned 15 11:21:52 16 that the addition of that second 100 foot 17 diameter clarifier helps you to have a higher 18 biomass for the nitrification. Following 19 along the philosophy that a little is good more must be better, would it help if you 11:22:06 20 added another? 21 MR. HUFF: Another clarifier? 22 MR. STEIN: I don't believe so. 23 Ι 24 mean, you get down to less than 300 gallons 0206 1 per day per square foot. I mean, we're at 370, 380. If you 2 3 get -- another clarifier could actually cause 4 worse performance. And what happens is if

5 you get too much clarification, you have the 11:22:36 б solids sitting on the bottom of that 7 clarifier, they can then start going septic 8 and then release sulfites, which could, you 9 know, one, start causing bubbling or gassing 10 in the clarifier, and two, provide food for 11:22:58 11 filamentous organisms. 12 And I have worked at several 13 industrial biological treatment plants that 14 we've actually -- because of changes in 15 production, the flow rates have gone down --11:23:17 16 we've actually had to shut off clarifiers, 17 because the lower overflow rate was causing 18 more problems and a poorer quality effluent. 19 So you can get -- and the same thing, if you get too long a detention time, you could 20 11:23:37 21 actually start getting a deterioration in the 22 system, that if you look at the relationship 23 between F to M and settle ability, it's short 24 of a U-shaped curve, with the F to M -- if 0207 you get very low F to M, then you start 1 2 getting very disbursed organisms and poor 3 settling. 4 If you get a very high F to M, you 5 get settling problems. So there's sort of an 11:24:09 6 optimum range for operating the treatment 7 plant and the same thing can occur for the 8 clarification. 9 MS. LIU: In the Agency's 10 recommendation on Page 10, they mention that 11:24:21 11 the ExxonMobil refinery had previously 12 received relief from the four, just as Citgo 13 had. But now they are choosing to forego any 14 further board relief. They point to the state 11:24:36 15 construction permit issued in March of 2007 16 17 that would allow the construction of additional clarifiers to add additional 18 square feet of surface area and increase the 19 20 detention time. Subsequently, ExxonMobil 11:24:47 wrote to the Agency indicating that it will 21 meet the lower limits. 22 23 We've talked a lot about this 24 already. 0208 1 MR. BOLTZ: Right. 2 MS. LIE: Somewhere along the line 3 ExxonMobil sees the benefit of the additional 4 clarifiers in the square footage. I'm not 5 sure how it fits into the curve, but perhaps 11:25:10 6 you could relate what Citgo's situation is to 7 how it differs from ExxonMobil and how you 8 wouldn't benefit from necessarily doing the 9 same thing. 10 MR. HUFF: If I could answer that 11:25:24 11 question. I prepared that construction

12 permit application. 13 MR. BOLTZ: Your Honor, if I may 14 interpose an objection. Should the same 15 11:25:32 discussions that we previously had with 16 respect to Mr. Huff's testimony regarding 17 comparables in other refineries, the trade 18 secrets or how they proceed and shouldn't 19 apply here, in terms of what he's going to 20 articulate on behalf of Citgo on the same 11:25:42 21 issue? 22 MR. HUFF: With all due respect, I'm 23 not going to divulge any trade secrets. 24 THE HEARING OFFICER: There you go. 0209 1 Objection overruled. 2 You may proceed. 3 MR. HUFF: As I mention in one of the 4 earlier questions, Exxon Mobil has elected to 5 put their wet gas scrubber directly into 11:25:59 6 their aeration basin. The are expanding a 7 clarifier solely because of the more dense 8 water that they -- the settling velocities will be slower. So they had to expand the 9 10 clarifiers because of how they elected to 11:26:11 11 handle the wet gas scrubber. 12 You recall in Citgo's case, they 13 elected not to put the wet gas scrubber through the biological treatment system, they 14 15 have a separate purge treatment unit for the 11:26:27 oxidation. And that's the difference. 16 17 MS. LIU: Thank you. 18 MR. RAO: May I ask a follow-up? 19 Since you've testified that you're familiar 20 with the ExxonMobil treatment plant, could 11:26:45 21 you -- if you have the knowledge about the 22 treatment plant as to what changes they have done that made that plant come into 23 24 compliance? 0210 1 MR. HUFF: I'm going to answer that 2 question. It's not quite that issue. 3 As the Agency's well aware, ExxonMobil was proceeding to also get another 4 5 site specific -- they had met with the Agency 11:27:16 approximately after a month after the BP was 6 7 in the newspaper. ExxonMobil re-evaluated 8 and decided to drop that request. 9 So that's what changed. 10 11:27:39 MR. RAO: Okay. Well, do you think 11 the plant can operate within the applicable 12 regulations? 13 MR. HUFF: My opinion? 14 MR. RAO: Yes. 15 MR. HUFF: I agree with Mr. Stein that 11:27:54 16 before I say definitively, I would want five 17 years of performance data. They have 18 approximately two years without the wet gas

19 scrubber going through that system. 20 They have no data yet, other than 11:28:05 21 their laboratory pilot test, that says that 22 they will not have any effect. I believe 23 that there is a considerable uncertainty as 2.4 to the success of that plant when the wet gas 0211 1 scrubber comes online. 2 MR. RAO: Thank you. 3 MS. LIU: Just to provide an 4 additional piece of information into the 5 record, on Citgo's petition on Page 16, as 11:28:29 6 well as Exhibit B of the AWARE report, on 7 Pages 40 to 56, you described the four 8 alternatives that were evaluated to the 9 current treatment process. And Mr. Stein 10 mentions in his prefiled testimony that 11:28:45 11 additional detention time would be provided 12 in the two-stage biological systems with the 13 fixed film system as a second stage. 14 Just for an additional piece of 15 information, how much additional detention 11:29:00 time would it provide? 16 MR. STEIN: I guess the -- in going 17 through a fixed filling system, what you have 18 19 is the actual -- in other words, suspended 20 growth system, such as activated sludge, you 11:29:21 21 have the microorganisms that are in 22 suspension. In a fixed filling system, you 23 actually have a media that the microorganisms 24 grow on. 0212 So there's a little bit of a 1 2 difference. But we've got over six million 3 square feet of surface area for the 4 nitrifiers to grow on. 5 And the reason to go to a 11:29:52 two-stage system, instead of longer detention б 7 times, is you have a better chance of not 8 having these inhibitory factors in a 9 two-stage system than you do in just a longer 10 detention time in a single stage system. And 11:30:08 11 that's the reason that we thought that was a 12 way to go. 13 I hope that... 14 MS. LIU: Yes. 15 MR. RAO: I have a question for 11:30:28 16 Ms. Postel. 17 In your prefiled testimony at 18 Page 10, you said that the refinery will 19 continue to investigate improvements to it's 20 existing wastewater treatment systems. And 11:30:42 21 you say that focusing on better solids 22 handling from the desalter holds the greatest 23 promise for achieving improved wastewater 24 treatment performance on a consistent basis. 0213

1 Further, the options that will be 2 investigated include in-situ solid removal 3 system, increase tankage to allow brine 4 segregation, amine management and a distant 5 chemical usage to reduce emulsification in 11:31:13 6 primary treatment units. The propose of this 7 standard language includes a sunset provision 8 limiting relief to a five-year period. 9 Does Citgo believe it will take 10 five years to investigate the options listed 11:31:29 11 in your testimony? Also would you please 12 provide a proposed timetable for 13 investigating these options. 14 MS. POSTEL: Well, for the in-situ 15 solid removal, there is a group of refineries 11:31:45 across the country that are working on 16 17 various technologies. This has been ongoing 18 for about two years. 19 The timetable for that, I don't 20 know. I don't even think the refineries that 11:31:58 21 are involved and the technical people involved in that analysis have any timetable 22 23 that they could follow. MR. FORT: Mr. Rao, let me say this, 2.4 0214 1 that we would certainly be amenable and 2 willing to put forth such a proposal. 3 actually had hoped we were going to get the 4 Agency engaged in that kind of a dialogue and 5 investigation plan. 11:32:28 б And we can't control it all 7 because there's third parties that we can't 8 control their schedule, but I think we could 9 propose a schedule of action over the next 10 five years. 11:32:38 MR. RAO: That would be helpful. 11 12 Because you have proposed a sunset provision, and it could be helpful for the Board to see 13 14 what activities that Citgo would be 15 undertaking during this period of time. 11:32:47 MR. FORT: Okay. 16 MR. RAO: That's all we have. Thank 17 18 you very much. 19 THE HEARING OFFICER: Thank you. 20 Mr. Fort, do you rest? 11:33:03 21 MR. FORT: We're resting. 22 THE HEARING OFFICER: Let's go off the 23 record for a second. 24 0215 1 (WHEREUPON, discussion was had 2 off the record.) 3 (WHEREUPON, a recess was had.) 4 THE HEARING OFFICER: We are back on 5 the record. 11:55:34 6 Once again, Citgo has rested their 7 case in chief. Mr. Boltz from the IEPA has

8 got the floor. 9 MR. BOLTZ: Yes, sir. We would like 10 to call Darin LeCrone. 11:55:45 11 THE HEARING OFFICER: He's already 12 previously been sworn in. DARIN LeCRONE, 13 14 called as a witness herein, having been previously 15 duly sworn and having testified, was examined and 16 testified further as follows: 17 DIRECT EXAMINATION 18 BY MR. BOLTZ: 19 Would you go ahead and state your name Q. 20 for the record and spell your last name. 11:55:51 21 Α. My name is Darin LeCrone, 2.2 L-e-C-R-O-N-E. 23 Ο. And where are you employed, sir? 24 Illinois EPA. Α. 0216 1 And what do you do at the Illinois Q. 2 EPA? I'm in the industrial unit of the 3 Α. 4 permit section. I'm currently the acting unit 5 manager. 11:56:06 6 And as part of your job duties, do you Ο. 7 have access to various oil refineries in the state 8 of Illinois, specifically their effluent limits? 9 Α. The reported data, yeah, the DMR data. 10 Q. Have you had the opportunity to -- or 11:56:27 11 have you ever had the opportunity to look at the reported data relative to ExxonMobil in the state of 12 13 Illinois? 14 Α. Yes. 15 (WHEREUPON, a certain document 11:56:38 16 was marked Respondent Exhibit No. 1 for identification, as of 17 8/20/08.) 18 19 BY MR. BOLTZ: 20 I'm going to hand you what I just 11:56:38 Ο. 21 marked Exhibit No. 1. 22 THE HEARING OFFICER: Your Honor, if I 23 may approach the bench and provide additional 24 copies? 0217 1 THE HEARING OFFICER: You may. 2 MR. BOLTZ: Thank you. 3 MR. FORT: Excuse me, what is the 4 number? 5 THE HEARING OFFICER: IEPA Exhibit 11:56:59 б No. 1. 7 BY MR. BOLTZ: 8 Q. Can you go ahead and identify this 9 document for the Board? 10 It's kind of a condensed printout of 11:57:05 Α. 11 the submitted DNR data for ExxonMobil for ammonia 12 and nitrogen for April of '03 to March of '08. 13 And how do you know that? Q. 14 The dates, the left-hand column is the Α.

15 year, the month and the day. This table is 11:57:32 condensed now, I took out some of the columns. 16 17 It's -- the DMR system used to be called PCS, now it's ISIS or something. The USEPA 18 19 DMR data entry system is what this came out of. 20 We just pulled -- had our 11:57:52 21 compliance section pull just the ammonia nitrogen 2.2 data, both concentration and load -- reported 23 load -- mass loadings. And it also gives the --24 like this one in particular, gives the reported 0218 1 monthly average concentration, the monthly average 2 limit, the daily maximum reported concentration, the 3 daily maximum limit, and then the average maximum 4 mass loadings and limitations as well. 5 Can you go ahead and -- when you said 11:58:19 0. 6 that in order, can you describe which column that's 7 in, just so the record can be clear? 8 Yeah. My description was from left to Α. 9 right. The first column is the date, the DMR date. 10 The second column is the reported 11:58:31 monthly average concentration. The next column is 11 the monthly average limits. And then the -- and 12 then there's units, obviously. 13 Then the daily max reported 14 15 concentration, the daily max limit. Then the 11:58:45 16 monthly average reported mass loading. And then it 17 kind of jumps -- jumped two pages to get to the end 18 columns on that. 19 And the -- it should be the -yeah, the mass. The monthly average reported mass 20 11:59:01 21 loading, monthly average mass employment. The daily 22 maximum mass loading and daily max mass limit. 23 And that's from left to right 24 across this table. 0219 1 Ο. And that spreads over several pages, 2 because --3 Yes. That was as condensed down as I Α. 4 could get it. As close to fitting on one page as it 5 would go. 11:59:22 Does this appear to be a true and 6 Ο. correct version of those numbers, which are 7 8 available in the normal ordinary course of your job 9 duties? 10 Yes. 11:59:34 Α. 11 Q. During the course of -- let me 12 withdraw the question. 13 Pursuant to the petition that's being sought here under 304.122(b), there's been a 14 15 common utilization of the term "three-six"? 11:59:47 16 Α. Uh-huh. 17 How does the three-six -- what is Ο. 18 that, first of all? 19 Α. It's a state effluent standard that 20 applies to the Illinois river system. It's a three 11:59:57 21 milligrams per liter monthly average limit of six

22 milligrams daily maximum. 23 Q. And where would that fit on this 24 Exhibit 1? 0220 1 Well, the three-six doesn't -- because Α. 2 those limits didn't apply to this facility at that 3 time, it would be the nine and the 23 -- the nine 4 and the 20 theory or the average maximum limits. 5 The three and the six didn't apply at this time, so 12:00:24 6 they're not on this table. 7 With the knowledge that you have Q. 8 today, will they apply in the future? 9 It's anticipated, yes. ExxonMobil Α. 10 has, apparently, decided not to seek a renewal, or 12:00:37 11 whatever you phrase it, of their standard 12 site-specific rule. And so the three and six limits 13 would apply to them. That's being proposed at this 14 point. 15 The permit is still under review. 12:00:53 16 It's not even been public noticed yet. So there isn't even an official draft at this point, but that 17 18 is the route we are heading. 19 Ο. Thank you. 20 (WHEREUPON, a certain document was 12:01:05 21 marked Respondent's Deposition Exhibit No. 2 for identification, 22 23 as of 8/20/08.) 24 0221 BY MR. BOLTZ: 1 2 I hand you what's marked as Exhibit Q. 3 No. 2. 4 MR. BOLTZ: I'm going to hand out 5 copies to the folks here. 12:01:14 6 MR. FORT: Thank you. 7 BY MR. BOLTZ: 8 Ο. I'm going to hand you what's been 9 marked as Exhibit No. 2. Can you identify this 10 document? 12:01:35 11 Yeah, it's similar data for Marathon Α. 12 Robinson refinery. 13 And previously during this hearing I ο. referred to Marathon Oil; is that the same? 14 Yes. That is this facility, correct. 15 Α. 12:01:52 16 ο. Now, you were kind enough to go 17 through the columns before and extrapolating or 18 clarifying exactly what they mean. Could you do the same thing for the record today, please? 19 20 Yeah, on this one it's a little 12:02:09 Α. different in that at the time the Marathon facility 21 22 did not have concentration limits, so there's not 23 columns for concentration limits on the table. 24 They're currently still operating under this permit, 0222 1 which is from '89. 2 There is a public notice draft of 3 changes. But this one has the date -- the DMR date

in the left-hand column, and this one is just the 4 5 monthly average reported concentration limit. And 12:02:38 then the reported mass loading and limits kind of 6 7 across -- it's missing something. This is just the reported data, 8 and no limits are on this. 9 10 Ο. If we were to apply the three-six 12:02:55 11 standards for Marathon, where would the three and 12 the six be situated on this chart? 13 Α. Well, it would be -- there's not a 14 column -- a direct column on this one for that. 15 Because this one is set different. 12:03:08 16 Why this data came up different 17 out of the same system, I'm not really sure. The 18 limits didn't come out on it. 19 But there's no concentration 20 limits that applied at Marathon at this time. So 12:03:19 21 there wouldn't be a concentration limit column on 22 it. Once a new permit is issued, there would be. 23 Is there an effluent level that was Q. articulated that would match up with the three? 24 0223 1 That would be the concentration Α. 2 column, which is the second column. 3 And then the six? Ο. 4 Α. Well, there isn't a maximum -- this is 5 actually reported as max on here, but I don't think 12:03:45 6 it is. 7 Okay. Q. 8 It's listed as the maximum and not the Α. 9 average. But I think, for some reason, the 10 compliant system spit it out in the wrong column. 12:03:55 11 Because they're not required to 12 report average and maximum on the concentration 13 anyway. It's a concentration that corresponded to the mass limit. 14 15 All right. 12:04:08 ο. MR. BOLTZ: One final one here. I'm 16 17 going to mark this as Exhibit No. 3, 18 Your Honor. (WHEREUPON, a certain document was 19 20 marked Respondent's Exhibit No. 3 for identification, as of 21 22 8/20/08.) 23 BY MR. BOLTZ: 24 I hand you what's been marked Exhibit Q. 0224 No. 3. Can you go ahead and identify this document? 1 2 This is the reported DMR data for Α. 3 ammonia for Citgo Petroleum Lemont refinery. 4 Q. And if you could go through the 5 process of describing what each column means? 12:05:20 6 The -- from left to right in the Α. 7 left-hand column is the DMR date. In the next 8 column is the reported monthly average 9 concentration. The monthly average concentration limit, the reported daily maximum, daily maximum 10 12:05:33

```
11
     limit and in the mass loadings, reported average
12
     limit. Reported max and the maximum limit.
13
            Q.
                   And just for clarification, as we go
     through each one of these exhibits, just very
14
15
     briefly for the benefit of the Board and the Hearing 12:05:59
16
     Officer, do you know the regulatory standard that,
17
     say, Exhibit No. 1 Exxon, has to meet?
18
                  The concentration limits or mass
            Α.
19
     loading, mass limit?
20
            Ο.
                  Relative specifically to ammonia.
                                                           12:06:20
21
                   This data was based on their current
            Α.
22
    permit with their adjusted standard of nine and 23,
23
     for average and maximum concentration limits.
24
            Ο.
                   And again, that's stated right on
0225
     Exhibit No. 1?
1
 2
                   Correct.
            Α.
 3
                  Now, with respect to Marathon Oil, do
            ο.
 4
    you know the regulatory standard that they would
 5
    have to meet or they've met previously?
                                                            12:06:44
 6
                  Previously, it was just based on the
           Α.
 7
     federal BAT categorical standard. The current draft
     permit that has been public noticed has water
 8
 9
     quality based effluent limits.
10
                                                           12:07:02
                  And again, we already know Citgo,
           Q.
11
     so...
12
                       With respect to Conoco-Phillips,
13
     and you'll notice, obviously, the absence of that
14
     information, which has already been articulated to
     some degree, in the prefiling testimony, do you know 12:07:13
15
16
     the regulatory standard that they had to previously
17
     meet pursuant to this hearing?
18
                   They are meeting the mass limits --
            Α.
19
     the federal BAT mass limits. They do not -- they
20
     aren't subject to the three and six standard because 12:07:28
21
     they're not on the Illinois River system, they're on
22
     the Mississippi River.
23
                       So they have slightly different
     limits or expectations, or applicable standards
24
0226
     even. So they are subject currently to water
1
     quality base effluent limits for ammonia. Most
 2
 3
     likely due to the enormous amount of mixing
 4
     available in the Mississippi River.
                       So they are just subject to the
 5
                                                           12:07:55
 6
     federal BAT categorical mass limits.
 7
                   MR. BOLTZ: I have no further
 8
            questions.
9
                   THE HEARING OFFICER: Thank you,
10
            Mr. Boltz.
                                                            12:08:04
11
                       Mr. Fort, cross?
12
                   MR. FORT: I just saw this data.
                                                      Т
13
            think I heard that one of the exhibits was
14
            incomplete or there was an inaccuracy
15
            somewhere in one of the tables.
                                                            12:08:14
16
                   THE HEARING OFFICER: Is that the
17
           Conoco one?
```

18 MR. FORT: Yeah. 19 MR. BOLTZ: No, it's Marathon. 20 THE HEARING OFFICER: Marathon? 12:08:20 MR. FORT: Conoco is not even here. 21 22 MR. BOLTZ: Right. It's not here. 23 MR. FORT: It is condensed data, it's 24 not even full data from which it's 0227 extrapolated. I'd have to reserve asking 1 2 questions later. 3 And I can ask a few questions now, 4 I believe, but I want to reserve the ability 5 to actually look at the data and form some 12:08:37 б reasonable questions that don't waste 7 everybody's time while I plow around and try 8 to figure out what's behind this. 9 THE HEARING OFFICER: Will this data 10 ever be available? 12:08:48 11 MR. BOLTZ: I'm sorry? 12 THE HEARING OFFICER: This incomplete 13 data from Marathon and then --MR. BOLTZ: Well, Your Honor, at your 14 15 pleasure, we can look at the data again. You 12:08:57 know, we've only looked to provide the data 16 17 that is relative to the ammonia and nitrogen, 18 obviously, petitioned today. 19 We can take a look at the data again and make sure that we have all that we 20 12:09:07 21 need. MR. LeCRONE: Yeah. The issue for me 22 23 with the Marathon data is it's reported on 24 here as a daily max concentration. I don't 0228 1 really -- I think it might be the average and 2 not the max. 3 But I need to verify that this is how it came out of the compliance system. 4 5 But other than that, there's nothing else 12:09:28 б emitted from it. I think that max should be 7 an average is the only difference. 8 MR. BOLTZ: Just that verbiage that says the max? 9 10 MR. LeCRONE: Yes. I suspect that may 12:09:39 11 be the case. I need to verify that with 12 compliance, I wasn't able to do so. 13 THE HEARING OFFICER: All right. 14 Thank you. 15 MR. BOLTZ: We just want to get the 12:09:45 information. 16 17 MR. FORT: Well, counsel, I really 18 appreciate your willingness to do that, but 19 we did ask the Agency for this six months 20 12:09:53 ago. 21 MR. BOLTZ: Your Honor, you know --22 MR. FORT: We were told, "See what you 23 can find out from public available channels." 24 THE HEARING OFFICER: Okay. We've

1 been over that. 2 Mr. Fort? 3 MR. FORT: As long as I can reserve 4 asking more questions. 5 THE HEARING OFFICER: Well, yes, I 12:10:03 6 quess, asking more questions when we continue 7 on the record. MR. FORT: Yes. 8 9 THE HEARING OFFICER: We're looking at 10 right now September 18th from 9:00 to 10:00, 12:10:09 11 but I still have to clear it with the 12 coordinator here. 13 MR. FORT: I'm going to give it my 14 best shot here of asking questions, but... THE HEARING OFFICER: Okay. 12:10:19 15 16 MR. FORT: My technical people haven't 17 had a chance to read this very thoroughly. 18 THE HEARING OFFICER: Fair enough. 19 CROSS-EXAMINATION BY MR. FORT: 20 12:10:26 Let's start with the Marathon Ashland 21 Ο. 22 data on this. 23 Why is there so little data here 24 in comparison to everything else? We've got four 0230 1 pages of data on Citgo and a page and a half? 2 Well, the reason is because of the Α. 3 way -- there's not as many columns for Marathon 4 because they don't have two columns for reported 5 concentrations and two columns of reported 12:10:48 6 concentration limits. So condensing it down, it fit 7 on the two pages, taking all the blank columns out 8 of the spreadsheet. 9 Where the other two, because they 10 have more columns that -- there's like -- I think 12:11:02 11 they are four pages apiece. The first two have the 12 concentration columns and part of the mass loading. 13 The last two pages are at the end of the spreadsheet 14 that got bumped to the next two pages. 15 So it's a fact they're not having 12:11:17 as many columns in the spreadsheet. 16 Well, I'm looking at this and I see 17 Q. 18 one data point a month? 19 Α. Right. 20 Is that all that they're sampling? 12:11:25 Ο. 21 Α. This is what was reported on the DMR. 22 So they're -- you know, they're reporting an average, which is why I wanted to see if -- I need 23 24 to verify this is an average or a max. 0231 1 Q. Well, it wouldn't be -- surely, they 2 are only not --3 Well, it's reported --Α. 4 Let me ask a question. Ο. 5 Surely they're taking more than 12:11:44 6 one sample a month; aren't they?

0229

```
7
           Α.
                   Probably.
8
           Q.
                   Or is the Agency --
                   I think at least two a week --
9
           Α.
10
                   MR. LeCRONE: Isn't it?
                                                           12:11:50
11
    BY MR. FORT:
12
                  Well, two a week is what Citgo does.
          ο.
13
    But --
14
                  Two a week.
           Α.
                  They are collecting two a week?
15
                                                          12:11:57
           Q.
16
           Α.
                  Right.
17
           Q.
                   So that within these -- these are
18
    average numbers then, you think?
19
                  MR. BOLTZ: We need to verify that
20
            the -- the one piece we need to verify.
                                                          12:12:05
21
                   MR. FORT: It's your exhibit.
                   MR. BOLTZ: This is how it came out.
22
23
                   THE HEARING OFFICER: One at a time
24
           please, gentlemen.
0232
1
    BY MR. FORT:
 2
                 Let me direct your attention to the --
           Ο.
     there's -- the second page for 2080331. So, I
 3
     assume, that's March of 2008.
 4
 5
                  Yes.
                                                           12:12:24
           Α.
 6
                  There's an entry at the bottom that's
           Ο.
 7
    blank. There's an entry of maybe eight lines up
8
     that says 3.35 milligrams per liter.
9
           Α.
                  Uh-huh.
10
                  And there's an entry above that for
           Q.
                                                           12:12:35
     2.68 milligrams per liter. All the data is of
11
12
    March 31, 2008.
13
                      Do you see those three?
14
           Α.
                   Yes.
15
                   Why is that?
                                                           12:12:45
           Q.
16
                   I do not know.
           Α.
                      This -- we asked for the DMR data
17
    back from '04, essentially, and this is what the
18
19
    compliant system gave us.
20
                                                           12:12:56
           Q.
                  Okay.
21
                   Now, they -- one issue may be that
           Α.
22
     they switched from the old PCS system to a new USEPA
23
     compliance data system. I don't know if it had
24
     something to do with the database switchover.
0233
 1
                       This is what it spit out for us,
 2
     and I put it in the most reasonably usable format we
 3
     could.
                  Do you know if Marathon is discharging
 4
           Ο.
 5
     all their wastewater through their NPS permanent
                                                           12:13:21
     outfall, or are they hauling some of that wastewater
 б
 7
     offsite?
 8
           Α.
                  I believe they have been hauling some
9
     offsite out of state.
10
           ο.
                  And do you know how much they are 12:13:33
11
    hauling off offsite?
12
                  Volumewise, I don't know. I --
           Α.
13
                  Do you know if they're hauling the
           Ο.
```

```
14
    purge treatment unit material offsite and out of
15
     state?
                                                           12:13:43
16
            Α.
                   I believe it is a waste treatment
17
     associated with a scrubber operation. But I don't
18
    know for sure.
19
                  So it's an operation that had a lot of
           ο.
20
     ammonia in it; correct?
                                                           12:13:51
21
                  Well, normal -- no more than normal
           Α.
    refinery wastewater. I mean, it's like the scrubber
22
23
     discharge from Citgo -- from what I understand, that
24
     the waste stream -- instead of treating it onsite,
0234
1
     they're hauling it offsite.
 2
                  And you know that Citgo had to put in
            Q.
 3
     extra treatment --
 4
            Α.
                   Yes.
 5
                   -- specifically for ammonia for their
            Ο.
                                                           12:14:09
 6
    purge treatment; correct?
7
           Α.
                  Right.
8
                   So this doesn't even include all that
            Q.
    water, which isn't even reflected in this data?
9
10
           Α.
                  Correct.
                                                           12:14:20
11
                  And you don't know if they were
            ο.
     worried about the effect of their purge treatment
12
13
    unit water on their regular wastewater treatment
    plant and what that would do to the nitrification of
14
15
     the regular waste treatment?
                                                           12:14:36
16
                   MR. BOLTZ: Objection. Calls for
17
            speculation. He asked for state of mind of
18
            another individual.
19
                   THE HEARING OFFICER: Overruled. He
20
            can answer, if he's able.
                                                           12:14:41
21
    BY THE WITNESS:
22
                  I don't know if that was the reason or
           Α.
23
    not, honestly. I don't think it had to do with
     ammonia. I think it had to do with another
24
0235
1
    parameter.
 2
                      But I am not 100 percent sure on
 3
    that.
 4
     BY MR. FORT:
 5
            Ο.
                  Do you know if they do any treatment
                                                           12:14:53
 6
     for ammonia from the purge treatment unit process?
 7
           Α.
                  Off the top of my head, no, I don't
8
    know.
9
                   I'm sorry, why is there no Conoco
            Q.
10
    data?
                                                           12:15:33
                  It failed in trying to generate some.
11
           Α.
12
     I don't know what's available, honestly. I didn't
13
     get any.
14
           Q.
                  Going back to Marathon, it appears
15
     that Marathon has had an exceedance of three on a
                                                          12:15:53
16
    monthly average within the last year?
17
           Α.
                  It would have been an exceedance if
18
     they were subject to the three and six standard,
19
     correct. But they weren't subject to a
     concentration limit at that point.
                                                           12:16:06
20
```

21 Q. Do you know what their mass limit is? 22 Α. The current permit that's in effect, which is dated 1989, it was -- average mass limit of 23 24 763 pounds a day of ammonia and a daily max of 0236 1 1,679. 2 And that would have been before the Ο. 3 purge treatment unit water; correct? Because they 4 weren't doing the controls at that point? 5 Α. Yes. 12:16:50 6 Mr. LeCrone, you're just being offered Q. 7 by the Agency to present data on other refineries; 8 is that right? 9 Α. Yes. 10 You have no other role in this hearing 12:17:08 Q. other than presenting the data? 11 12 Not directly, I guess. I don't know Α. 13 what -- I'm not sure what you mean exactly. 14 You're not intending to testify to any Q. 15 of the subjects here, other than the data you just 12:17:24 16 presented? 17 Α. No. 18 Do you consider yourself an expert in ο. 19 the treatment of ammonia and nitrogen in an 20 industrial setting? 12:17:36 I don't know that I'd call myself an 21 Α. 22 expert, but it's my job to review signed proposals 23 by dischargers and --24 Well, has anybody asked you for advice Q. 0237 1 on how to get to a particular effluent 2 concentration? 3 MR. BOLTZ: I'm going to object. 4 Beyond the scope of direct examination. 5 Your Honor, he's only -- and I 12:17:58 think it's been clarified perfectly by the 6 7 petitioner that he's only here to proffer this data. He's done that. 8 9 If his cross-examination relative 10 to the data is being proffered, then, 12:18:08 obviously, I have no problem. But if he's 11 going into these other outer boundaries to 12 13 discuss apples and oranges, I'm not sure 14 that's appropriate. 15 THE HEARING OFFICER: Mr. Fort? 12:18:17 16 MR. FORT: Well, I'm trying to clarify 17 what he is going to testify, and there's not 18 something else to be, you know, brought in 19 orally later. 20 THE HEARING OFFICER: I think he just 12:18:25 21 answered, he was going to be brought in to 22 testify to these charts, graphs. 23 So objection sustained. 2.4 MR. BOLTZ: Thank you. 0238 BY MR. FORT: 1 2 Ο. And you're not being called to testify

to contradict any of the testimony that Mr. Stein 3 4 has offered today? 5 No. Α. 12:19:03 б Or Mr. Huff? Q. 7 Α. No. 8 Ο. Or Ms. Postel? 9 Α. No. 10 Thank you. 12:19:08 Q. 11 THE HEARING OFFICER: I'm sorry, sir. 12 Mr. -- if I can ask a question of 13 Mr. LeCrone. 14 Did you help prepare the 15 recommendation? 12:19:18 16 MR. LeCRONE: I did. 17 THE HEARING OFFICER: Okay. 18 BY MR. FORT: 19 So let me make sure I understand. I'm Ο. 20 looking at Agency Exhibit 1, which I believe is the 12:19:53 21 Exxon data. Do you have it? 22 MR. BOLTZ: We have it before us. BY MR. FORT: 23 24 Does the witness have it? Q. 0239 1 Α. Yes. 2 Thank you. I'm just going in the far Ο. 3 left-hand column --4 Α. Uh-huh. 5 Q. -- with number -- the first number at 12:20:15 б the top of that column is 1.1 milligrams per liter? 7 Α. Yes. 8 That is a monthly average? Ο. 9 It should be the reported monthly Α. 10 average concentration. 12:20:26 11 Okay. And going down I see -- it Q. looks like April 30, '04, a 10.7 milligram per liter 12 monthly average; correct? 13 14 Α. Yes. 15 And that was higher then their 12:20:38 Ο. site-specific rule? 16 17 Α. Correct. 18 And the next month, May 31, of '04, a 0. 19 12.1 milligram perfect liter? 20 Α. Yes. 12:20:47 And again, that's higher than what 21 Ο. they had in their authorized rule? 22 23 Α. That's correct. 24 Q. And again, in December of '04, 0240 3.9 milligram per liter, which was less than the 1 2 rule but above the three milligram per liter rule 3 we've been talking about? 4 Α. I'm sorry, which one was that? 5 Yes. 12:21:16 6 And you don't have an opinion of Q. 7 whether or not the Exxon Mobil strategy of taking 8 their purge treatment unit or wet gas scrubber water into their existing ammonia nitrogen system will 9

10 adversely affect their ammonia nitrogen performance; 12:21:31 11 do you? 12 MR. BOLTZ: I'm going to object to 13 this line of questioning. I think we've 14 already gone over this. 15 My objection has been sustained, 12:21:39 16 that we shouldn't extend our testimony beyond 17 the limits of direct examination. MR. FORT: Well, Mr. Hearing Officer, 18 19 he said he reviewed permit applications. So 20 I guess I could ask him the foundation 12:21:49 21 question did you review the ExxonMobil permit 22 application, but... 23 BY THE WITNESS: 24 Δ I didn't review the ExxonMobil. 0241 1 THE HEARING OFFICER: Objection 2 overruled. 3 You can answer. 4 MR. FORT: Can you read back the 5 question for him? б MR. BOLTZ: I think he already 7 answered the question. 8 THE HEARING OFFICER: He did answer 9 the question. 10 MR. FORT: I apologize. 11 MR. BOLTZ: He said no. 12 BY THE WITNESS: 13 No, I did not review the Exxon Mobil Α. 14 application. 15 MR. FORT: The next question -- the 12:22:12 16 question before that is the one that I was 17 asking to be read back. 18 THE HEARING OFFICER: Can you read 19 that back? (WHEREUPON, the record was 20 12:22:15 21 read by the reporter.) 22 BY THE WITNESS: 23 Α. I don't -- at this point, I didn't review the specifics of their design or their 24 0242 proposed treatment plant expansion. I don't know 1 what their design parameters were exactly, what they 2 3 were shooting for. 4 So I can't -- I don't have an 5 opinion one way or the other on it, because I wasn't 12:23:00 6 involved in reviewing the specifics of their design. 7 BY MR. FORT: 8 But you heard Mr. Huff's testimony Q. 9 about his consideration of the potential risk and 10 adverse impact on --12:23:10 11 Α. Yes. 12 Do you disagree with his testimony? Ο. 13 Α. No, I don't disagree with it. 14 Ο. Thank you. 15 So, in a real sense, ExxonMobil 12:23:18 doesn't yet have a permit that requires them to meet 16

17 three and six milligrams per liter; correct? 18 Α. That's correct. 19 Q. And they are still acting under a 20 site-specific rule; correct? 12:23:31 21 That's correct. Α. 2.2 Ο. What the Agency has said is that so 23 far ExxonMobil doesn't think they need to have 24 further relief? 0243 1 Α. Correct. 2 And they are making some sort of a Q. 3 bet, if you will, on how good their finished scale 4 workup is, in terms of how it effects the ammonia 5 and nitrogen; correct? 12:23:51 6 MR. BOLTZ: Objection to the 7 characterization of bet. It, again, calls 8 for speculation of what Exxon is doing in 9 relationship to a bet. 10 Object to the form of the 12:23:56 11 question. THE HEARING OFFICER: Yeah. 12 13 Mr. Fort? MR. FORT: Well, let me rephrase the 14 15 12:24:02 question then. 16 THE HEARING OFFICER: Yeah, that would 17 be -- try doing it that way. Thanks. 18 BY MR. FORT: 19 So at this point in time, all you have Q. 20 is a statement from ExxonMobil that they're not 12:24:09 intending to extend their site-specific rule? 21 22 That's my understanding, yes. I Α. 23 haven't read or seen a letter, statement from them, 24 but that's my understanding, correct. 0244 1 And at this point, do you know if they Q. 2 are not -- that they are not discharging from their 3 PTU or wet gas scrubber unit into their ammonia nitrogen treatment facility? 4 5 I don't believe that they are. I Α. 12:24:34 6 believe it's still under construction. 7 And so you don't know what the result Ο. 8 is going to be when they let loose of that water into their ammonia and nitrogen treatment 9 10 facilities? 12:24:43 11 Α. No. 12 And you're not in a position to Ο. 13 predict that they will be able to comply with the three-six after they turn on their wet gas scrubber 14 15 12:24:54 or purge treatment? 16 Α. Not with a hundred percent certainty, 17 no. 18 Q. Do you know what their schedule is? 19 I do not. Α. 20 Ο. Were you involved with the discussions 12:25:04 21 of the overall schedule that ExxonMobil had to do 22 the wastewater treatment improvement? 23 MR. BOLTZ: I'm going to, again,

24 objection. Beyond the scope of direct 0245 1 examination. 2 We're just on a fishing expedition 3 at this point. 4 THE HEARING OFFICER: Sharon, can you 5 read that back, please? 12:25:24 6 (WHEREUPON, the record was 7 read by the reporter.) 8 THE HEARING OFFICER: Yeah. I'm going 9 to sustain that. 10 Mr. Fort, would you like to 12:25:37 11 respond to Mr. Boltz' --MR. FORT: Well, the point here is 12 13 that we had very -- the Agency keeps trying to say they ought to be the same. And one of 14 15 the things that happened here is that the 12:25:49 16 settlement agreement, that Citgo had with 17 USEPA and the State of Illinois, had a much 18 faster schedule. And the Board will recall that we 19 20 had to come in and do a variance under 12:26:01 expedited situations to get the TDS relief to 21 get the permit to get ourselves started. So 2.2 23 we did a design of a wastewater treatment 2.4 system that was very expedited. 0246 1 For whatever reason, ExxonMobil 2 had a more -- I could say orderly process, 3 but that might be taken in the wrong way --4 it had more time in their schedule. We even 5 had time to do a site-specific rule change 12:26:22 6 and still have them on schedule. 7 So just trying to point out that 8 they're not the same. 9 THE HEARING OFFICER: Yeah. And you know what, and it is on record, and I'm 10 12:26:30 looking at Section 101.626. It's, "The 11 12 Hearing Officer may admit evidence that is 13 material, relevant and would be relied upon by a prudent person in the course of 14 15 conduct." The conduct of serious affairs. 12:26:42 And I'd have to agree with 16 17 Mr. Fort. So I'm going to overrule 18 Mr. Boltz' objection. 19 MR. BOLTZ: Thank you, Your Honor. 20 THE HEARING OFFICER: Thank you. 12:26:53 I'm not sure if you can answer it, 21 22 Mr. LeCrone. 23 MR. LeCRONE: I think I remember the 24 question. 0247 1 BY THE WITNESS: 2 Α. I was not involved with Exxon's 3 scheduling permitwise or related to a content order 4 with the USEPA or anything like that. I have not been a permit reviewer for ExxonMobil, and I've 5 12:27:09

```
6
     only, basically, taken on any role in their
 7
     permitting whatsoever now, in my acting manager
8
     position, with the unit, so...
 9
                   MR. FORT: Okay. That's what I -- all
10
            I have for the moment. But I would like to
                                                            12:27:25
11
            reserve being able to look at the data.
12
                       I'd like to request that the other
13
            information that is used to come up with
14
            this, maybe this will come out as you do the
15
            QC on the Marathon data. You know, the other 12:27:41
16
            information that led to these documents
17
            (indicating).
18
                   THE HEARING OFFICER: We'll talk a
19
            little bit more about that off record and
20
            then bring it on record. And I'm just
                                                            12:27:51
            looking -- well, we can go off record and
21
22
            talk about that.
23
                       But, Sharon, for now, we'll go on
24
            record.
0248
                       Redirect, Mr. Boltz?
1
 2
                   MR. BOLTZ: I have known, Your Honor.
 3
                   THE HEARING OFFICER. Okay.
 4
                   MR. BOLTZ: I would just reserve the
 5
            opportunity to clarify that Marathon max
                                                            12:28:04
 6
            versus average verbiage within the charts,
 7
            just so we can all be on the same page and
8
            the Board can have the correct information.
9
                   THE HEARING OFFICER: Okay. Terrific.
10
            Thank you, sir.
                                                            12:28:15
11
                       Mr. Rao, Ms. Liu?
12
    BY MR. RAO:
13
            Ο.
                   The Agency's recommendations -- before
14
     I ask the question ...
15
                   THE HEARING OFFICER: We can go off
                                                            12:28:51
16
            the record.
                  (WHEREUPON, discussion was had
17
18
                  off the record.)
                   THE HEARING OFFICER: Back on the
19
                                                            12:29:23
20
            record.
21
                   MR. RAO: ExxonMobil's construction
2.2
            permit issued on March 19th, 2007, not only
            includes the construction of additional
23
24
            clarifiers, but also specifies the addition
0249
1
            of a purge treatment unit, consisting of
 2
            combined reactor/clarifier and heat
 3
            exchanger, as well as the addition of an
 4
            integrated biological system consisting of
 5
            anoxic and outer aeration zone with
                                                            12:29:52
 6
            recirculation and a de-aeration
 7
            transition flocculation chamber.
                                              This from
 8
            the Agency's recommendation Attachment 1.
 9
                       Why did the Agency single out the
10
            addition of clarifiers and increase surface
                                                            12:30:05
            area as a part of ExxonMobil's upgrade
11
12
            potentially responsible for allowing the
```

13 refinery to meet the applicable ammonia 14 limits? 15 MR. LeCRONE: It's basically just an 12:30:21 16 example of something we'd like to see Citgo 17 explore. You know, and it's kind of been --18 our theme through this is it has as many 19 open-ended questions as it conclusions that 2.0 we've reached. 12:30:38 21 And that if Exxon thinks they can 22 meet three-six through whatever upgrades 23 their doing in addition to adding scrubber 24 water, okay, will a similar approach, you 0250 1 know, loadings, operationalwise or whatever 2 work for them. And so, that's kind of why we 3 brought that up as an example of something 4 we'd like to see considered or at least 5 explained why something like that wouldn't 12:31:03 б work for them. 7 MR. RAO: So these two factors that --8 you know, you talk about the detention time 9 and additional surface area. The ones that 10 you didn't see Citgo focus on in their 12:31:30 addition; is that what you're saying? 11 MR. LeCRONE: Yeah. It was mentioned 12 13 in there and brought up as, you know, in 14 comparing the differences and similarities 15 between, you know, the treatment systems of 12:31:42 16 the various sights. And it seemed to stop 17 there and not further explain, okay, well, 18 here's one difference, but why -- you know, 19 why they didn't evaluate those differences --20 12:31:57 MR. RAO: Okay. 21 MR. LeCRONE: -- you know. 22 We know that they're all using, essentially, similar treatment technologies. 23 2.4 I mean, that's no big secret. 0251 1 And it's expected within these --2 you know, areas, such as -- you know, surface 3 loading rates and detention times. 4 MR. RAO: Yeah. 5 MR. LeCRONE: Where there is a 12:32:10 6 difference, there didn't seem to be enough of 7 an explanation as to how that might affect 8 one facility versus another. There may very 9 be a very simple explanation for it, but I'm not aware of what it would be and I was kind 10 12:32:22 of hoping that they could clue me in on it. 11 12 MR. RAO: Okay. Thank you. 13 MS. LIU: One last question. Could 14 you please clarify which water bodies 15 ExxonMobile and Marathon discharge to? 12:32:37 16 MR. LeCRONE: Marathon discharges to, 17 is it Marathon Creek -- Robinson Creek? And Exxon is to the Des Plaines River, Citgo is 18 19 to the Sanitary and Ship Canal, and Conoco to

20 the Mississippi River. 12:32:53 21 MS. LIU: Thank you. 22 THE HEARING OFFICER: Is that it? 23 Let's go off the record for a minute, Sharon. 24 0252 1 (WHEREUPON, discussion was had 2 off the record.) 3 THE HEARING OFFICER: Back on the 4 record now. 5 We're going to take a short lunch 12:36:45 6 break until 1:20. Citgo is going to take a 7 look at these exhibits to see if they need to 8 talk about it anymore, and we may have to 9 reconvene around September 4th or 5th. 10 But with that said, I'll see you 12:37:07 11 back at 1:20. Thanks. 12 (WHEREUPON, a recess was had.) 13 THE HEARING OFFICER: We are back on 14 the record. It'd approximately 1:22. 15 The Agency has rested. We are 13:23:08 moving back now to the Petitioner, Citgo, I 16 believe rebuttal. And Mr. Fort represented 17 he has one or two redirect questions. 18 19 MR. FORT: Yes. Thank, Your Honor. 20 The question we had -- we had 13:23:22 21 quite a few questions today about retention 22 time and things of that nature. And I'd like to ask both Mr. Stein and Mr. Huff to talk 23 24 about what happens if you do certain things 0253 1 with a design for increased retention time, 2 some of the other issues of that comes up, 3 particularly with respect to cold temperature 4 conditions. REDIRECT EXAMINATION 5 13:23:47 6 BY MR. FORT: 7 Ο. So, Mr. Stein, do you want to --8 One thing is that, as you increase the Α. 9 detention time, you have more surface area for 10 cooling. So you lose heat from the treatment plant, 13:23:57 so you actually get colder temperature. And if you 11 12 get too long a detention time and too cool a 13 temperature, you can have a -- lose your biological 14 nitrification. 15 So, you know, increasing in the 13:24:12 16 detention time can actually cause problems with 17 regard to temperature. Because we can lose temperature, and, therefore, in about -- I think I 18 19 had said earlier 68 degrees after 20 degrees C, 20 seems to be the break point between having good 13:24:28 21 nitrification and starting to have problems. 22 And I think in the Citgo 23 refinery, in the table that I presented, I think we 24 show a low temperature of about 73 degrees F. So 0254 1 increasing detention time could decrease

```
2
     temperature.
 3
            Q.
                   And, Mr. Stein, when you're talking
 4
     about the 68 degrees being a key temperature, that
 5
     is -- is that based upon information from Illinois
                                                           13:24:57
 6
     or general information or...
 7
           Α.
                  Well, it's general information. But
 8
     also, I quess one of the things we did actually with
 9
     Illinois, is we actually did a two-year treatment
     efficiency evaluation for the GE classics treatment
10
                                                           13:25:10
11
     plant in Ottawa, Illinois, where the State of
12
     Illinois actually wrote into the regulations.
13
                       After doing a two-year study, we
14
     found that they had problems meeting the three
15
     milligrams per liter temperatures of less than
                                                            13:25:27
16
     68 degrees Farenheit. So they actually wrote into
17
     their permit that temperatures less than 68 would be
18
     covered in malfunction of upset, and, therefore, not
19
    be considered a violation.
20
                       But the literature on biological
                                                            13:25:44
21
    nitrification also shows 20 degrees C seems to be
22
     the break point.
23
            Q.
                   Thank you.
24
                       Mr. Huff, anything you wanted to
0255
1
    add?
 2
            Α.
                   I just would point out that the longer
 3
    retention time, you have those like with aerated
     lagoons, it's kind of another alternative. And
 4
 5
     there's a long history in Illinois where aerated
                                                            13:26:03
     lagoons do not nitrify in the winters for the
 6
 7
     reasons that Mr. Stein just alluded to.
 8
                   MR. FORT: That's it. Thank you.
9
                   THE HEARING OFFICER: Okay. Mr. Fort?
10
                        Mr. Boltz?
                                                            13:26:18
11
                   MR. BOLTZ: Just one question.
                   THE HEARING OFFICER: Sure.
12
                       RECROSS EXAMINATION
13
14
    BY MR. BOLTZ:
15
                   So the issue relative to the colder
                                                           13:26:24
            Q.
     temperature, the decrease in temperature that could
16
17
     occur through the longer detention times, that
     issue, is that an issue that ExxonMobil and Marathon
18
     Oil, as well as Conoco, would they be -- would they
19
20
    be mindful of that issue as well, with respect to
                                                            13:26:40
21
    detention times they implement?
22
                   I guess I don't know what into the
            Α.
23
     thinking of those refineries. I mean, it would
24
     apply to their treatment plants, if it gets -- and I
0256
1
    haven't seen aeration base in temperatures, but it
 2
     would -- the same technical kinetic considerations
 3
     apply to those systems, but...
 4
                   The same scientific sort of issues
            Ο.
 5
     that you address?
                                                            13:27:07
 6
            Α.
                   Correct.
 7
                   MR. HUFF: I would just point out
 8
            that both Conoco, Phillips and Marathon are
```

9 closer to Southern Illinois, and there is a 10 fairly significant difference in those cold 13:27:15 11 temperatures than Northern Illinois. 12 Certainly ExxonMobil has the exact same 13 issue, yes. 14 Okay. Ο. 15 MR. BOLTZ: Nothing further, sir. 13:27:23 16 THE HEARING OFFICER: Mr. Fort? 17 MR. FORT: No, sir. 18 THE HEARING OFFICER: Ms. Liu? 19 MS. LIU: No, thank you. 20 THE HEARING OFFICER: All right. 13:27:28 21 We're going to go off the record. 22 (WHEREUPON, discussion was had 23 off the record.) THE HEARING OFFICER: Back on the 2.4 0257 1 record. 2 We've been talking about a number 3 of things, including the posthearing briefing 4 schedule. But first, I do want to say, at 5 least for the time being, that any -- I don't 13:36:07 find any credibility issues with the 6 7 witnesses that testified here today. 8 We have set a telephone status 9 conference in this matter for August 28th, 10 and that would be at 10:00, to discuss a 13:36:22 11 number of things. Because what we're going to do today is continue this hearing on 12 record to September 5th, 2008, from 9:00 a.m. 13 14 to 11:00 a.m., if need be. Hopefully, by 15 August 28th we'll find out if that's 13:36:43 16 needed. 17 Also on August 28th, we hope to 18 address the Agency's Exhibits 1, 2 and 3, and whether or not Mr. Boltz will submit those 19 20 into evidence and any objections that may 13:36:57 21 follow. Between now and August 28th, the 22 Agency is going to, hopefully, supply the 23 petitioner with any added documents that they 24 could --0258 1 MR. BOLTZ: I appreciate that. 2 THE HEARING OFFICER: And you will 3 supply, as well? 4 MR. BOLTZ: Absolutely. 5 THE HEARING OFFICER: Okay. 13:37:21 б So, what we did -- for the 7 posthearing briefing schedule, as it stands now, if in fact we don't have to come back 8 9 here, we've had Citgo's opening brief due 10 September 22nd, the Agency's brief due 13:37:34 11 October 10th and then Citgo's reply, if 12 anything, October 24th. 13 And the mailbox rule will not 14 apply. And if you do file electronically, I would ask that it be filed by 4:30, those due 13:37:50 15

```
16
            dates.
17
                       Anything else?
18
                       All right. This matter is
19
            continued on record until September 5th at
20
            9:00 a.m.
                                                            13:38:01
21
                       However, it may not be needed.
22
            And if it's not needed, I'll get a written
23
            order out canceling it.
24
                       Thank you so much for all your
0259
1
            professionalism.
 2
                   MR. FORT: Thank you.
3
                   MR. BOLTZ: Thank you.
 4
                       (WHICH WERE ALL THE MATTERS
 5
                       HEARD IN THE ABOVE-ENTITLED
 6
                       MATTER THIS DATE.)
 7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
0260
     STATE OF ILLINOIS)
1
 2
                     ) SS:
 3
     COUNTY OF COOK
                      )
 4
              I, SHARON BERKERY, a Certified Shorthand
 5
     Reporter of the State of Illinois, do hereby certify
 6
     that I reported in shorthand the proceedings had at
 7
     the hearing aforesaid, and that the foregoing is a
     true, complete and correct transcript of the
8
     proceedings of said hearing as appears from my
9
10
     stenographic notes so taken and transcribed under my
11
     personal direction.
12
              IN WITNESS WHEREOF, I do hereunto set my
13
     hand at Chicago, Illinois, this 1st day of
14
     September, 2008.
15
16
17
                  Certified Shorthand Reporter
18
19
    C.S.R. Certificate No. 84-4327.
20
21
22
```